

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

28 September 1988

EXAMINER HEARING

IN THE MATTER OF:

Application of Blackwood & Nichols Co., Ltd. for salt water disposal, San Juan County, New Mexico. CASE 9489

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Robert G. Stovall
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico

For the Applicant: William F. Carr
Attorney at Law
CAMPBELL & BLACK, P.A.
P. O. Box 2208
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1

2

I N D E X

3

4

WILLIAM F. CLARK

5

Direct Examination by Mr. Carr 4

6

Cross Examination by Mr. Stogner 24

7

Cross Examination by Mr. Stovall 34

8

Recross Examination by Mr. Stogner 35

9

10

E X H I B I T S

11

12

Applicants Exhibit One, Form C-108 6

13

Applicants Exhibit Two, Well History 7

14

Applicants Exhibit Three, Area Map 11

15

Applicants Exhibit Four, Summation 12

16

Applicants Exhibit Five, Schematic 13

17

Applicants Exhibit Six, Water Analysis 14

18

Applicants Exhibit Six-A, Water Analysis 15

19

Applicants Exhibit Seven, Water Analysis 17

20

Applicants Exhibit Eight, Water 17

21

Applicants Exhibit Nine, Topographical Map 18

22

Applicants Exhibit Ten, Log 19

23

Applicants Exhibit Eleven, Log 19

24

Applicants Exhibit Twelve, Cross Section 20

25

Applicants Exhibit Thirteen, Cross Section 20

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

E X H I B I T S Cont'd

Applicants Exhibit Fourteen, Letter	23
Applicants Exhibit Fifteen, Letter	23
Applicants Exhibit Sixteen, Publication	23

1 MR. STOGNER: Okay, call next
2 Case Number 9489 which is the application of Blackwood and
3 Nichols Company, Limited, for salt water disposal, San Juan
4 County, New Mexico.

5 At this time I'll call for ap-
6 pearances.

7 MR. CARR: May it please the
8 Examiner, my name is William F. Carr with the law firm
9 Campbell & Black, P. A., of Santa Fe. We represent Black-
10 wood and Nichols Company, Limited, and I have one witness.

11 MR. STOGNER: Are there any
12 other appearances in this matter?

13 Will the witness please stand
14 and be sworn?

15
16 (Witness sworn.)

17
18 Please continue, Mr. Carr.

19
20 WILLIAM F. CLARK,
21 being called as a witness and being duly sworn upon his
22 oath, testified as follows, to-wit:

23
24 DIRECT EXAMINATION

25 BY MR. CARR:

1 Q Will you please state your name and
2 place of residence?

3 A William F. Clark, Durango, Colorado.

4 Q Mr. Clark, by whom are you employed and
5 in what capacity?

6 A Blackwood and Nichols Company, Limited,
7 as the Operations Manager.

8 Q Have you previously testified before
9 this Division and had your credentials accepted and made a
10 matter of record?

11 A No, I have not.

12 Q Would you briefly summarize your educa-
13 tional background and then review your work experience for
14 Mr. Stogner?

15 A I graduated from the Colorado School of
16 Mines in 1977 with a BS degree in petroleum -- and a petro-
17 leum engineering degree.

18 After graduation I worked for one year
19 for Pennzoil Company in their Denver office as a drilling
20 and production engineer.

21 Then in 1978 I went to work for El Paso
22 Exploration in Farmington as a drilling engineer. After
23 Two years I transferred to the Production Department.

24 Then in 1984 I went to work for
25 Blackwood and Nichols Company as a petroleum engineer,

1 responsible for drilling and production activities. In
2 1986 I became the Operations Manager and look after what
3 needs to be done.

4 Q Mr. Clark, are you familiar with the
5 application filed in this case on behalf of Blackwood and
6 Nichols?

7 A Yes, I am.

8 Q Are you familiar with the subject well?

9 A Yes, I am.

10 MR. CARR: We tender Mr. Clark
11 as an expert witness in petroleum engineering.

12 MR. STOGNER: Mr. Clark is so
13 qualified.

14 Q Will you briefly state what Blackwood
15 and Nichols seeks with this application?

16 A Blackwood and Nichols is requesting ap-
17 proval to use the Northeast Blanco Unit No. 206 Well as a
18 produced water disposal well. Basically we want to inject
19 water produced from unit Fruitland coal wells in to the
20 Nacimiento formation.

21 Q Have you prepared certain exhibits for
22 introduction in this case?

23 A Yes, we have.

24 Q Would you refer to what's been marked as
25 Blackwood and Nichols Exhibit Number One, identify this and

1 then just briefly summarize what it shows?

2 A Exhibit Number One is the OCD Form
3 C-108, an Application For Authority to Inject, for the No.
4 206 Well. The formation to be injected into is the
5 Nacimiento at a depth of approximately 1798 to 2250 feet.

6 The No. 6 Well was drilled in 1981 to be
7 completed in the Pictured Cliff sand zones.

8 Q And what is the present status of this
9 well?

10 A Please refer to Exhibit Number Two is a
11 well history which will start in the 108 application as
12 Attachment No. 2.

13 Briefly summarizing the first three
14 paragraphs, in 1981 the lower, or the main Pictured Cliff
15 sand, was completed and was found to be noncommercial. A
16 subsequent workover operation in 1982 abandoned the lower
17 Pictured Cliff zone and an upper Pictured Cliff tongue was
18 completed; however, this zone has also been found to be
19 noncommercial, illustrated by the fact from 1982 to 1984
20 this upper Pictured Cliff zone produced less than 28,000
21 MCF of gas.

22 In early 1988 Blackwood and Nichols be-
23 came more interested in developing the Fruitland Coals in
24 the Northeast Blanco Unit. Water disposal methods for the
25 produced coal water were evaluated and we believe there's a

1 reasonably good possibility that a shallow disposal horizon
2 could be developed and utilized. Towards that end permis-
3 sion to abandon the Upper Pictured Cliff perforations in
4 the No. 206 Well was obtained from the Bureau of Land Man-
5 agement.

6 In May, 1988 these PC perforations were
7 squeezed off with cement and also isolated with a bridge
8 plug at 2700 feet in the 4-1/2 inch casing.

9 Then a casing leak from 788 to approxi-
10 mately 1200 feet was found and repaired by squeeze cement-
11 ing with 300 sacks.

12 Returning now to the last two paragraphs
13 on Exhibit Two. Next, the Ojo Alamo was perforated with
14 one shot per foot from a gross interval of 2427 to 2536.
15 These perforations were broke down with (unclear) and 500
16 gallons of 7-1/2 percent hydrochloric acid. The total load
17 on that breakdown job was 84 barrels.

18 Subsequent swabbing for water samples
19 were primarily on May 16th, 1988, after 112 barrels of load
20 water were recovered, the formation water was analyzed
21 and found to have a 6040 parts per million total dissolved
22 solids.

23 On May 17th, 1988, a step rate test was
24 performed on the Ojo Alamo formation perforations. This
25 test indicated poor reservoir quality.

1 On June 20th, 1988, a 4-1/2 inch bridge
2 plug was set at 2370 and the casing did not pressure test.

3 A casing leak between 76 feet and the
4 surface was found. Then the Nacimiento formation was
5 perforated with two shots per foot from 1798 to 1830, a
6 32-foot sand. Subsequently, the Nacimiento was swabbed for
7 water samples, which will be presented later.

8 I'd like to point out two things. The
9 isolation of the Ojo Alamo perforations and the subsequent
10 perforating of the Nacimiento was done with the permission
11 of the BLM and the May 17th step rate test was witnessed by
12 Mr. Ernie Bush of the Aztec District Office. On his sug-
13 gestion that the water sample and the step rate test infor-
14 mation be presented at the upcoming hearing (sic).

15 Q Now, Mr. Clark, you haven't run a step
16 rate test on the Nacimiento formation, is that correct?

17 A That is correct.

18 Q And why is that?

19 A Let us go to the proposed work and I
20 believe it will be come apparent.

21 Page 2 of Exhibit Number Two is the pro-
22 posed work Blackwood and Nichols would do assuming that
23 this application for disposal to inject (sic) is approved.

24 The first thing we would do would be
25 isolate the Nacimiento perforations with a bridge plug.

1 We would then repair the shallow surface
2 casing leak with cement and get casing integrity above the
3 upper perforations.

4 We would then drill out that bridge plug
5 and then move down the hole and squeeze off the Ojo Alamo
6 formations, the Ojo Alamo perforations, with cement. We
7 will then test that part of the casing below the existing
8 perforations and the Ojo perforations to 1000 pounds and do
9 any remedial work that would be necessary.

10 We would then perforate the remaining
11 zones as indicated on Exhibit Five in the Nacimiento. We
12 will obtain an additional water sample from all seven zones
13 of the Nacimiento that we would like to inject into. We
14 would break those zones down with acid. We would then do a
15 step rate test, witnesses by the OCD, and we would request
16 that non-run plastic tubing be installed in this well for
17 about 120-day injectivity test and if the well has reason-
18 able capacity, then plastic-lined tubing would be instal-
19 led.

20 Now, specifically looking at why we
21 didn't repair the surface casing leak before we perforated
22 the Nacimiento, unless we received OCD approval, we were
23 wanting to minimize our expenses on this well.

24 If we receive the approval and since we
25 don't have a water sample and we know what we're dealing

1 with, then Blackwood and Nichols will fix this well up as
2 much as needed to be, because we desperately need this
3 water disposal.

4 Q Mr. Clark, before you conducted the step
5 rate tests on the Ojo Alamo you did obtain approval from
6 the Aztec Office, is that correct?

7 A That's correct. As I mentioned before,
8 that test was witnessed by the OCD. Mr. Bush's advice to
9 us was to go into the hearing with that information.

10 Q Now subsequent to that time it was your
11 understanding, was it not, that the Santa Fe office might
12 prefer that you come before them prior to conducting a step
13 rate test on other formations?

14 A Yes, that is correct.

15 Q All right. Would you now refer to
16 Exhibit Number Three, identify this and review it for Mr.
17 Stogner?

18 A Exhibit Number Three is an area land map
19 which shows the location of the No. 206 Well in Section 10,
20 Township 31 North, Range 7 West, San Juan County, and all
21 the other wells in a 2-mile radius of the subject well.
22 This plat also indicates lease ownership in the area. A
23 circle one-half mile in radius around the subject injection
24 well outlines the area of review.

25 We apologize that this, in the reproduc-

1 tion, the 2-miles is not exactly to the south; however,
2 we'll point out on an Exhibit Twelve a similar map covers
3 about 5 or 6 miles to the south, if there is any question.
4 We point out that all that area is within the Northeast
5 Blanco Unit operated by Blackwood and Nichols.

6 Q And there are no other wells that would
7 be shown if, in fact, this plat did include the additional
8 acreage to the south.

9 A There are no other shallow wells. There
10 are other producing Mesaverde and Pictured Cliff wells to
11 the south.

12 Q Will you now identify Blackwood & Nich-
13 ols Exhibit Number Four?

14 A Exhibit Number Four is a summation of
15 the wells located within the area of review.

16 Q Would you review the information on that
17 exhibit?

18 A We have for each well the well name, the
19 location, the well's current status, its spud date, the
20 completion date, the total depth, the casing and cementing
21 record, where the perforations are, and the stimulation
22 records.

23 I will point out to you under the common
24 label Casing and Cementing Record on the righthand side of
25 that it says depth of where the casing was cemented or

1 depth of where the casing was set, and Cement, the volume
2 of cement that was used.

3 On all the appropriate intermediate
4 strings the -- we show amount of cement used to -- in these
5 operations. Our calculations indicate that the cement top
6 in these wells would be between 1300 and 1700 feet and that
7 it is not likely that these would provide a migration
8 avenue for any injected fluids in the proposed well.

9 Q Are there any plugged and abandoned
10 wells within the area of review?

11 A No, there are not.

12 Q Will you now go to your schematic
13 drawing, Exhibit Number Five, and review that for Mr. Stog-
14 ner?

15 A Exhibit Number Five is a wellbore schem-
16 atic of the No. 206 Well, and as you can see, the Pictured
17 Cliff perforations are squeezed with cement and the Ojo
18 Alamo perforations are isolated with a bridge plug at 2370.
19 Only the uppermost sand in the Nacimiento has been perfor-
20 ated, 1798 to 1830.

21 If the OCD approved this application
22 then six additional deeper Nacimiento sands will be perfor-
23 ated as indicated -- at the indicated depths.

24 After the proposed work listed on page 2
25 of Exhibit Two has been completed, then the 4-1/2 inch by

1 2-3/8ths inch tubing annulus will be filled with water and
2 corrosion inhibiting chemicals.

3 Also this annulus will be pressure
4 tested as required by the Federal Underground Injection
5 Control Program and state regulations.

6 As noted before, Blackwood and Nichols
7 is requesting that initially plastic-lined tubing not be
8 employed for a test period of no more than 150 days. If
9 positive injection results are experienced, then plastic-
10 lined tubing will be installed, and also we will have a
11 packer within 50 feet of the to Nacimiento perforation.

12 Q What's the thickness of the Nacimiento
13 formation in this are?

14 A Blackwood and Nichols proposes to inject
15 in the Nacimiento, which is approximately 1055 feet thick
16 as interpreted from the Northeast Blanco Unit No. 64 Well
17 logs. Note: Open hole logs were not run in the No. 206
18 Well because it is only approximately 200 feet away from
19 the No. 64 Well.

20 Q And, Mr. Clark, what is the source of
21 the water you propose to inject?

22 A Produced water from unit Fruitland coal
23 wells will be injecting into the No. 206 Well. Please
24 refer to Exhibit Six. This is an additional attachment in
25 the 108 application.

1 Item No. 4 is a listing of water
2 analyses on Fruitland Coal Wells that are currently pro-
3 ducing in this area. Please note that these water -- this
4 water has an average total dissolved solids of less than
5 9000 parts per million.

6 Q And what are you presently doing with
7 this water?

8 A Currently Blackwood & Nichols is
9 trucking this produced water to the Rea No, 1, a salt water
10 disposal well operated by Tenneco Oil Company in La Plata,
11 Colorado. The Rea Well is over 20 miles away and hauling
12 expenses are significant, in that we're paying approximate-
13 ly \$2.00 a barrel for trucking and the disposal fee.

14 We would anticipate that being able to
15 utilize the subject well as a disposal would drop our costs
16 to less than 25 cents a barrel, which would significantly
17 help us in our Fruitland Coal development program.

18 Reinjection of this produced Fruitland
19 Coal water into the formation would defeat the purpose of
20 dewatering coalbed methane wells.

21 Q Now, what volumes do you actually pro-
22 pose to inject?

23 A We do not know at this time what volumes
24 we'll be injecting because it is uncertain -- there's un-
25 certainty in the receiving capacity of the Nacimiento for-

1 mation.

2 Q What would be the maximum daily injec-
3 tion rate that you would propose?

4 A Blackwood and Nichols propose to inject
5 at the maximum rate that that formation is capable of ac-
6 cepting within the approved pressure limitations. We esti-
7 mate this will be approximately 1500 barrels of water a
8 day.

9 Q Now will this be an open or a closed
10 system?

11 A This will be operated as a closed sys-
12 tem.

13 Q Will you now go through what has been
14 marked as Blackwood & Nichols Company Exhibit Six-A. ident-
15 ify this, and review for the Examiner?

16 A Exhibit Six-A is a water analysis from
17 the No. 218 Well, which is an open hole Fruitland Coal com-
18 pletion in the Northeast Blanco Unit, approximately 2 miles
19 from the No. 206 Well.

20 This is typical coal water in that that
21 chlorides are relatively low and the bicarbonates are
22 relatively high. Overall this water is not very nasty and
23 has a total dissolved solids of 86,000 ppm.

24 Q Now, is injection -- is the injection
25 fluid compatible with the water that exists in the

1 injection interval?

2 A Yes. Produced Fruitland Coal water is
3 compatible with the water in the Nacimiento.

4 Exhibit Number Seven is a water analysis
5 from the Nacimiento Unit No. 206 Well. We do not antici-
6 pate any adverse chemical reactions when these waters mix.

7 Q And this shows a total dissolved solids
8 of 6370?

9 A That is correct.

10 Q Now, are the -- are there fresh water
11 zones in this area?

12 A To my knowledge there are no fresh water
13 zones in this area. Below the Nacimiento we found the Ojo
14 Alamo formation to have a total dissolved solids of 6040
15 parts per million and this water test is indicated and pre-
16 sented as Exhibit Number Eight.

17 Q Now when you say there are no fresh
18 water zones in the area, what -- what do you mean when you
19 define fresh water zone?

20 A Fresh water zones in terms of water
21 wells, horizons that are deeper, that people are getting --
22 that are pumping are getting water out of and utilizing,
23 and this will be with the State definition of 10,000 less
24 -- 10,000 or less parts per million.

25 Q Will you now -- have you concluded

1 Exhibit Number Eight?

2 A Yes, we have.

3 Q Are you ready to go to Exhibit Number
4 Nine?

5 A Actually, we --

6 Q Or do you first want to discuss the ex-
7 istence of fresh water wells within a mile of the proposed
8 injection area?

9 A Yes.

10 Q All right.

11 A There are no fresh water wells within a
12 mile of the 206. In fact the closest water well is over 6
13 miles away in Section 12, Township 32 North, Range 7 West,
14 as is shown on Exhibit Number Nine.

15 This well is approximately 300 feet deep
16 and produces less than a gallon per minute. In the general
17 area north of the No. 6 Well five families live. Two have
18 no wells after several attempts, and others have wells
19 2-to-300 feet deep and poor producers.

20 (Unclear) what we're trying to make here
21 is there are no water wells that are -- people are using in
22 the vicinity.

23 Q About how densely populated is the area
24 around that 206 Well?

25 A The No. 206 Well is located on Middle

1 Mesa which is created by Navajo Lake. If you'll look at
2 Exhibit Number Nine you'll see the San Juan arm of the
3 Navajo Lake and the Pine River arm of the Navajo Lake and
4 the 206 Well is quite a ways down the peninsula.

5 This water well up here would be the
6 closest family that's residing in that area, so you can say
7 this area is remote.

8 Q Would you now review Exhibits Ten and
9 Eleven with the Examiner?

10 A Exhibit Ten is an open hole density log
11 from the Northeast (unclear) Unit No. 64, which is located
12 approximately 200 feet to the west of the No. 206 Well.

13 The perforations and the proposed per-
14 forations have been indicated on the righthand side.
15 Altogether there are seven Nacimiento sand intervals, ap-
16 proximately 132 feet of net sand with an average porosity of
17 12.5 percent.

18 Above the Nacimiento formation to at
19 1355 is the Animas formation. Exhibit Number Eleven is an
20 open hole induction log from the No. 64 Well. Note, there
21 are three large shale sections from 1415 to 1493, a 78-foot
22 shale section; from 1560 to 1622, a 62-foot section; and
23 from 1750 to 1800 feet, a 50-foot shale section, that are
24 above the sand zones that would be receiving injected
25 water. We believe this will be a great benefit in provid-

1 ing confinement of the water in the injection zones.

2 Q Mr. Clark, will you to go Exhibit Number
3 12 and first of all identify what this exhibit is and then
4 review the information contained on the cross section?

5 A Exhibit Number Twelve is a geologic
6 cross section of the Nacimiento sands in the area of the
7 206 Well.

8 Q It is intended to show that the Naci-
9 miento has reasonably good areal extent and should be cap-
10 able of accepting a significant water volume.

11 The line A-A' is an east/west cross
12 section. Three main sands, A, B and C, are outlined. The
13 No. 64 Well is indicated, which is the twin to the 206 and
14 we see that these sands terminate a little bit to the west
15 but stay fairly strong heading toward the east.

16 Then B-B' is a north to south cross sec-
17 tion and again we see these sands staying fairly consistent
18 consistent, though some of them tend to start and go.

19 Q Okay, will you now identify Exhibit
20 Number Thirteen and review that for Mr. Stogner?

21 A Exhibit Number Thirteen addresses the
22 question of confinement. Since the No. 206 Well is within
23 a few miles of Navajo Lake we wondered how much interval
24 between the Nacimiento sand and the bottom of the lake, or
25 the old river bed, there was.

1 If we look here on this map we can see
2 this arrow indicates the No. 206 Well and the top of the
3 injection zone is indicated.

4 Approximately 2-1/2 miles we see the
5 Pine River. From the top of the injected zone to the base
6 of the old river bed there's approximately 1,150 feet of
7 sediments. That's on an east/west structural.

8 Looking at a north/south structural
9 cross section, we see that from the top of the injection
10 zone in the No. 206 Well, approximately 3 miles to the old
11 San Juan riverbed bottom, we have approximately 1000 feet
12 of sediment.

13 Q Have you examined the available geologic
14 and engineering data on this area and as the result of that
15 examination have you found any evidence of open faults or
16 other hydrologic connections between the injection zone and
17 any other source of drinking water?

18 A To my knowledge there are no faults or
19 fracture systems in this area and therefore it is reason-
20 able that this produced injected water will be confined.

21 Q What is the maximum injection pressure
22 that you propose to use and how should this figure be
23 determined?

24 A Blackwood and Nichols recommends that a
25 step rate test be performed after all the Nacimiento zones

1 are perforated. The results of this test will be submitted
2 to the OCD and the formation parting pressure would be the
3 maximum injection pressure.

4 The standard injection pressure limit of
5 0;2 psi per foot gives a maximum pressure of 360 psi. We
6 do not have any experience in using the Nacimiento for
7 water disposal so we really do not know what the parting
8 pressure will be.

9 In summary, Blackwood and Nichols re-
10 quests the OCD work with us in this matter. We believe
11 there is strong evidence that the well will be confined.
12 Additionally, this is a very remote area and at this depth
13 considering the quality of the water we found in the Naci-
14 miento it is doubtful it would ever be developed.

15 Q Have you estimated the effect of inject-
16 ing coal water into this particular formation?

17 A Yes. Let's assume that we inject 1-mil-
18 lion barrels of water. From open hole logs we know the
19 sand zones have a net thickness of 132 feet and an average
20 porosity of 12.5 percent.

21 Assuming the pore space in the Naci-
22 miento is empty, we we inject 1-million barrels of water,
23 then the radius of the affected area would be 1784 feet, or
24 about a third of a mile. Clearly the Nacimiento pore space
25 is saturated and the actual affected radius of the injec-

1 tion cannot be calculated without knowing the injection
2 pressures.

3 Q Mr. Clark, would you identify Exhibits
4 Fourteen, Fifteen and Sixteen for Mr. Stogner?

5 A Exhibit Fourteen and Fifteen are copies
6 of letters sent to two offset operators, Northwest Pipeline
7 Corporation, and Quinoco Petroleum. These are operators
8 within the area of review. Attached to these letters are
9 the return receipts. These parties have not objected to
10 this application.

11 Exhibit Number Sixteen is an affidavit
12 of publication in the Farmington Daily Times.

13 Q In your opinion will granting this ap-
14 plication be in the best interest of conservation, the
15 prevention of waste, and the protection of correlative
16 rights?

17 A Yes, it will.

18 Q Do you request that the Division expe-
19 dite its consideration of this application?

20 A We would greatly appreciate such consid-
21 eration. The cost of \$2.00 per barrel is dry weather cost.
22 We would like to try to finish our work on this 206 before
23 we get into the bad winter weather where we experience much
24 higher water disposal cost.

25 Q Were Exhibits One through Fifteen pre-

1 pared by you or compiled under your direction and super-
2 vision?

3 A Yes, they were.

4 MR. CARR: At this time, Mr.
5 Stogner, we would offer into evidence Blackwood and Nichols
6 Company, Limited, Exhibits One through Fifteen.

7 MR. STOGNER: Exhibits One
8 through Fifteen will be admitted into evidence.

9 MR. CARR: And that concludes
10 my direct examination of Mr. Clark. And we also would move
11 admission of Exhibit Sixteen.

12 MR. STOGNER: Exhibit Sixteen
13 will be admitted.

14

15 CROSS EXAMINATION

16 BY MR. STOGNER:

17 Q Mr. Clark.

18 A Yes, sir.

19 Q Refer to Exhibit Number Nine. In your
20 search for water wells in the area, could you please ex-
21 plain to me a little bit further your search in this area;
22 how it was done?

23 A Well, we contacted the individual who
24 has the grazing permits on the Middle Mesa and I said,
25 fine, are there are water wells within this area, and he

1 told me of this one that we've identified and additionally
2 he said there was a 40-foot hand dug well about two miles
3 away from this subject well that's on an old abandoned
4 farm. He's just a long time rancher up there and we're
5 aware that there's no population out there. We're also
6 aware that several years back the Bureau of Land Management
7 attempted to drill a water well for stock and were unsuc-
8 cessful in the attempt.

9 Q Did you -- your search take you to the
10 New Mexico engineering -- Engineer's office?

11 A We did not contact the New Mexico En-
12 gineer, no.

13 Q Why?

14 A I would have to frankly say that it was
15 overlooked. We felt confident that we know what's out
16 there. The majority of this acreage is BLM and state.
17 There's a few pieces of private land. To our knowledge
18 none of those pieces of private land have water wells, nor
19 do they have full time residents.

20 Q Isn't this a state park out there by
21 (unclear) also?

22 A The state park would be indicated by the
23 stippled area. Actually it would be within the stippled
24 area; the stippled area on Exhibit Number Nine is ground
25 which is managed by the Bureau of Reclamation. The -- if

1 you'd look down over, it says Navajo Dam and then immed-
2 iately over there you see Pine River Campground and Simms
3 Mesa Campground are the actual state parks.

4 Q Isn't there a water well at Simms Camp-
5 ground?

6 A There possibly may be, but I don't be-
7 lieve so. I believe they take their water out -- I know
8 the Pine site marina takes their water out of Navajo Lake
9 and pumps it up onto the top of a tank. They do not to --
10 I'm aware of a person that lives on the other side of the
11 Pine, perhaps where it says about Lewis Canyon there, and
12 that person has to truck his water to his residence from
13 the marina.

14 Q In the San Juan Basin area is there not
15 -- is this formation utilized as fresh water very much?

16 A In this area --

17 Q I'm talking about the San Juan Basin as
18 a whole.

19 A I cannot address that. I'm not familiar
20 with the -- it being developed any place as a water re-
21 source, but that does not preclude that it is.

22 Q Okay. Let's talk about the source
23 water. Now, in your Exhibit Number Six you show five
24 wells, is that correct/

25 A Yes, sir.

1 Q And are these five wells going to be the
2 only water source for this disposal?

3 A There will be additional wells producing
4 coal as we get these wells on line. We've drilled two ad-
5 ditional wells and they are not producing at this particu-
6 lar time.

7 We would anticipate that their water
8 analysis would be reasonably similar to what we show in
9 these wells.

10 Q Okay. How many wells would we be
11 talking about, maximum?

12 A The maximum number of wells that Black-
13 wood and Nichols could drill on the Middle Mesa (unclear)
14 is approximately 55. Clearly the No. 206 Well is a short
15 term disposal facility for the existing wells plus the ad-
16 ditional four wells that we're currently in the process of
17 drilling and completing. We're anticipating drilling more
18 wells next year, where at that time time we will be devel-
19 oping additional water disposal capabilities.

20 Q Now you said temporary. What do you
21 mean?

22 A Temporary means in terms of taking care
23 of us through this immediate time, to find out how appli-
24 cable this zone is to receive water. It's possible if we
25

1 have very possible results we'd be back in to drill addi-
2 tional wells to take care of additional development wells.

3 Q So it's possible that this well can turn
4 from a temporary to a permanent basis, is that correct?

5 A If I said permanent, I'd like to with-
6 draw that and say that this is -- we would like to use this
7 206 as a disposal well as long as it meets the OCD stand-
8 ards and regulations, but in terms of temporary as handling
9 our needs right now. Clearly, if we drill 55 wells up
10 there, we will need a much greater water disposal capabi-
11 lity and that's what I mean by a more permanent solution,
12 additional wells.

13 Q Okay, the OCD -- I'm still trying to get
14 temporary here -- the OCD has approved salt water disposal
15 wells down in the southeast, oh, some 35 years ago. Now,
16 they're still disposing. Could 35 years be temporary?

17 A Again, I withdraw the word "temporary"
18 and say that in terms of the volume this well would handle
19 our immediate needs but as our needs grow we will have to
20 develop more capability. That's the point I'm trying to
21 make; temporary was a poor choice of words.

22 Yes, we would like this, we'd very much
23 like this to be a permanent installation.

24 Q Of the five wells that are shown as pro-
25 ducing from the coal, which one has produced for the

1 longest period of time?

2 A The No. 218 and the No. 212 were drilled
3 and completed in 1985.

4 The 213, 14 and 15 wells are being com-
5 pleted in '85. Well, I take it all of them were completed
6 at that time, though due to gas marketing situations these
7 wells did not produce much during '86 or '87, but basically
8 all five of those wells were drilled and completed at the
9 same time.

10 Q Was water -- was a water analysis done
11 to the produced water in the very beginning, at your ini-
12 tial time of production?

13 A Yes, that's correct and we have not in-
14 dicated a significant change.

15 Q And what is not significant?

16 A Within the realms of the testing. We're
17 basically in the same, you know, like on, say, the 218, we
18 probably have four or five tests on that well and they are
19 all in the neighborhood of this 8-to-9,000 tds. Some have
20 dropped down as low as 8200; some will come up to this
21 8600. I'm not -- don't recall of one being higher at this
22 particular time.

23 Q Do you know what the characteristics of
24 water from a coal seam as quality versus time is? As these
25 wells are produced longer and longer periods of time will

1 we see a sharp increase of dissolved solids?

2 A Not to my knowledge. I've never heard
3 of that in the literature, and I would also point out that
4 the characteristic of coal wells is as they produce longer
5 and longer they produce less and less water. Initially
6 this No. 218 Well was producing in excess of 300 barrels of
7 water a day, whereas its current production is approximate-
8 ly 50 barrels of water a day.

9 Q But you don't know if the quality comes
10 down substantially.

11 A I would assume that the quality would
12 stay at the same and not precipitously go up or down, but
13 again, I don't recall seeing anything in the literature.
14 We haven't experienced it with our wells. The variation in
15 the water disposal, or in tests that we see, I think, is
16 more just due to laboratory variations and with time and
17 the temperature as to where the water samples were recover-
18 ed from, whether they be from the well flowing or from the
19 separator or from the tank.

20 Q Okay. Let's look at the No. 14 and the
21 No. 15 -- I'm sorry, 214 Well and the No. 215 Well. There
22 seems to be -- all depends on how you look at it -- some
23 difference between the total dissolved solids, one having
24 10,000 and the other having a little over 7000.

25 A Uh-huh. You see, to me it's fairly

1 clear that the greatest constituent difference is in the
2 bicarbonates, the 214 having 7800 and the 215 having 1790,
3 and so the source gas in the 215 appears to be more, per-
4 haps, on a sandstone nature, whereas, on the 214 it is
5 clearly more of a coal nature with the bicarbonate and the
6 associated CO² in the gas flow.

7 Q Now your bicarbonates as you show here,
8 7,860, is that apart from any -- what kind of a value is
9 that?

10 A I believe it says at the top "milligrams
11 per liter".

12 Q Okay, and when I look over on Exhibit
13 Number Seven, that is your water from your Nacimiento
14 water, I believe that's 275, is that correct?

15 A Let me find that exhibit and give that
16 to you.

17 Q I'm going to do some comparisons here --

18 A Okay.

19 Q -- so you might as well keep both of
20 them out.

21 A No, again the question, please?

22 Q The bicarbonates. One is -- one of your
23 test well -- I mean, I'm sorry, one of your producing wells
24 is up to 7800.

25 A That's correct.

1 Q And your -- the water that you'll be
2 injecting into has 275, is that correct?

3 A That is correct.

4 Q Let's look at some of the other ones,
5 like your chlorides, your chlorides are up to 3,310 in your
6 No. 215 Well?

7 A That's correct.

8 Q What is the chlorides in the --

9 A It looks like 1917 to me.

10 Q Oh, that's 1917? It's not 1.917?

11 A I don't believe that is correct.

12 Q No, okay. Now there seems to be a sub-
13 stantial difference of, what, about 1500 to 2000?

14 A Again it's the source of the water, this
15 215 being more PC oriented, whereas the water in the 206,
16 Nacimiento, is fairly balanced in terms of the sodium and
17 the chlorides, so it has a -- what we would say, a constant
18 level of salt.

19 And then you move to -- basically you
20 see the same type of comparison between the sodium and the
21 chloride from the 215, 2500 versus 3300, so that's just in
22 the -- to me, not being a chemist, is an indication of the
23 saltiness. We're saying that when you're comparing these,
24 that the water coming out of the 215 is somewhat more salty
25 than the water currently in the 206.

1 If we look at, like, the 218 Well we see
2 that the water in the 218 is not salty because we don't
3 have both the sodium and the chlorides. We have the sodium
4 coupled with the bicarbonate.

5 There's a markable difference and it's a
6 very good reservoir identification characteristic, these
7 differences that we're talking about. How high are the bi-
8 carbonates, how high are the chlorides?

9 Q And again I'm going to ask these ques-
10 tions about other chemicals besides total dissolved solids.

11 Do you know if any one or any group as
12 quality versus time of these coal producing wells, do they
13 vary? What kind of a change do we see? I do know that,
14 like you said, the quantity goes down, but in losig that
15 quantity do we see an increase in these chemicals in the
16 water?

17 A Not to my knowledge do the salt consti-
18 tuents in the water change as a function of time as we pro-
19 duce the wells.

20 Additionally, I discussed these waters
21 with the chemist in Durango and that's where I get my basis
22 for the statement of no adverse chemical reaction when the
23 waters mix.

24 Q Okay, refer to Exhibit Number Four.
25 Let's look at your tops of cement, like you had said, down

1 in the bottom of this exhibit you show that the top of
2 cement, assuming a 50 percent access, is that your percent
3 still that you assumed in each of these wells?

4 A That's correct, assuming that your hole
5 capacity was 150 percent from say 1500 feet, your hole
6 capacity for 1500 feet to where the casing was set,
7 multiplied by 50 percent excess, the volume of cement would
8 have brought it up to that 1500 foot cement level, approxi-
9 mately, is the -- is the basis of that statement.

10 MR. STOGNER: I have no fur-
11 ther questions of Mr. Clark.

12 Are there any other questions
13 of this witness?

14 MR. CARR: No further ques-
15 tions.

16 MR. STOVALL: I have a couple
17 questions I'd just like to ask.

18
19 CROSS EXAMINATION

20 BY MR. STOVALL:

21 Q Have you looked at all at any of the
22 potential for filtering or purifying the water and using
23 surface disposal pits?

24 A It's our understanding that the water
25 disposal is the most cost effective means of handling the

1 proposed Fruitland Coal water.

2 Q Have you ever had any occasion to have
3 any discussions with the Forest Service regarding other
4 operators efforts to dispose of coal water or make it
5 actually useful?

6 A It's my understanding that that is so
7 energy intensive that a person does a reverse osmosis pro-
8 cedure. We do not feel comfortable with the surface evapo-
9 ration pits due to our proximity to the Navajo Lake.

10 Filtering, I believe you're talking re-
11 verse osmosis there, which would require electricity in
12 significant volumes. I don't -- am not aware of any other
13 operators that are working with the Fruitland Coal in the
14 San Juan Basin doing that type of handling of the water. I
15 believe both Amoco and Meridian have explored those options
16 and both are now aggressively pursuing water disposal.

17 MR. STOVALL: Nothing further.

18

19

CROSS EXAMINATION

20 BY MR. STOGNER:

21 Q You brought up a point. Let's go back
22 on that.

23 In Mr. Stovall's question, you answered
24 that water disposal by injection was most economical, is
25 that correct?

1 of Mr. Clark?

2 If not, he may be excused.

3 Mr. Carr, do you have any-
4 thing further?

5 MR. CARR: Nothing further.

6 MR. STOGNER: Does anybody
7 else have anything further in Case Number 9489?

8 The case will be taken under
9 advisement.

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9489 heard by me on 28 September 1988.
Robert E. Wagner, Examiner
Oil Conservation Division