

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BUILDING  
5 SANTA FE, NEW MEXICO

6 18 January 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Meridian Oil, Inc. for CASE  
10 compulsory pooling, unorthodox gas 9535  
11 well location, and non-standard gas  
12 proration unit, San Juan County, New  
13 Mexico, and

14 Application of Meridian Oil, Inc. for CASE  
15 compulsory pooling, and a non-standard 9545  
16 gas proration unit, San Juan County,  
17 new Mexico.

18 BEFORE: Victor T. Lyon, Examiner

19 TRANSCRIPT OF HEARING

20 A P P E A R A N C E S

21 For the Division:

22 For Meridian Oil, Inc.:

23 W. Thomas Kellahin  
24 Attorney at Law  
25 KELLAHIN, KELLAHIN & AUBREY  
P. O. Box 2265  
Santa Fe, New Mexico 87504

## I N D E X

STATEMENT BY MR. KELLAHIN	4
ROBERT J. HOPKINS	
Direct Examination by Mr. Kellahin	5
JAMES A. SMITH	
Direct Examination by Mr. Kellahin	13
Cross Examination by Mr. Lyon	21

## E X H I B I T S

Meridian Exhibit One, Land Plat	6
Meridian Exhibit Two, Plat	7
Meridian Exhibit Three, Plat	8
Meridian Exhibit Four, Land Map	8
Meridian Exhibit Five, Map	15

1 MR. LYON: Call next Case  
2 9535. Application of Meridian Oil, Inc., for compulsory  
3 pooling, unorthodox gas well location, and nonstandard gas  
4 proration unit, San Juan County, New Mexico.

5 MR. KELLAHIN: Mr. Examiner,  
6 my name is Tom Kellahin of the Santa Fe law firm of Kella-  
7 hin, Kellahin & Aubrey. I'm appearing on behalf of Meri-  
8 dian Oil, Inc., and I have two witnesses to be sworn in  
9 this case.

10 MR. LYON: Would you both  
11 stand and raise your right hands?

12  
13 (Witnesses sworn.)

14  
15 MR. LYON: Proceed, Mr.  
16 Kellahin.

17 MR. KELLAHIN: Thank you, Mr.  
18 Examiner.

19 In order to expedite the pre-  
20 sentation today, we would like to request that you conso-  
21 lidate Case 9535 with Case 9545 and call it at this time so  
22 that we may make a similar presentation in that case with  
23 these witnesses.

24 MR. LYON: Case 9545. Appli-  
25 cation of Meridian Oil, Inc., for compulsory pooling, and a

1 nonstandard gas proration unit, San Juan County, New  
2 Mexico.

3 Will you be using additional  
4 witnesses?

5 MR. KELLAHIN: No, sir, I'd  
6 like the record to reflect that we have the same witnesses  
7 available for both cases.

8 MR. LYON: That will be fine.

9 MR. KELLAHIN: Mr. Examiner,  
10 these two cases, 9535 and 9545, were first heard by Exa-  
11 miner Stogner on, I believe, November 21st, at which point  
12 we presented the compulsory pooling portion of the presen-  
13 tation, which included a presentation by Mr. Hopkins, the  
14 landman. We had presentation by the geologist, the  
15 drilling engineer, and the reservoir engineer, with regards  
16 to the factors involved in the compulsory pooling.

17 We've come back today to com-  
18 plete the presentation of this case, to address the re-  
19 maining portions of this case, which are to seek your ap-  
20 proval of the two nonstandard proration units, as well as  
21 the two unorthodox -- I'm sorry, of the one unorthodox gas  
22 well location.

23 The two wells involve the  
24 Basin Fruitland Coal Gas Pool.

25 The two witnesses I have for

1 you today are Mr. Bob Hopkins, who is the petroleum  
2 landman that testified in the original case.

3 The second witness is Mr.  
4 Jimmy Smith, who is a reservoir engineer, and both gentle-  
5 men will talk about their reasons for seeking approval of  
6 the locations and the nonstandard proration unit.

7 We've marked for presentation  
8 the collective exhibits of both witnesses. They're marked  
9 Exhibits One through Five and they will apply to both  
10 cases.

11  
12 ROBERT J. HOPKINS,  
13 being called as a witness and being duly sworn upon his  
14 oath, testified as follows, to-wit:

15  
16 DIRECT EXAMINATION

17 BY MR. KELLAHIN:

18 Q Mr. Hopkins, would you please state your  
19 name and occupation?

20 A Yes. I'm Robert Joseph Hopkins. I'm a  
21 Senior Landman in Meridian's Farmington Area Land Depart-  
22 ment.

23 Q Mr. Hopkins, on prior occasions have you  
24 testified as a petroleum landman before the Oil Conserva-  
25 tion Division?

1           A           Yes, I have.

2           Q           In fact you provided expert land testi-  
3 mony with regards to both of these cases at the prior  
4 hearing back in November.

5           A           Yes, sir, I did.

6           Q           Have you made further and additional  
7 studies with regards to the land reasons or justifications  
8 to seek approval of the two unorthodox or nonstandard pro-  
9 ration units for these two wells?

10          A           Yes, sir, I have.

11                           MR. KELLAHIN: At this time,  
12 Mr. Examiner, we tender Mr. Hopkins as an expert petroleum  
13 landman.

14                           MR. LYON: Mr. Hopkins is  
15 qualified.

16          Q           Mr. Hopkins, let me start, sir, by  
17 showing you Exhibit Number One and having you identify that  
18 exhibit.

19          A           Exhibit Number One is a land plat of the  
20 Howell "C" Com 301 Well and the existing Mesaverde prora-  
21 tion units in the surrounding area.

22          Q           When we look at Exhibit Number One and  
23 the Com 301 Well, we're dealing with Case 9535, are we,  
24 sir?

25          A           Yes, sir, we are.

1           Q           And would you identify for the record  
2 what is the spacing unit you're proposing to utilize for  
3 the 301 Well for the Fruitland coal gas production?

4           A           Yes. We would be proposing to use the  
5 southwest quarter of Section 7 and the west half of Sec-  
6 tion 18 in 30 North, 8 West, San Juan County, New Mexico.

7           Q           Do you have that shown on a subsequent  
8 exhibit?

9           A           Yes, I do.

10          Q           That's Exhibit Number Two?

11          A           Yes, sir, it is.

12          Q           All right. What have you shown on  
13 Exhibit Number Two?

14          A           On Exhibit Number Two we've taken the  
15 same land map and shown the proposed or existing Fruitland  
16 proration units.

17          Q           Is the proposed Fruitland gas proration  
18 unit identical to the existing Mesaverde proration unit for  
19 this unit?

20          A           Yes, it is.

21          Q           Turn to Exhibit Number 3 now, Mr. Hop-  
22 kins, and let's turn to the Com 300 Well, which is Case  
23 9545.

24                      What have you shown on Exhibit Number  
25 Three?

1           A           Exhibit Number Three is a land map  
2 showing the Howell "G" Com 300 with a well spot and showing  
3 the existing Mesaverde proration units surrounding the  
4 well.

5           Q           Turn now, sir, to Exhibit Number Four.  
6 What have you shown on that display?

7           A           Exhibit Number Four is an identical copy  
8 of the land map for the Howell "G" Com No. 300 with the  
9 well spot, showing the proposed or existing Fruitland pro-  
10 ration units surrounding the well.

11          Q           Are you proposing the same configuration  
12 for the Basin Fruitland Coal Gas well, the 300 No. -- the  
13 Com 300 Well as exists for the Mesaverde well shown on  
14 Exhibit Three?

15          A           Yes, sir.

16          Q           Let's talk about the nature of the  
17 problem that's created this type of solution, Mr. Hopkins.  
18 What is occurring on this particular township line that  
19 cause all these nonstandard units?

20          A           The United State Geological Survey has  
21 corrected townships to correct their normal surveys for the  
22 curvature of the earth. They try to do so on the westerly  
23 and northerly sides of townships, where possible. This is  
24 an example of a westerly correction.

25                   The six sections on the west side of



1 this township are 100 acres, more or less, short of being a  
2 normal section. The correction is then made in only the  
3 west half of each of those sections. The east half is as  
4 closely as possible to 320 acres. The west half is in the  
5 nature of 220 acres on each of these six sections.

6 Q How have oil and gas operators such as  
7 Meridian dealt with the western portion of this township 30  
8 North, Range 8 West, in forming spacing units for the Mesa-  
9 verde production?

10 A They have formed four proration units on  
11 the west side of the township, taking 220 acres of full  
12 west half and then a quarter section from either the north  
13 or south section to form 330, more or less, acre proration  
14 units.

15 The reasoning was that this was the  
16 least disruptive solution to their problem.

17 They had several alternatives. They  
18 could have formed normal 320-acre proration units by simply  
19 taking acreage from western offset sections and using a  
20 domino principle, we would have a number of orthodox  
21 sections to the west all the way out.

22 There are some -- some more finite solu-  
23 tions. One would be to take the six westerly sections and  
24 laydown the proration units forming 270-acre proration  
25 units. You would have a disruption. You would have 12

1 proration units that would be 270 acres in size.

2 The next alternative is to simply leave  
3 the west half of each of those six sections as a nonstand-  
4 ard in size with 220 acres. That would six be disruptive  
5 locations.

6 Back when they were trying to get the  
7 Mesaverde proration units outlined, there was another plan  
8 and that was to make four disruptive locations, each ap-  
9 proximately 330 acres in size. That would maximize the  
10 problem. They would be able to take very close to 320  
11 acres in size and only have 4 disruptive proration units.

12 Q What solution was chosen for the Mesa-  
13 verde proration units, then?

14 A The Oil Conservation Division decided at  
15 that time to go with the 4 disruptive units and establish  
16 the Mesaverde proration units as shown in the blue color,  
17 Exhibit One and Exhibit Three.

18 Q When we deal with the proposed nonstand-  
19 are proration unit for the drilling of the Howell "C" Com  
20 301 Well, Case 9535.

21 A Yes, sir.

22 Q We're dealing with 334.94 acres?

23 A Yes, sir.

24 Q What is your recommendation to the  
25 Examiner about using that existing Mesaverde spacing unit

1 as the spacing unit, then, for this well?

2 A I would recommend that the former Mesa-  
3 verde unit be adopted for the Fruitland Coal.

4 Q What are your reasons for that recom-  
5 mendation, Mr. Hopkins?

6 A The reason would relate to the fact that  
7 this is a very odd situation. We do have a strange land  
8 situation in that you have -- cross section lines. The  
9 owners in the Mesaverde wells in these proration units are  
10 fully accustomed to this. There are operating agreements  
11 in place, title opinions performed, Division orders issued,  
12 royalty owners, override owners, production payments, have  
13 all been made on these nonstandard units and people are  
14 very accustomed to it.

15 By switching to a different proration  
16 unit for the Fruitland and trying another solution at this  
17 point in time, we would cause a great deal of confusion for  
18 both royalties, any of the payments we're making and con-  
19 tractual.

20 Q Does Meridian operate the two proration  
21 units we're dealing with for the Mesaverde wells?

22 A Yes, they do.

23 Q When we deal with the other proration  
24 unit in Case 9545, for the Howell Com 300 Well, that's a  
25 proration unit that has a size of 331 acres, more or less.

1           A           Yes, sir, it does.

2           Q           Are your opinions and reasons that you  
3 expressed for the No. 301 Well the same for the No. 300  
4 Well?

5           A           Yes, sir, they are.

6           Q           From a landman's perspective, Mr.  
7 Hopkins, do you see any other solution that is less disrup-  
8 tive, if you will, than the one you're proposing here  
9 today?

10          A           No, sir, I sought to find the least dis-  
11 ruptive solution.

12          Q           Have you had any objection from any in-  
13 terest owners with regards to the continuation of the Mesa-  
14 verde solution and having that apply to the Basin Fruitland  
15 coal gas wells to be drilled on these two spacing units?

16          A           No, sir.

17                       MR. KELLAHIN: That concludes  
18 my examination of Mr. Hopkins, Mr. Lyon.

19                       We'd move the introduction of  
20 his Exhibits One through Four.

21                       MR. LYON: Is there objection?  
22 Exhibits One through Four will be admitted.

23                       Mr. Kellahin, will this wit-  
24 ness testify as to the location of the wells and so forth  
25 or will the other witness?

1 MR. KELLAHIN: Mr. Smith, the  
2 reservoir engineer, is going to speak as to the locations.

3 MR. LYON: I have no questions  
4 of this witness.

5  
6 JAMES A. SMITH,  
7 being called as a witness and being duly sworn upon his  
8 oath, testified as follows, to-wit:

9  
10 DIRECT EXAMINATION

11 BY MR. KELLAHIN:

12 Q Mr. Smith, would you please state your  
13 name and occupation?

14 A James A. Smith. I'm a reservoir engine-  
15 er.

16 Q Mr. Smith, have you previously testified  
17 before the Division as a reservoir engineer?

18 A No, sir.

19 Q Would you describe for Mr. Lyon when and  
20 where you obtained your degree in engineering?

21 A I obtained by petroleum engineering de-  
22 gree from the University of Wyoming in 1980.

23 Q This is a Bachelor of Science degree in  
24 petroleum engineering?

25 A Bachelors' degree, yes, sir.

1           Q           And subsequent to graduation, Mr. Smith,  
2 would you outline for us what has been employment exper-  
3 ience as a reservoir engineer?

4           A           I went to work for El Paso Exploration,  
5 which is now Meridian Oil, in Elk City, Oklahoma, January,  
6 1981. At that four years I spent there as a drilling en-  
7 gineer and production engineer.

8                       In September of 1985 I transferred to  
9 Amarillo, Texas, where I worked as a drilling engineer.

10                      In July of 1986 I transferred to Farm-  
11 ington, New Mexico, where I am currently working.

12                      From March, 1988, to the present I have  
13 been in the Reservoir Engineering Department.

14           Q           Let me talk to you generally, Mr. Smith,  
15 about the kinds of duties you perform as a reservoir en-  
16 gineer since March of '88 to the present insofar as it  
17 concerns Meridian's exploration and development of the  
18 Basin Fruitland coal gas wells. Describe generally what it  
19 is that you do for your company concerning the Fruitland  
20 coal gas wells.

21           A           I determine where wells should be  
22 drilled. I run economics and recommend if a well should be  
23 drilled based on economics

24           Q           When we look at the unique situation in  
25 the western portion of Township 30 North and 8 West, there

1 exist a certain number of Mesaverde nonstandard proration  
2 units. Are you familiar with those nonstandard proration  
3 units?

4 A Yes, sir.

5 Q Have you reviewed the engineering and  
6 geology that apply to the proposed nonstandard spacing  
7 units for the Howell Com 300 and the Howell Com 301 Well?

8 A Yes, sir.

9 Q And have you caused to be prepared an  
10 exhibit that illustrates some of that information?

11 A Yes, sir.

12 Q Let me turn, sir, to Exhibit Number Five  
13 and ask you if that is your exhibit.

14 A Yes, sir.

15 Q Let's take a moment and have you summar-  
16 ize for us the information that's on the display.

17 A This Exhibit Number Five is a net coal,  
18 Fruitland coal thickness map. It shows in green the wells  
19 we're dealing with today, the two wells.

20 The pink dots show surrounding wells  
21 that are either drilled or proposed to be drilled.

22 Q The wells highlighted in the pink and  
23 the green are Fruitland coal gas wells.

24 A Yes, sir.

25 Q When we look at the proration unit for

1 the Howell Com 300 Well, the Division has adopted some  
2 special rules and regulations for the Basin Fruitland coal  
3 gas wells and they require those wells within a given  
4 section to be located in a particular quarter section, do  
5 they not?

6 A Yes, sir.

7 Q Where are the wells required to be  
8 drilled to be on pattern and in compliance with that rule?

9 A The northeast quarter and/or the south-  
10 west quarter of each section.

11 Q Do either one of these wells satisfy  
12 that pattern arrangement for the Basin Fruitland coal gas  
13 wells?

14 A No, sir.

15 Q In addition, they have a further rule  
16 with regards to the footage location of the wells, do they  
17 not?

18 A Yes, sir.

19 Q And what is the footage location re-  
20 quirement?

21 A 790 feet from each lease line and 130  
22 feet from the interior quarter section line.

23 Q Do either one or both of these wells  
24 satisfy that footage requirement of the rule?

25 A Yes, sir.



1           Q           Which one satisfies the footage re-  
2 requirement?

3           A           The Howell "G" Com No. 300 Well.

4           Q           As a reservoir engineer, Mr. Smith,  
5 would you describe for us the kind of factors, parameters,  
6 or the criteria that you apply in helping decide where you  
7 recommend that the -- your company locate the Basin Fruit-  
8 land coal wells?

9           A           I examined the thicknesses, limits,  
10 fractures, cleating, over-pressured areas, kicks, to deter-  
11 mine these locations.

12          Q           One of the basic requirements of the  
13 special rules for the Basin Fruitland Coal was to maintain  
14 where possible patterns where wells were drilled approxi-  
15 mately on 320-acre spacing.

16                   Are you familiar with that requirement?

17          A           Yes, sir.

18          Q           In what ways do either or both of these  
19 wells help satisfy that condition of maintaining widely  
20 spaced wells on approximately 320-acre spacing patterns?

21          A           They follow the uniform pattern of 320  
22 acres as shown on our Exhibit Five.

23          Q           Okay. When we look at Exhibit Five, all  
24 of the pink dots to the east of the two well locations, are  
25 those Meridian wells, either drilled or proposed to be

1 drilled?

2 A Yes, sir.

3 Q And with the exclusion of the well dot  
4 in Section 13, just to the west of the Com 301, forget that  
5 for a moment, all right, sir?

6 A Okay.

7 Q When we look at all the rest of the  
8 wells, do we see a general well spacing pattern in rela-  
9 tion to these two wells that maintain for you that 320-acre  
10 pattern?

11 A Yes, sir.

12 Q When we look at Section 13, is that also  
13 a Meridian well?

14 A Yes, sir.

15 Q In the northeast quarter?

16 A Yes, sir.

17 Q In applying the different factors you  
18 utilize, Mr. Smith, in finding well locations, let me con-  
19 centrate first of all on the spacing unit for the 300 Well,  
20 in applying all those factors to the 300 well, have you  
21 found a location within that spacing unit that gives you a  
22 higher value, if you will, for all those parameters than  
23 the proposed unorthodox location?

24 A No, sir.

25 Q When we look at the Com 301 Well and we

1     apply all those factors or parameters, is there an alter-  
2     native location for that well that gives you a higher value  
3     for picking well locations than the proposed unorthodox  
4     location?

5             A             No, sir.

6             Q             Describe for us the specific footage  
7     locations. Do you have the information --

8             A             Yes, sir.

9             Q             -- that will give us the exact location  
10    for each of these wells?

11            A            Yes, sir.

12            Q            Let's start with the 300 Well, what's  
13    the exact footage?

14            A            It is located in Section 6, 30 North, 8  
15    West, 1430 feet from the north line, 1090 feet from the  
16    west line.

17            Q            Okay, and the 301 Well?

18            A            Located in Section 18, 30 North, 8 West,  
19    1660 from the north line, 1320 from the west line.

20            Q            Let me look again at Exhibit Number Five  
21    with you, Mr. Smith, I understand that one of the values  
22    you use is coal thickness in helping you pick locations.

23            A            Yes, sir.

24            Q            In looking at the spacing unit for the  
25    No. 300 Well, give us an estimate of the range of coal

1 thickness within that spacing unit.

2 A 40 to 50 feet.

3 Q And at the proposed unorthodox location,  
4 approximately what is the coal thickness at that location?

5 A 44 Feet.

6 Q And what are the coal thicknesses  
7 ranging for the spacing unit for the 301 Well?

8 A 39 to 41 feet.

9 Q And at the proposed location what is  
10 your estimate of the approximate coal thickness at that  
11 location?

12 A 40 feet.

13 Q In making your study, Mr. Smith, of the  
14 various items that go into making your choices on well  
15 locations, do you find any factors available to you based  
16 upon your present knowledge, that cause you to recommend  
17 that either of these locations not be drilled at these  
18 points?

19 A No.

20 Q Have you reviewed the information shown  
21 on Exhibit Number One -- Number Five and satisfied yourself  
22 that it's true and accurate to the best of your knowledge,  
23 information and belief?

24 A Yes, sir.

25 MR. KELLAHIN: That concludes

1 my examination of Mr. Smith, Mr. Lyon. We move the intro-  
2 duction of his Exhibit Number Five.

3 MR. LYON: If I didn't --

4 MR. KELLAHIN: I think we did  
5 One through Four.

6 MR. LYON: Did we do One  
7 through Four or One through Five? I couldn't remember.

8 Is there objection?

9 Exhibit Five will be admitted.

10

11 CROSS EXAMINATION

12 BY MR. LYON:

13 Q Mr. Smith, as I interpret Exhibit Five,  
14 the pink dots, pink circles, represent existing coal gas  
15 wells?

16 A They represent existing or planned  
17 wells, existing being already drilled; planned being per-  
18 mitted, ready to be drilled.

19 Q Right. Now, the west half of Sections  
20 6, 7, and 18 are irregular and were the reason that we had  
21 to have a nonstandard unit, is that correct?

22 A That's correct.

23 Q The east half of each of those sections  
24 is regular, is that right?

25 A Yes, sir.

1           Q           Now, the coal gas rules specify loca-  
2           tions in the northeast quarter or the southwest quarter.

3                       If you drill a well in the northwest  
4           quarter of Section 6, you're going to have a row of wells  
5           across there which will disturb the uniformity of spacing.  
6           Do you agree with that?

7           A           If a well is drilled, yes.

8           Q           And also in the northwest quarter of  
9           Section 18 the regular location would be in the northeast  
10          quarter, which would result in a row of three wells right  
11          across the northeast of 13, northwest of 18, and northeast  
12          of (unclear).

13          A           Yes, sir.

14          Q           And your exhibit shows all -- all of the  
15          wells that presently exist in the coal gas within the area  
16          shown, is that right, either -- either wells existing or  
17          planned wells.

18          A           At this point in time, yes, sir.

19          Q           There are no existing wells that are not  
20          indicated on here.

21          A           That's correct.

22                       MR. LYON: That's all my ques-  
23          tions.

24                       Anything else?

25                       MR. KELLAHIN: I believe

1 that's all, Mr. Examiner.

2 MR. LYON: The witness may be  
3 excused and we'll take the case under advisement.

4  
5 (Hearing concluded.)  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9535/3545  
heard by me on Jan. 18 19 87.

W. Boyd, Examiner  
Oil Conservation Division