

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 24 May 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Phillips Petroleum Comp- CASE
10 any to amend Division Order No. R-3668 9678
11 by authorizing a carbon dioxide pilot
12 project, Lea County, New Mexico.

13 BEFORE: David R. Catanach, Examiner

14
15 TRANSCRIPT OF HEARING

16
17
18 A P P E A R A N C E S

19 For the Division:

20
21 For Phillips Petroleum
22 Company:

W. Thomas Kellahin
Attorney at Law
KELLAHIN, KELLAHIN & AUBREY
P. O. Box 2265
Santa Fe, New Mexico 87504

I N D E X

SUSAN G. COURTRIGHT

Direct Examination by Mr. Kellahin 3

Cross Examination by Mr. Catanach 29

E X H I B I T S

Phillips Exhibit One, Land Plat 3

Phillips Exhibit Two, Structural Map 6

Phillips Exhibit Three, Cross Section 6

Phillips Exhibit Four, Cross Section 6

Phillips Exhibit Five, Type Log 7

Phillips Exhibit Six, Order 9

Phillips Exhibit Seven, Plat 12

Phillips Exhibit Eight, 5-Spot 9

Phillips Exhibit Nine, Plot 17

Phillips Exhibit Ten, Cost Data 20

Phillips Exhibit Eleven, Plat 21

Phillips Exhibit Twelve, Schematic 21

Phillips Exhibit Thirteen, Outline 24

Phillips Exhibit Fourteen, Tabulation 26

Phillips Exhibit Fifteen, Plat and Analysis 27

1 MR. CATANACH: Call Case 9678.
2 The application of Phillips Petroleum Company to amend
3 Division Order No. R-3668 by authorizing a carbon dioxide
4 pilot project, Lea County, New Mexico.

5 Are there appearances in this
6 case?

7 MR. KELLAHIN: Mr. Examiner,
8 I'm Tom Kellahin of the Santa Fe law firm of Kellahin,
9 Kellahin & Aubrey, appearing on behalf of the applicant and
10 I have one witness.

11 MR. CATANACH: Any other ap-
12 pearances?

13 Will the witness please stand
14 and be sworn in?

15
16 (Witness sworn.)

17
18 SUSAN G. COURTRIGHT,
19 being called as a witness and being duly sworn upon her
20 oath, testified as follows, to-wit:

21
22 DIRECT EXAMINATION

23 BY MR. KELLAHIN:

24 Q Ms. Courtright, for the record would
25 you please state your name and occupation?

1 A My name is Susan Courtright and I'm a
2 reservoir engineer for Phillips Petroleum Company.

3 Q Ms. Courtright, on prior occasion have
4 you testified before the Oil Conservation Commission or
5 Division of New Mexico?

6 A Yes, I have.

7 Q And have you done so in your capacity as
8 a reservoir engineer?

9 A Yes.

10 Q Pursuant to your employment as a reser-
11 voir engineer, have you made a study of Philips' Philmex
12 cooperative waterflood project area?

13 A Yes, I have.

14 Q As part of that study were you examining
15 as a reservoir engineer the potential feasibility of con-
16 ducting on a pilot project basis the injection of carbon
17 dioxide into that area?

18 A Yes, sir, I have been concentrating my
19 efforts in developing a CO₂ flood in this area.

20 Q Let me have you take what is marked as
21 Phillips Exhibit Number One and identify for Mr. Catanach
22 what you and I understand is the Philmex waterflood area
23 that we're going to describe in today's hearing.

24 A The Philmex waterflood area is shown in
25 the -- is outlined in brown in Sections 28, 27 and 26 of

1 Range 33 East in Township 17 South. That compromises (sic)
2 the majority of our Philmex lease and the order which we
3 seek to amend is Order 3668, and that was permission to
4 inject water into our Philmex Well No. 6, which is shown in
5 the lower lefthand corner.

6 Q Does Phillips Petroleum Company also
7 operate other waterflood areas in the Grayburg and San
8 Andres formations of this particular portion of Lea County,
9 New Mexico?

10 A Yes, they do. Two of particular inter-
11 est are the Northeast Maljamar Waterflood, which is located
12 directly north of the subject area and is outlined in red.

13 And we also have Lea Waterflood, which
14 is operating in the area outlined in black.

15 Q Pursuant to your study have you reached
16 certain engineering conclusions about the utilization of
17 carbon dioxide as a means by which to improve oil recovery
18 in this particular area?

19 A Yes. I feel that through CO₂ injection
20 we'll both be able to increase our recoverable reserves and
21 also extend the producing life of the reservoir.

22 MR. KELLAHIN: At this point,
23 Mr. Catanach, we tender Ms. Courtright as an expert reser-
24 voir engineer.

25 MR. CATANACH: She is so qual-

1 ified.

2 Q Ms. Courtright, are there other examples
3 either by your company or other companies in this general
4 vicinity whereby they have already implemented or utilized
5 carbon dioxide in either secondary or tertiary recovery
6 operations?

7 A Yes, sir. On either side of us are --
8 to the east is our East Vacuum Grayburg-San Andres CO₂ in-
9 jection project and six miles to the west of us is Cono-
10 co's Maljamar CO₂ project.

11 Q Let's save Exhibit Number One as an
12 orientation display for a moment and go on to your next
13 exhibit, which I have marked as Exhibit Number Two. Would
14 you identify that for us?

15 A Exhibit Number Two is a structure map on
16 top of the San Andres dolomite. We have two cross sec-
17 tions, A-A', which is the north/south cross section. and
18 B-B', which is an east/west cross section, and these go
19 through the pilot area which is shown in green.

20 MR. KELLAHIN: Mr. Examiner,
21 I'd like to show you copies of the B-B' cross section, as
22 well as the A-A' cross section to which she's referred.

23 Q As a result of an examination of the San
24 Andres structure as identified on the cross sections,
25 starting first with the A-A' cross section, what is appar-

1 ent to you?

2 A We have been able to identify thick
3 sands in the Grayburg and also the San Andres. These sands
4 are continuous and are correlatable throughout the area.

5 Q Are those conclusions also true and
6 apply to an examination of the information shown on the
7 B-B' cross section?

8 A Yes. That's -- those are the same.

9 Q Let's turn to the type log, Ms. Court-
10 right. Is that Exhibit Number Five?

11 A Exhibit Number Five.

12 Q All right. If you'll fold out your
13 type log, let's first of all identify for the record the
14 name of the well from which this log was made.

15 A This well is Philmex No. 16. It is the
16 well which is the intersection of A-A' and B-B'.

17 Q By examining that log, what does it show
18 you about the location and number of the potential forma-
19 tions for flooding in the Grayburg formation?

20 A The log will show you four of the six
21 identified sands. It shows that they are approximately 7
22 feet thick with an average porosity of 6 percent.

23 Q In examining the geology have you been
24 able to conclude as a reservoir engineer that the Grayburg
25 formation is a likely candidate for the use of carbon

1 dioxide as an aid to enhancing recovery of oil?

2 A Yes, sir, particularly through the con-
3 tinuous correlate -- being able to correlate these sands
4 throughout the area.

5 Q How does this particular Grayburg in-
6 terval within your project area compare to the area being
7 utilized by Conoco for their CO₂ operations?

8 A Conoco conducted their CO₂ pilot in only
9 the 6 sand -- in only the Grayburg Sand No. 6 and they also
10 conducted it in the San Andres.

11 It is our plan to initially target all
12 the Grayburg Sand.

13 Q Is there any particular reason that
14 there's a difference in what sands they flooded with CO₂ as
15 opposed to what you're recommending?

16 A Would you repeat that question, please?

17 Q Sure. Conoco utilized, what was the
18 number, 5?

19 A Sand No. 6.

20 Q Sand No. 6 in the Grayburg for their CO₂
21 operation. You're proposing to -- to incorporate all 6 of
22 those Grayburg zones for CO₂ operations. Is there a
23 material difference?

24 A No, sir, I believe that they -- just
25 their initial plans were to go for the sand thicks in the

1 San Andres and it's our plan to target all the Grayburg
2 sands.

3 Q In examining the data you don't see any
4 reason not to include those additional sands that Conoco
5 chose not to flood at this time?

6 A Oh, no, sir. They have proper thick-
7 ness and porosity.

8 Q Let's turn to Exhibit Number Six now.
9 Would you identify Exhibit Number Six for us?

10 A Exhibit Number Six is the Commission
11 order to Conoco's CO₂ pilot flood.

12 Q Within that order you have identified in
13 red certain items that I'd like to have you comment on.

14 First of all, let's look at the second
15 page of their order. Their proposal under the ordering
16 paragraph number Four proposed the drilling of four pro-
17 ducing wells as well as two observation wells, is that
18 correct?

19 A Yes, sir.

20 Q For your project, and perhaps we can use
21 -- let's skip Exhibit Number Seven for a moment and use as
22 a guide Exhibit Number Eight. When we look at Exhibit
23 Number Eight what are we seeing, Ms. Courtright?

24 A Exhibit Number Eight is the 5-spot,
25 inverted 5-spot, for our CO₂ injection project. It iden-

1 tifies the Injection Well No. 38 and two observation wells,
2 No. 39 and No. 40.

3 Q Do the four producer wells currently
4 exist?

5 A No, sir, only three of the producing
6 wells currently exist.

7 Well No. 37 will be drilled.

8 Q In addition to approval of the CO₂ pro-
9 ject, you're seeking approval of the injector well loca-
10 tion?

11 A Yes, sir, we're seeking the approval of
12 the injection well location along with the observation
13 wells.

14 Q Why is that necessary?

15 A They are in unorthodox locations and we
16 would also like the ability to not only use these wells or
17 these well locations for observation, but also for injec-
18 tion or production as the field developed.

19 Q What is the engineering basis upon which
20 you have selected this particular pattern for utilization
21 in your pilot project?

22 A This area is representative of the field
23 in general.

24 Q Is the pattern one that is conventional
25 for the type of flooding that will be proposed for the

1 balance of the project if the pilot itself is successful?

2 A Yes, sir. This is a 5-spot.

3 Q Is there any particular reason that you
4 have located or oriented the two observation wells as
5 you've done?

6 A These wells are located along the
7 shortest wing length or straight line between injector and
8 producer.

9 Q How does that compare to what Conoco did
10 with regards to their pilot project in the Grayburg-San
11 Andres that's shown on Exhibit Number Six?

12 A It is very similar. They also had two
13 observation wells located along one injector-producer line.

14 Q One of the other points that you've
15 highlighted in the Conoco order is ordering paragraph No.
16 8. Why did you identify that for our attention?

17 A Conoco was granted permission for a
18 maximum wellhead injection pressure of 2150 and we would
19 like to have a maximum wellhead pressure of 1700 pounds.

20 Q If the Commission utilizes their .2 psi
21 per foot of depth as a benchmark pressure limitation on the
22 surface, what would that pressure be for your project area?

23 A That pressure would only be approximate-
24 ly 900.

25 Q 900 pounds?

1 A Yes, sir.

2 Q In your opinion, based upon your study
3 at this point, is that going to be an adequate surface
4 pressure in which to effectively and efficiently inject the
5 carbon dioxide into the pilot project?

6 A No, sir, it certainly wouldn't be the
7 most efficient since we are planning on taking straight
8 from the line and the line pressure at our take off point
9 will be approximately 1700, would be our maximum line pres-
10 sure.

11 Q Take a moment and look at Exhibit Number
12 Seven, which we skipped awhile ago. Does Exhibit Number
13 Seven show the location of the CO₂ pipeline as it now
14 exists?

15 A Yes, it does. That is shown in the
16 green hatched line.

17 Q Where is the approximate takeoff point
18 from the CO₂ line for the pilot project?

19 A The takeoff valve is at the intersection
20 of Sections 26, 27, 34 and 35. The X marks the location of
21 the takeoff valve.

22 Q The pressure in that pipeline is appro-
23 ximately 1700 psi?

24 A That will be the maximum line pressure
25 at that point.

1 Q In terms of your initial study have you
2 determined what the missibility pressure is?

3 A Yes, sir. Initial tests indicate that
4 it will be 1135 pounds psi.

5 Q What does that mean to you as an en-
6 gineer?

7 A That means that that is the minimum
8 pressure at which a missible front may be reached.

9 Q Okay. What is the approximate current
10 pressure in the reservoir in its current state of deple-
11 tion?

12 A In the pilot area our reservoir pressure
13 is approximately 1400 psi.

14 Q In making your study do you see any
15 justification to stay within the Commission guideline of
16 the 900 pound limitation for this particular project?

17 A No, sir. We feel that 1700 is consider-
18 ably below the frac pressure and we have evidence of this
19 through several of our -- or many of our last completions
20 over the last two years.

21 Q Well, let's look specifically at the
22 Conoco project now. They're injecting into the No. 5 and
23 No. 6 zones of the Grayburg?

24 A No, sir, they're only injecting into
25 Grayburg No. 6.

1 Q I'll get it right yet, it's No. 6.

2 A And (unclear) the San Andres.

3 Q All right. Within that zone, then, the
4 Commission has approved for Conoco a pressure limitation of
5 what?

6 A 2150 psi.

7 Q Are you aware of or is there informa-
8 tion available to show that that pressure limitation is
9 causing either hydrocarbons or water or CO₂ to break out of
10 the production formation and migrate elsewhere?

11 A No, sir, not to my knowledge.

12 Q It's not unusual for the Examiner to
13 enter a waterflood or a CO₂ order in which he requires the
14 operator to provide step rate tests should you desire to
15 exceed the pressure limitation guidelines.

16 A Yes, sir. It's our intention to conduct
17 the CO₂ step rate test and submit that to the Commission
18 after -- after the well completion.

19 Q Do you have any preference as to the
20 sequence in which you obtain your pressure limitation ap-
21 provals in relation to the step rate test?

22 A Yes, sir, we would like to have the 1700
23 stated in the order and then we will conduct the step rate
24 test at the time of completion.

25 Q What flexibility does that provide you

1 as an operator to have the rate already in place before you
2 conduct the step rate test?

3 A It provides us with a -- certainly in
4 the timing of our project it will aid us in beginning in-
5 jection of our CO₂ in a more rapid manner.

6 Q You wouldn't have to pressure down off
7 of the CO₂ pipeline pressure that currently exists?

8 A No, sir, we would not.

9 Q Do you see any risk to fresh water
10 sources or any producing hydrocarbons by allowing that
11 pressure limitation to be established now at 1700 psi?

12 A No, I don't.

13 Q Let me ask you what you propose to ac-
14 complish with the pilot project? What's the purpose?

15 A The purpose of the pilot project is to
16 gather enough data and assess the recovery so that we can
17 determine the feasibility of full scale CO₂ development.

18 Q The goals of the proposed project for
19 Conoco shown in finding No. 4 of the order shown as Exhibit
20 Six, are those the same types of objectives that you have
21 as a reservoir engineer for your project?

22 A Yes, sir. We do plan our observation
23 wells will help us in identifying zonal isolation and also
24 CO₂ and oil (unclear).

25 Q Let me have you describe for us some of

1 the additional information that we have not yet talked
2 about on Exhibit Number Seven.

3 First of all, what is the purpose of the
4 half mile radius circle?

5 A The half mile radius circle is the area
6 of investigation for the injection well No. 38, as stated
7 in the C-108 form.

8 Q Did you prepare and tabulate the neces-
9 sary information for the filing of the C-108?

10 A Yes, sir, I did.

11 Q In doing so did you identify any offset
12 operators within a half mile radius other than Phillips
13 Petroleum Company?

14 A No, sir. In the exact half mile radius
15 of investigation only Phillips Petroleum operates; however,
16 we did send notice to one nearby offset operator, which is
17 shown as Harvey Yates, which is immediately north of Phil-
18 mex No. 12, or I'm sorry, immediately south.

19 Q South. That will be the southwest
20 quarter of the northwest of Section --

21 A 35.

22 Q -- 35. Have you received any objection
23 from the Yates personnel?

24 A No, sir, we haven't.

25 Q Who is the owner of the surface at the

1 injection well location?

2 A This is all state land.

3 Q Have you received any objection from the
4 Commissioner of Public Lands about your project or the in-
5 jection well?

6 A No, sir.

7 Q Let me have you turn your attention now
8 to Exhibit Number Nine, Ms. Courtright, and ask you whether
9 or not you've made a study of the anticipated advantages in
10 the recovery of additional hydrocarbons from the pilot
11 area.

12 A Yes, sir, I have made the study and I
13 have prepared this plot shown as Exhibit Nine.

14 Q Before you explain the conclusions and
15 information from the display, explain to us how to read the
16 display.

17 A On the vertical axis is net barrels of
18 oil per day to Phillips Petroleum Company. This ranges
19 from zero to 3000 barrels per day.

20 On the horizontal axis is simply time
21 from 1987 until 1995.

22 Q When you look at that portion of the
23 display that's identified as primary reserves --

24 A Yes, sir.

25 Q -- within what horizontal area have you

1 identified those reserves?

2 A That is the current production and
3 forecast for all Maljamar wells completed within the total
4 of 10,100 acres.

5 Q And so we would take the outline on
6 Exhibit Number One and the outer boundary of all those
7 cooperative lease flood areas at 10,000 acres?

8 A That's correct.

9 Q When you say "pilot response" --

10 A Yes, sir.

11 Q -- what are you projecting the area to
12 be included within the pilot response area?

13 A The pilot is -- pilot response is based
14 only on the 40-acre 5-spot that was shown in Exhibit Number
15 Eight.

16 Q And then when you say "phase one re-
17 sponse", then that's the area shaded in green?

18 A Yes, sir. Based on the outcome of the
19 pilot, we are anticipating spacing our CO₂ development,
20 this would encompass approximately 2000 acres out of the
21 total 10,000 acres.

22 Q In making this analysis do you see any
23 relation as to the time in which you ought to commence your
24 pilot project?

25 A Yes, sir. It's beneficial to us to be-

1 gin this pilot project and therefore be able to determine
2 the feasibility of going to full scale CO₂. Our reservoir
3 pressure is such that we will not have to go through a
4 secondary phase of reinjecting water to pressure up the
5 reservoir, as we're already over the minimum miscibility
6 pressure.

7 Q Is now, then, the optimum time at which
8 to commence the pilot CO₂ project?

9 A Yes, sir, it is.

10 Q And if you wait longer, what occurs?

11 A Through production and depletion our
12 reservoir pressure will decrease and we might possible fall
13 below the minimum miscibility pressure.

14 Q Have you made an estimate of what per-
15 centage of primary reserves are going to be recovered in
16 the 10,000 acre area?

17 A Yes, about 6 to 8 percent will be re-
18 covered through primary drive mechanism.

19 Q And your proposal is to skip a conven-
20 tional waterflood secondary recovery phase?

21 A That's right.

22 Q Have you estimated based upon Conoco's
23 success what might be the likely percentage of additional
24 oil recovery attributable directly to a tertiary or a CO₂
25 project?

1 A Yes, sir. Using a pessimistic value
2 that Conoco achieved for their residual oil saturation, we
3 feel that it might be possible to recover an additional
4 34-million barrels of oil within the 10,000 acres.

5 Q Why have you proposed to skip the con-
6 ventional waterflood phase of recovery?

7 A One, mainly because our reservoir pres-
8 sure is such that we're above the minimum miscibility
9 pressure and also the highest cost of the CO₂ project will
10 be offset by the recoveries from primary, secondary and
11 tertiary.

12 Q If you had postponed your CO₂ process
13 until later, until your reservoir pressure was below your
14 miscibility pressure, then you might have to repressurize
15 the reservoir using conventional waterflooding.

16 A That's correct.

17 Q But if you start it now, then you can
18 save the expense of doing so.

19 A That's correct.

20 Q Let's talk about the mechanics of the
21 operation of the pilot project itself and let's talk first
22 of all about the cost of the pilot project. If you'll
23 direct your attention to Exhibit Number Ten, would you
24 identify and describe for us what you've done there?

25 A Exhibit Number Ten is the summary of the

1 type of costs that Phillips will be incurring just to in-
2 stall this pilot project.

3 Q All right, let's specifically go to the
4 C-108 and talk about some of the details of the operation.

5 One of the first attachments to the
6 C-108, and I believe we've marked it as Phillips Exhibit
7 Number 11, Mr. Catanach, is a plat. What have you shown on
8 the plat?

9 A In yellow are outlined all the Phillips
10 acreage and the inner circle is the half mile area of re-
11 view and the outside circle is the 2-mile radius.

12 Q Turn to Exhibit Number Twelve and let's
13 have you describe for us the injection well schematic.

14 A Exhibit Number Twelve is the proposed
15 injection well schematic. The formation tops are noted in
16 the lefthand column and these are approximate, since we
17 have not drilled or completed this well.

18 Q Let's talk about some of the specifics.
19 Commonly the Commission requires injector wells to have
20 plastic lined tubing in them.

21 A Yes, sir.

22 Q And I believe you've told me that your
23 proposing not to utilize in the injector plastic lined
24 tubing.

25 A Yes, sir. We would like the Commission

1 to waive that requirement for plastic lined tubing since
2 this will be a continuous CO₂ injection project. If at
3 such time we do go and follow up with water injection, we
4 will install the plastic lined tubing.

5 Q Explain for the record, I'm sure it's
6 obvious to you but not to me, why you would have plastic
7 lined tubing in one instance and not as you propose it to
8 utilize for the CO₂ project.

9 A Plastic lined coated tubing is needed
10 for a corrosive environment, which is generated when you
11 have water and CO₂ combined.

12 Q If we eliminate the water, then, from
13 the injection well there's no opportunity to -- to cause
14 corrosion to take place in the tubing?

15 A No, sir, it won't be a corrosive envi-
16 ronment.

17 Q Okay, and your pressures, then, using
18 the CO₂ in the injection well are going to keep any forma-
19 tion water out of the tubing?

20 A That's correct.

21 Q Will you comply with your injector well
22 with the typical requirements of the Division with regards
23 to filling the annular space between the casing and the
24 tubing with some inert fluid?

25 A Yes, sir, (not understood).

1 Q With regard to the cementing of the
2 injector well, are you going to have a continuous string of
3 cement all the way from TD to the surface?

4 A Yes, sir, in both casing strings we will
5 circulate cement to surface.

6 Q Describe for us the operation of the
7 injector well. How -- in what volumes do you propose to
8 inject the carbon dioxide?

9 A We anticipate injecting at 400 MCF a
10 day. This is an estimated rate, and our final rate will be
11 determined after we conduct the step rate test in the
12 injection well.

13 Q Now there is some difference in the
14 physical operation that you propose for your project and
15 what Conoco conducted in their observation or pilot pro-
16 ject. Would you describe the difference?

17 A Conoco in their pilot project injected
18 only into the Grayburg No. 6 and also into the San Andres,
19 and these two zones were isolated with packers so that
20 there was isolation between the two zones. It is our
21 intentions only to perforate our Grayburg sands and inject
22 into those sands.

23 Q Did Conoco also inject water in various
24 relationships to the carbon dioxide injected into the in-
25 jector well?

1 A Yes, sir. Before they began CO₂ in-
2 jection they flooded out their pilot area with the known
3 salinity of water. Then they followed that up with a CO₂
4 flood, and after that they once again flooded with water.

5 Q You propose not to do that?

6 A That's correct.

7 Q And again, why not?

8 A Our reservoir pressure is already such
9 that we don't need a repressurization.

10 Q On Exhibit Number Thirteen, which is one
11 of the attachments to the C-108, you've outlined the
12 details of your producing wells as well as your observation
13 wells.

14 A Yes, sir.

15 Q Okay, now how do you propose to utilize
16 the observation wells?

17 A The observation wells will be used as
18 logging wells and that is, we will be running a series of
19 logging passes in these wells to determine if our CO₂ is
20 staying in zone. After the CO₂ has passed these observa-
21 tion wells we'll be able to determine the residual oil
22 saturations CO₂ flooding and also we'll be able to track
23 any movement of the CO₂ and the oil.

24 Q How often do you anticipate running the
25 logs on the observation wells?

1 A Initially we will be running these quite
2 often as both the movement and the sweep efficiencies are
3 unknown at this time, and certainly the later in the pro-
4 ject, the more time in between the logging runs.

5 Q Can you approximate for us the life of
6 the pilot project?

7 A The pilot project would certainly be
8 productive for four to seven years and we anticipate seeing
9 any sort of result pass the observation wells within a six
10 month period.

11 Q Within six months then you should have
12 --

13 A Yes.

14 Q -- available information from which to
15 evaluate the success of the project and determine whether
16 or not you'll seek the Division approval to expand it?

17 A Yes, sir.

18 Q Do you have a recommendation to the
19 examiner as to how to implement an expansion of the pilot
20 project?

21 A Yes, sir, we would like to be able to
22 expand our project within the Philmex lease based on noti-
23 fication to the Commission.

24 Q You're seeking, then, some administra-
25 tive procedure whereby you can document to the Division

1 without hearing the success of your project and then re-
2 quest administrative approval to expand a project for this
3 particular lease area?

4 A That's correct.

5 Q And it would be that area encompassed
6 within the provisions of Order R-3668?

7 A Yes, sir.

8 Q And that's the area identified on
9 Exhibit One as shaded in the red outlined?

10 A As the zone (inaudible).

11 Q In further compliance with the require-
12 ments of the C-108 procedures, have you within the half
13 mile radius identified all the wellbore information from
14 wells that penetrate through the Grayburg and San Andres
15 formations?

16 A Yes, sir, I have examined all the wells
17 within the area of review.

18 Q And is that tabulation shown on Exhibit
19 Number Fourteen?

20 A Yes, it is.

21 Q What does that show you?

22 A That shows that all our wells are pro-
23 perly cemented and the wellbores within this area are sound
24 (not clearly understood).

25 Q All your wells, you -- you have the only

1 wells within the half mile radius?

2 A That's correct.

3 Q You don't see any of the wells that are
4 defective to the extent that any of the injection fluids
5 are going to go out of the Grayburg-San Andres formation
6 and migrate elsewhere.

7 A That's correct.

8 Q Have you also attempted to identify the
9 location and source of any produced fresh waters in the
10 area?

11 A Yes, sir, and that is shown on Exhibit
12 Number Fifteen.

13 Q And what did you find?

14 A There are no fresh water wells within
15 the area of review; however, there are two wells which are
16 on the outer boundaries of the 2-mile radius.

17 Q What type of wells are those?

18 A These are fresh water wells.

19 Q Producing stock tank water for cattle or
20 for what purpose?

21 A Yes, sir, for cattle.

22 Q What is the formation that they produce
23 their water from?

24 A I'm not quite sure but I believe it
25 would be within the redbeds.

1 Q Okay, this is above the Rustler forma-
2 tion, is it?

3 A Yes.

4 Q At approximately what depth is that, Ms.
5 Courtright?

6 A The base of the Redbeds is at 300.

7 Q And your top zone in the Grayburg is ap-
8 proximately what depth?

9 A Approximately 4150.

10 Q In making an examination of the avail-
11 able geology, do you find any faulting in the area or any
12 geologic incident that would cause disposal fluids to
13 migrate up into fresh water areas?

14 A No, sir.

15 Q What have you shown as attachments to
16 Exhibit Number Fifteen?

17 A These two attachments identified as
18 Attachment 5 and Attachment Six are the fresh water analy-
19 ses on these wells, the two fresh water wells.

20 Q Do you have an opinion as to whether
21 approval of this application would prevent waste?

22 A Yes, sir, it would, both by we would be
23 able to increase our recoverable reserves and also extend
24 the producing life of this reservoir.

25 Q Do you see any opportunity to impair the

1 correlative rights of any other operator or interest owner
2 in the area by approval of this application?

3 A No, sir.

4 MR. KELLAHIN; That concludes
5 my examination of Ms. Courtright, Mr. Catanach.

6 We would move the introduction
7 of her Exhibits One through Fifteen.

8 MR. CATANACH: Exhibits One
9 through Fifteen will be admitted into evidence.

10

11 CROSS EXAMINATION

12 BY MR. CATANACH:

13 Q Ms. Courtright, let me see if I can get
14 this straight.

15 You're proposing just to inject into the
16 Grayburg and not the San Andres.

17 A That's for our initial pilot operations.
18 We plan to evaluate the effectiveness of the Grayburg CO₂
19 injection project and after such time as we have done that,
20 then we will open up the San Andres and evaluate that.

21 Q Why -- why is it that the two zones
22 aren't being evaluated at the same time?

23 A In our portion of the field the San
24 Andres is only productive in our southern region and as
25 such it doesn't provide as large of a target for recover0

1 able reserves.

2 Q What is the approximate injection in-
3 terval?

4 A The approximate injection interval is
5 shown on Exhibit Number Twelve and that will be from the
6 top of the Grayburg to the top of the San Andres, which is
7 approximately 400 feet, gross interval.

8 Q So approximately 4130 to 4530.

9 A Correct.

10 Q Where is the initial well that was
11 authorized for water injection? Where is that located?

12 A If you will look at Exhibit Number One,
13 the initial injection well is shown by an arrow, which is
14 in the lower lefthand corner of Section 27.

15 Q Well No. 6?

16 A Yes.

17 Q And what kind of response that you had
18 to that?

19 A We have had slight response to that but,
20 of course, that is only one injection well.

21 The best response that we've seen is up
22 in -- up north in our Northeast Maljamar Waterflood and we
23 feel that we're recovering an additional 6 to 8 percent oil
24 in place.

25 Q What is the status of the producing

1 wells on the Philmex lease at this point? What are they
2 producing at this point?

3 A An average production of these wells is
4 approximately 10 barrels of oil a day per well, and this
5 does place this lease as a marginal lease and we would like
6 to implement a project to increase that production.

7 Q Have you done a study to -- to determine
8 if you would recover more oil if you waterflooded first and
9 then went to CO₂?

10 A No, sir, we feel that we will be able to
11 recover the same amount of oil since we will be bypassing
12 the residual oil saturation to water and will be going
13 straight to the residual oil saturation to CO₂.

14 Q So you're not going to lose anything.

15 A That's correct.

16 Q Has Phillips operated other floods in --
17 well, not in New Mexico, but in -- in other places where
18 they've attempted to do this, skip the waterflood portion
19 of the --

20 A No, sir, Phillips has not.

21 Q Do you know of anybody that's -- that's
22 done it successfully?

23 A There is one operation that was conduc-
24 ted by Shell in Upton in Crane County in Texas and it was,
25 I believe it's the Possit (sic) Field, and however, they

1 did have slightly repressurization through gas injection
2 before they began their CO₂ injection.

3 Q Before you go full scale on this, you'll
4 have a lot of results from the pilot.

5 A Yes, sir, going full scale will be based
6 upon the results of the pilot.

7 Q So you may not go to complete CO₂.

8 A That is a possibility.

9 Q You've estimated 34-million barrels re-
10 covery, additional recovery?

11 A That is a high side figure and that is
12 for the total 10,000 acres, and that would be in the pilot
13 area we expect a recovery of 52 percent of the oil in
14 place.

15 Q 52 percent of the oil in place now or
16 of the original oil?

17 A Of the original oil in place.

18 Q And primary was 6 to 8 percent?

19 A Yes, sir.

20 Q If the pilot project is successful will
21 the project be expanded a small portion at a time or --

22 A Yes, sir, that's what we anticipate, is
23 phasing our full scale development into approximately three
24 phases right now. Those are only initial plans and further
25 engineering decisions will be made at such time that it's

1 possible.

2 Q Now you said that you had evidence that
3 the 1700 psi was below the fracture pressure for the Gray-
4 burg.

5 A Yes, sir.

6 Q What evidence do you have?

7 A We had -- had conducted quite an exten-
8 sive drilling program over the last two years and the
9 average fracture pressure that we noticed was well above
10 2000. It was probably in the area of 26-to-2700 pounds.
11 And that is surface pressure.

12 MR. CATANACH: That's all the
13 questions I have of the witness at this time. She may be
14 excused.

15 Anything further in this case?

16 MR. KELLAHIN: No, Mr. Exam-
17 iner.

18 MR. CATANACH; If not, this
19 case will be taken under advisement.

20

21 (Hearing concluded.)

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 9678,
heard by me on May 21, 1989.

David R. Citanek Examiner
Oil Conservation Division