

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

24 May 1989

EXAMINER HEARING

IN THE MATTER OF:

In the matter of cases called on this
date and continued or dismissed with-
out testimony presented.

CASES
9675
9109
9572
9573
9682
9683

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CASE 9675

3

CASE 9109

4

CASE 9572

5

CASE 9573

6

CASE 9682

7

CASE 9683

8

1 MR. CATANACH: Call this
2 hearing to order this morning for Docket No. 16-89.

3 Call the continuances first
4 this morning.

5 I'll call Case 9675. Appli-
6 cation of Yates Petroleum Corporation for compulsory
7 pooling, Chaves County, New Mexico.

8 This case will be continued to
9 June 7th, 1989.

10
11 (Hearing concluded.)
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 MR. CATANACH: Case 9109.

2 In the matter of Case 9109 being reopened pursuant to the
3 provisions of Division Orders No. R-6129-A and R-8446,
4 whereby the Benson-Strawn Pool was redesignated as a gas
5 pool and developed on the statewide 320-acre spacing units,
6 Eddy County, New Mexico.

7 This case will be continued to
8 June 21st, 1989.

9
10 (Hearing concluded.)
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CATANACH: Case 9572.

The application of Dugan Production Corporation for a non-standard gas proration unit, San Juan County, New Mexico.

This case will be continued to August 23rd, 1989.

(Hearing concluded.)

MR. CATANACH: Case 9573.

The application of Dugan Production Corporation for a non-standard gas proration unit, San Juan County, New Mexico.

This case will also be continued to August 23rd, 1989.

(Hearing concluded.)

1 MR. CATANACH: Case 9682. The
2 application of Kerr-McGee Corporation for statutory uniti-
3 zation, Chaves County, New Mexico.

4 This case will be continued to
5 June 7th, 1989.

6
7 (Hearing concluded.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 MR. CATANACH: Case 9683. The
2 application of Kerr McGee Corporation for a waterflood pro-
3 ject, Chaves County, New Mexico.

4 This case will be continued to
5 June 7th, 1989.

6
7 (Hearing concluded.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

7 June 1989

EXAMINER HEARING

IN THE MATTER OF:

Application of Kerr-McGee Corporation CASE
for statutory unitization, Chaves 9682
County, New Mexico, and

Application of Kerr-McGee Corporation 9683
for a waterflood project, Chaves County,
New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Robert G. Stovall
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico

For Kerr-McGee Corporation: Karen Aubrey
Attorney at Law
KELLAHIN, KELLAHIN & AUBREY
P. O. Box 2265
Santa Fe, New Mexico 87504

I N D E X

DAVID CHRISTIAN

Direct Examination by Ms. Aubrey 5

Cross Examination by Mr. Stovall 12

BOB QUANCE

Direct Examination by Ms. Aubrey 16

Cross Examination by Mr. Stogner 27

Redirect Examination by Ms. Aubrey 30

Recross Examination by Mr. Stogner 45

Redirect Examination by Ms. Aubrey 55

E X H I B I T S

Kerr-McGee Exhibit One, Map 7

Kerr-McGee Exhibit Two, Unit Agreement 7

Kerr-McGee Exhibit Three, Unit Operating Agreement 8

Kerr-McGee Exhibit Three-A, Addendum 9

Kerr-McGee Exhibit Four, Photocopy 15

Kerr-McGee Exhibit Five, Isopach 19

Kerr-McGee Exhibit Six, Cross Sections A-E 20

Kerr-McGee Exhibit Seven, Curves 22

Kerr-McGee Exhibit Eight, Data 23

E X H I B I T S Cont'd

1		
2		
3	Kerr-McGee Exhibit Nine, Participation Form	25
4	Kerr-McGee Exhibit Ten, C-108	33
5	Kerr-McGee Exhibit Eleven, Letter	34
6	Kerr-McGee Exhibit Twelve, Tabulation	36
7	Kerr-McGee Exhibit Thirteen, Tabulation	37
8	Kerr-McGee Exhibit Fourteen, Tabulation	38
9	Kerr-McGee Exhibit Fifteen, Tabulation	39
10	Kerr-McGee Exhibit Sixteen, Tabulation	39
11	Kerr-McGee Exhibit Seventeen, Data	40
12	Kerr-McGee Exhibit Eighteen, Water Data	40
13	Kerr-McGee Exhibit Nineteen, Map	41
14	Kerr-McGee Exhibit Twenty, Review	42
15	Kerr-McGee Exhibit Twenty One, Well Data	42
16	Kerr-McGee Exhibit Twenty Two, Geologic Discussion	43
17	Kerr-McGee Exhibit Twenty Three, Letter	44
18	Kerr-McGee Exhibit Twenty Four, Notices	44
19	Kerr-McGee Exhibit Twenty Five, Notice and Waivers	44
20		
21		
22		
23		
24		
25		

1 MR. STOGNER: We'll call next
2 Case Number 9682.

3 MR. STOVALL: Application of
4 Kerr-McGee Corporation, that's with a hyphen, for statu-
5 tory unitization, Chaves County, New Mexico.

6 MR. STOGNER: Call for ap-
7 pearances.

8 MS. AUBREY: Karen Aubrey of
9 the Santa Fe firm of Kellahin, Kellahin & Aubrey, appearing
10 for the applicant.

11 MR. STOGNER: Are there any
12 other appearances?

13 Being none, Ms. Aubrey, any-
14 thing further?

15 MS. AUBREY: Mr. Examiner,
16 would it be possible to consolidate Case 9682 with 9683 so
17 that we can put the testimony on through the two witnesses
18 together?

19 MR. STOGNER: No problem.

20 We'll call next Case Number
21 9683.

22 MR. STOVALL: Application of
23 Kerr-McGee Corporation for a waterflood project, Chaves
24 County, New Mexico.

25 MR. STOGNER: Let the record

1 show that Ms. Aubrey, I assume you enter an appearance in
2 this case, also.

3 MS. AUBREY: Yes, Mr. Exa-
4 miner, I have two witnesses to be sworn.

5 MR. STOGNER: It appears there
6 are no other appearances in either of these matters, will
7 the witnesses please stand and be sworn?

8
9 (Witnesses sworn.)

10
11 MR. STOGNER: Thank you,
12 gentlemen.

13 Ms. Aubrey.

14 MS. AUBREY: Thank you.

15
16 DAVID CHRISTIAN,
17 being called as a witness and being duly sworn upon his
18 oath, testified as follows, to-wit:

19
20 DIRECT EXAMINATION

21 BY MS. AUBREY:

22 Q Would you state your name for the re-
23 cord, please?

24 A Yes, my name is David Christian.

25 Q Mr. Christian, where are you employed?

1 A I'm employed by Kerr-McGee Corporation
2 in Oklahoma City, Oklahoma.

3 Q And what do you do for Kerr-McGee?

4 A I am the Senior Petroleum Landman for
5 Kerr-McGee.

6 Q Have you testified before the New Mexico
7 Oil Conservation Division before, Mr. Christian?

8 A No.

9 Q Would you outline your background in
10 petroleum land titles for the examiner?

11 A Yes, I have a JD degree from the Univer-
12 sity of Tulsa. I've been employed by Kerr-McGee for the
13 last 13 years; the last 7 as the Senior Petroleum Landman/

14 Q And I understand, also, Mr. Christian,
15 that you have an engineering degree, is that correct?

16 A Yes. I have a BS in engineering from
17 Arizona State.

18 Q Are you familiar with the applications
19 filed by Kerr-McGee Corporation in Cases 9682 and 9683 for
20 statutory unitization and a waterflood project in Chaves
21 County, New Mexico?

22 A Yes, I am.

23 MS. AUBREY: Mr. Examiner, are
24 the witness' qualifications acceptable?

25 MR. STOGNER: They are.

1 Q Mr. Christian, would you tell the exa-
2 miner what your participation has been in determining the
3 identity of the working interest owners and the royalty
4 owners in the proposed statutory unit?

5 A Yes. Kerr-McGee hopes to unitize for
6 waterflood purposes two sections of land, Sections 1 and 2
7 of Township 8 South, Range 33 East. From the land stand-
8 point I was asked to research who the working interest
9 owners are and who the royalty interest owners would be
10 plus the surface owners.

11 Q And what was the result of you research?

12 A The lands in question are all State of
13 New Mexico mineral interest lands. They are all leased to
14 Kerr-McGee or other parties for a 1/8th royalty.

15 There are three working interest owners:
16 Kerr-McGee Corporation, Warren American Oil Company, and
17 Bristol Resources Company.

18 Q And are those land positions shown on
19 Exhibit One which we have over on the wall there, where is
20 a map of the unit area?

21 A Yes, they are.

22 Q Let me have you look now at what we've
23 marked as Exhibit Number Two, Mr. Christian, --

24 A Okay.

25 Q -- which is the unit agreement. Is that

1 the proposed unit agreement for this unitized area?

2 A Yes, it is.

3 Q And Exhibit Number Three is the proposed
4 unit operating agreement, is that correct?

5 A That is correct.

6 Q Can you outline for the examiner which
7 working interest owners have ratified the unit agreement
8 and the unit operating agreement?

9 A Yes. The agreements have been ratified
10 by Bristol Resources Company at this time in writing. We
11 have their signed agreements.

12 We have verbal assurances from Warren
13 American Oil Company that they will sign the agreements.

14 Q And Kerr-McGee has ratified and signed
15 the agreements, is that correct?\

16 A That's correct.

17 Q What percentage of working interest does
18 that represent in terms of working interest owners who have
19 actually ratified and signed the agreement?

20 A Roughly 97 percent.

21 Q And what is the stage of your negotia-
22 tions with Warren?

23 A Warren was given the agreements at a
24 working interest owners meeting in April, along with
25 Bristol We have been talking with them since then about

1 minor points of the agreements and finally hammered every-
2 thing out and they have said they'd send the agreements
3 back to us.

4 MS. AUBREY: Mr. Examiner, at
5 this point we'd like to proceed with statutory unitization
6 because we do not have an actual signed agreement with
7 Warren representing the remaining 3 percent of the inter-
8 est.

9 MR. STOGNER: Thank you, Ms.
10 Aubrey, you may continue.

11 Q What percentage of royalty owners have
12 ratified the unit agreement, Mr. Christian?

13 A The State of New Mexico owns 100 per-
14 cent of the royalty and they have stated they will approve
15 the agreements after approval by the Commission.

16 Q Let me refer you now to Exhibit Number
17 Three-A, which is an addendum to the unit agreement. Can
18 you describe the purpose of that addendum for the examiner?

19 A Yes. This addendum is in the event for
20 any reason Warren American decides finally not to sign the
21 agreement, that Kerr-McGee and Bristol will be allowed to
22 pay for their share of the costs and receive their share of
23 production plus a risk penalty.

24 Q And this addendum is proposed in
25 accordance with the statutory provision that allows the

1 unit operator to collect a nonconsent penalty from a
2 working interest owner who does not pay his share of the
3 cost.

4 A Yes, that's correct.

5 Q Mr. Christian, what is the risk penalty
6 which is provided for in Exhibit Three-A?

7 A 200 percent plus --

8 Q And is that --

9 A -- plus the cost of the operation.

10 Q And is that a statutory penalty?

11 A Yes, it is.

12 Q Are there any provisions of the unit
13 operating agreement which were specifically negotiated with
14 the working interest owners or which are unusual?

15 A Basically the agreements are the API
16 Moel Form Agreements which are generally accepted in the
17 industry for secondary recovery operations.

18 Probably the major change in this
19 agreement is that we do not anticipate any investment ad-
20 justments for existing equipment on the -- on the leases
21 involved.

22 Q Are provisions contained in the unit
23 operating agreement for allocating the expenses and in-
24 ventory and other items of tangible property?

25 A Yes, that's covered by the unit oper-

1 ating agreement.

2 Q Do you consider those provisions to be
3 fair and reasonable?

4 A Yes. They're the same percentages that
5 will be used to allocate the production from the various
6 tracts.

7 Q Does the unit operating agreement
8 provide for the situation where a working interest owner
9 fails to pay his share of the unit expenses?

10 A Yes, it does.

11 Q Does the unit operating agreement -- the
12 unit agreement and the unit operating agreement provide for
13 the designation of (not clearly understood) for unit oper-
14 ating?

15 A Yes.

16 Q Do you request that Kerr-McGee be desig-
17 nated as the unit operator for this unit?

18 A Yes, I do.

19 Q Does the unit operating agreement
20 provide for a method of voting on unit matters?

21 A It does.

22 Q Does the unit agreement provide for --
23 have provisions in it for putting the unit into effect and
24 terminating the unit?

25 A Yes.

1 Q Mr. Christian, were Exhibits One through
2 Three-A prepared either by you or under your supervision?

3 A Yes, they were.

4 MS. AUBREY: Mr. Examiner, I
5 offer Exhibits One through Three-A and that concludes my
6 examination of Mr. Christian at this time.

7 MR. STOGNER: Exhibits One
8 through Three-A will be admitted into evidence at this
9 time.

10

11 CROSS EXAMINATION

12 BY MR. STOVALL:

13 Q Let me just quickly make sure we clarify
14 the record here.

15 As far as Warren, do you anticipate they
16 will join the unit?

17 A Yes, but we did have to continue this
18 from one prior time because we hadn't gotten their signa-
19 ture back yet.

20 Q Do you have any anticipation of any time
21 frame?

22 A Well --

23 Q Have you had any discussions with them
24 which would lead you to believe it's going to be fairly im-
25 mediate?

1 A Well, I hope we get it by the end of
2 this month at the very latest, but we had also hoped to
3 have it prior to the May hearing also.

4 Q I understand. You will notify the Div-
5 ision if they do join.

6 A Yes, I will.

7 Q With respect to that, do you have par-
8 ticipation formulas in your unit agreement and unit oper-
9 ating agreement?

10 A Yes.

11 Q Are you prepared to testify here or do
12 you have another witness who will --

13 MS. AUBREY: Mr. Stovall,
14 the formulas are in the agreements. The engineer will
15 speak directly to the way that the formulas were derived.
16 Mr. Christian is generally familiar with the formulas,
17 however, and I believe can speak to them in a general sort
18 of way.

19 MR. STOVALL: Well, I think if
20 they're in the agreement we can determine what they say.
21 The agreements speak for themselves. I think the examiner
22 is probably more concerned about the manner in which they
23 (not clearly understood).

24 MR. STOGNER: A little bit of
25 both at this point. First of all, where are they, Exhibit

1 Two or Three?

2 A Exhibit B to the unit agreement, which
3 is Exhibit Two.

4 MS. AUBREY: Mr. Examiner, the
5 language regarding the tract participation is also set out
6 on page 6 of the unit agreement, which is Exhibit Two. The
7 actual numbers are set out in Exhibit B to the unit agree-
8 ment.

9 Q Let's take a couple minutes here.

10

11 (Thereupon a brief recess was taken.)

12

13 MR. STOGNER: Shall we con-
14 tinue?

15 MR. STOVALL: Ms. Aubrey, let
16 me just clarify that this witness is not the witness to
17 testify as to the methodology that was used to develop the
18 participation formula, is that correct?

19 MS. AUBREY: That's correct,
20 Mr. Stovall, although he is familiar with it and can gener-
21 ally describe it for you if you would like.

22 MR. STOVALL: Well, I think, I
23 think we're more interested in how -- how it was arrived
24 at. If the engineer is more completely knowledgeable, I
25 assume it's an engineering witness.

1 MS. AUBREY: It is, sir.

2 MR. STOVALL: Then we'll allow
3 him to testify as to that.

4 MR. STOGNER: If at such time,
5 though, we may have to recall him. We may have questions
6 for him then.

7 MS. AUBREY: He will certainly
8 be available, Mr. Stogner.

9 MR. STOGNER: Thank you, Ms.
10 Aubrey. Other than that he may be excused at this time.

11 MS. AUBREY: Mr. Stogner, may
12 I retain him here for one moment --

13 MR. STOGNER: Oh, yes.

14 MS. AUBREY: -- and have him
15 identify Exhibit Number Four before he's excused and
16 discuss that briefly with you.

17 A Yes, Exhibit Number Four is a photocopy
18 of the ratification to the unit agreement and unit operat-
19 ing agreement by Bristol Resources Corporation.

20 MS. AUBREY: And was Exhibit
21 Number Four prepared by you or under your supervision, Mr.
22 Christian?

23 A Yes.

24 MS. AUBREY: Mr. Stogner, I'd
25 offer Exhibit Number Four at this time.

1 MR. STOGNER: Exhibit Number
2 Four will be admitted into evidence at this time, and I
3 have no further questions still of this witness. Are there
4 any other questions?

5 He may be excused at this
6 time.

7 Ms. Aubrey.

8
9 BOB QUANCE,
10 being called as witness and being duly sworn upon his oath,
11 testified as follows, to-wit:

12
13 DIRECT EXAMINATION

14 BY MS. AUBREY:

15 Q Would you state your name and occupation
16 for the record, please?

17 A My name is Bob Quance. I'm employed by
18 Kerr-McGee as an engineer.

19 Q Mr. Quance, have you testified previous-
20 ly before the New Mexico Oil Conservation Commission?

21 A No.

22 Q Would you outline your professional de-
23 grees and your work experience for the examiner.

24 A Yes. I received a Bachelor of Science
25 degree in petroleum engineering from the University of Ok-

1 lahoma in 1952 and a Masters degree in the same major in
2 1955.

3 I've been employed with Stanoline and
4 then PanAmerican, which is now called Amoco, for 11 years.

5 After that time I was employed by Sun
6 Exploration and Production for 21 years, and then last
7 August a year ago I went to work for Kerr-McGee in my cur-
8 rent capacity as an engineer.

9 MS. AUBREY: Mr. Stogner, are
10 the witness' qualifications acceptable?

11 MR. STOGNER: The witness is
12 considered qualified.

13 Q Would you begin your testimony by
14 briefly describing the history of the pool which you seek
15 to unitize and in which you seek to operate the waterflood?

16 A Yes, I certainly will.

17 Chaveroo Field was discovered in March
18 of 1965. Production is at a depth of 4250 feet. plus or
19 minus, by a well completed for a rate of 148 barrels of
20 oil, 2 barrels of water, 800-to-1 gas/oil ratio.

21 The development proceeded very quickly
22 through the years 1965 to 1966, with most wells requiring
23 frac treatments to become commercial producers.

24 This discovery well is located about
25 2-1/2 miles northwest of the proposed KM Chaveroo San

1 Andres Unit. The production is contained both in Roose=
2 velt and Chaves Counties. This is a sour crude about 24 to
3 26 degree API gravity. It was developed on 40-acre spac-
4 ing; has a cum production of approximately 23-million bar-
5 rels of oil and 34-billion cubic feet of gas and has pro-
6 duced about 27-million barrels of salt water through
7 January the 1st, 1988.

8 Q Mr. Quance, is the unit area proposed by
9 Kerr-McGee located entirely within Chaves County?

10 A That is correct.

11 Q In your opinion, Mr. Quance, are the
12 wells which are going to be involved in this project
13 presently at an advanced stage of depletion?

14 A That is correct. For example, on the
15 State F lease the wells, 11 wells, I believe, producing,
16 they average 245 barrels of water per day.

17 On the Levic State Well that's owned
18 jointly by Bristol and Warren, it's producing just over
19 3 barrels per day.

20 The State C lease, which is also Kerr-
21 McGee, is 2.7 barrels per day.

22 And on the Kerr-McGee State FU lease the
23 production is 2.3 barrels per day.

24 Q Let me have you take a moment and
25 briefly describe the proposed waterflood project for the

1 examiner. How many wells do you propose be involved in
2 this project?

3 A The proposed project consists of 19
4 wells of which 9 existing wells will be converted to in-
5 jection.

6 It also includes one salt water disposal
7 well that's currently injecting into the San Andres and
8 will be retained for flexibility purposes. This pattern,
9 by the way, with the wells shown on this map, in red --

10 MR. STOGNER: You're referring
11 to Exhibit Number One.

12 A Exhibit Number One is a 5-spot pattern
13 and was selected to conform to the (not clearly understood)
14 Unit, which is located in Section 3, Section 33 and Section
15 34.

16 Q Mr. Quance, let me have you look now at
17 Exhibit Number Five, which is a net pay isopach. Can you
18 explain for the examiner what conclusions you can draw from
19 this exhibit.

20 A The net pay isopach was prepared by me
21 using a net porosity cutoff of 4 percent with the addition
22 that pay was encountered down to a porosity of 2.5 percent
23 where it indicated there were fractures present that would
24 add to the producing intervals.

25 The contour interval on the map is 10

1 feet and, as you can see, in this proposed unit area, the
2 maximum pay thickness is 69 feet in the Kerr-McGee State F
3 No. 5. The minimum thickness is the State C No. 4 Well of
4 24 feet.

5 Q In creating your net pay isopach have
6 you used those controls which were available to you in
7 order to map the contours in Section 1?

8 A That is correct.

9 Q Do you have an opinion, Mr. Quance, as
10 to whether or not the acreage contained in Section 1 will
11 be productive in this area?

12 A It is my opinion that certainly a por-
13 tion of Section 1 will be productive. I refer to Exhibit
14 Number Six, which was used to prepare the Exhibit Number
15 Five.

16 Q Exhibit Number Six, Mr. Quance, is on
17 the wall next to the examiner. Would you move over there
18 and speak up so the reporter can hear you and review the
19 data on Exhibit Six for the examiner?

20 A Exhibit Six correlates from the top of
21 the PI marker, which is a well known marker in the San An-
22 dres formation in this portion of New Mexico. It includes
23 the wells with this F No. 1 being the northwest corner well
24 in the unit. It goes all the way across to the salt water
25 disposal well. It continues down sequentially and it

1 includes the wells along the Y that is just to the south of
2 the boundary.

3 I would also direct your attention to
4 the well F-14, which was a 20-acre infill well that was
5 drilled in approximately 1980. In addition, on this map,
6 Mr. Examiner, is shown the cumulative production as of the
7 end of last year, December, 1988, and from these cumula-
8 tives plus the correlation of pay you can see that the
9 prospects are very good for additional development, which
10 was the basis of why I referred to this exhibit, locations
11 that would be directly south of the FU No. 9 location.

12 For example, the State F-8 Well has a
13 cumulative 93,000 barrels which should be interpreted and
14 is not at the edge of the interval.

15 The FU No. 9 has a cumulative production
16 of 64,000, and in connection with the preparation of the
17 secondary study I felt that there would be a location at
18 this particular location.

19 By a similar line of reasoning, it would
20 be reasonable to anticipate that there could be development
21 to the east of State F-13. F-13 has a cum of 63,000 bar-
22 rels.

23 Q Thank you, Mr. Quance. Does Kerr-McGee
24 have the entirety of Section 1 under lease?

25 A That is correct.

1 Q Let me have you look now at Exhibit
2 Number Seven, which is a 4-page exhibit covering the four
3 leases which are involved in this unit.

4 Would you review that for the examiner?

5 A Yes. These four exhibits were prepared
6 using the Dwight's information system and as a result, Mr.
7 Examiner, the production starts in 1970. These wells were
8 all drilled with the exception of that 20-acre infill well,
9 in 1966, and as you can see from that time the wells have
10 been on somewhat of a fairly constant percentage decline,
11 and this shows that -- two things. It shows that there has
12 been the lack of pressure support. The declining oil pro-
13 duction, in my opinion, represents the loss of reservoir
14 pressure, of reservoir energy. The gas/oil ratio did in-
15 crease in the early period, which is indicative of a solu-
16 tion gas drive reservoir. These wells produce water at
17 this time; typically about a barrel of water per barrel of
18 oil, which is rather typical of the San Andres. In other
19 words, the San Andres has mixed oil and water production.

20 In this case the water production began
21 a couple of years after the development and while the water
22 production is significant, based on our studies, indicates
23 that it will preclude a successful secondary recovery pro-
24 cess.

25 Q Let me have you look at Exhibit Number

1 Eight, now, Mr. Quance. That's a multi-page exhibit and
2 I'd like to ask you to address yourself to the informa-
3 tion contained in that exhibit with regard to the deter-
4 minations of the original oil in place and the information
5 contained in the exhibit regarding capital requirements and
6 costs.

7 A Yes. This exhibit was prepared by me.
8 The purpose was to inform Bristol and Warren American as
9 to the proposed unit. A meeting was held on April 4th,
10 1989 and I'd like to address your attention to Exhibit One,
11 which was a part of this, which reflected the production
12 for 1988 and was used to provide the cumulative production
13 as of the end of 1988, which was used as a basis of parti-
14 cipation so that the other two participants would have a
15 chance to verify the cum production.

16 Q And this information is set out again in
17 a later exhibit, isn't that right?

18 A Correct; correct. I just mentioned this
19 in passing to say that this has been supplied to Bristol
20 and Warren.

21 Q Referring to the attachment Exhibit
22 Three, there are three projects that were of interest that
23 were used an analogy. We noticed in particular that these
24 projects had ultimate primary recovery ranging from 640 to
25 1620 barrels per acre on primary. The area that we're

1 talking about has a primary recovery of about 2300 barrels
2 per acre, as you notice down below. So we're talking about
3 an area that is better on primary production.

4 We also notice that from the three pro-
5 jects, the Fina Federal, the Coastal Flying M and the
6 Champlin Levic State 29 N, which was a developed 5-spot in
7 Chaveroo, that the secondary to primary or SPR ratio ranged
8 from .86 to anticipated 1.22 for the Horton Federal, and on
9 that basis indicate that the secondary and primary ratio
10 would be of the order of about 1.1 for the proposed KM
11 Unit.

12 In addition as to the cost, it indicates
13 that the cost of initiating the program would be \$719,000,
14 with an additional \$186,000 required for pumping unit en-
15 largement after response would occur, with about \$9.2-mil-
16 lion for operating costs over an anticipated flood life of
17 20 years, for a total cost of about \$10-million.

18 With the secondary to primary ratio of
19 1-to-1, one might anticipate up to 1.66-million barrels of
20 secondary oil and using the 1/8th royalty to the State, the
21 development cost for this project and operating costs,
22 unescalated, is \$7.00 per barrel of oil.

23 Q In your opinion at that cost, Mr.
24 Quance, is this a profitable project?

25 A At today's prices it's our opinion that

1 it is.

2 Q Mr. Quance, in your expert opinion why
3 is the unitized management of the Chaveroo Unit necessary?

4 A It's necessary basically because of the
5 5-spot pattern and the moving oil across lease lines.

6 Q In your opinion will it work to protect
7 correlative rights and promote conservation and prevent
8 waste?

9 A Yes.

10 Q Does the -- will the unitized management
11 of this area permit you additional flexibility in the use
12 of the 16 wells and allow for variations in injection rate?

13 A It certainly will.

14 Q In your opinion will unitized management
15 result in maximum efficiency of recovery and elimination of
16 waste of hydrocarbons?

17 A Yes.

18 Q Let me have you talk now about the par-
19 ticipation formula which was proposed by Kerr-McGee, and
20 which has been accepted by Bristol, and have you look at
21 Exhibit Number Nine, which is a 2-page exhibit.

22 A All right, Exhibit Number Nine is the
23 participation formula which shows the cumulative produc-
24 tion by well and then total by lease with the tract parti-
25 cipation based on the calculation of that tract's share of

1 the total cumulative production.

2 Q Can you explain to the Examiner why you
3 chose that particular type of a participation formula?

4 A Yes, we chose this formula because based
5 on our study of adjacent fields, projects, as I mentioned
6 earlier, that the primary recovery we found is the best
7 indicator of the secondary reserves that are anticipated.

8 Q And it's your estimation that secondary
9 recovery would be at approximately a 1-to-1 ratio with
10 primary recovery, is that correct?

11 A That is correct.

12 Q So the participation formula will give
13 the working interest owners the same relative share of
14 secondary recovery that they had of primary recovery, is
15 that correct?

16 A That is correct. I would also like to
17 add that with these wells having been developed at the same
18 time and when we refer to the net pay map and the cross
19 section, we're dealing with a rather massive gross interval
20 of perhaps 150 feet, some 43 to 44 feet of net average,
21 we're dealing with something that was rather -- fits rather
22 well with a formula in that the wells look relatively sim-
23 ilar and about like the cum production would be the best
24 indicator of future anticipated secondary recovery.

25 Q In your opinion, Mr. Quance, are the

1 wells involved in this unit in approximately the same state
2 of depletion?

3 A Yes.

4 Q Do you have an opinion, Mr. Quance, as
5 to whether or not the participation formula which you have
6 proposed is a fair and reasonable one?

7 A In my opinion, yes.

8 Q Let me have you look now at Exhibit
9 Number Ten, which is the --

10 MR. STOGNER: Ms. Aubrey.

11 MS. AUBREY: Yes.

12 MR. STOGNER: Exhibit Number
13 Ten, it appears to me, and the exhibits following that,
14 primarily goes into the waterflood activity, is that cor-
15 rect?

16 MS. AUBREY: That's correct,
17 Mr. Stogner.

18 MR. STOGNER: Well, can we re-
19 main on this just for a little while while we're on this
20 frame of mind, would you permit me?

21 MS. AUBREY: Certainly, be
22 glad to.

23

24

CROSS EXAMINATION

25

BY MR. STOGNER:

1 Q Mr. Quance, in Exhibit Number Nine I'd
2 like to go into a little more detail here on your partici-
3 pating formula. Bear with me here.

4 Your formula is based the primary pro-
5 duction and the primary production only, am I correct on
6 that

7 A That is correct.

8 Q And the acreage for the drainage radius,
9 that factor does not enter into this formula, is that cor-
10 rect?

11 A That is correct.

12 Q Okay. It's just whatever that well has
13 produced, then therefore it is given a percentage of (not
14 clearly understood.)

15 A Yes. If you may permit me to add a
16 little bit more, I have attended the Murphy hearing on the
17 (unclear) Unit, and they had a well factor, I believe to
18 the extent of about 20 percent in and our case Kerr-McGee
19 had a well drilled on 20 acres, the other party did not and
20 we felt like since the wells were at or near the economic
21 limit, in this particular case we're not dealing with the
22 remaining primary equity, so we felt like that a well
23 factor was not required.

24 Further, as to the drainage having been
25 experiences with the San Andres for quite a long time,

1 putting it mildly, it's very difficult to do drainage
2 studies or quantify net pay and as a result I think the
3 example I've pointed up to earlier, as to the lack of
4 development south of the FU No. 9, would appear to be a
5 difference of opinion as to drainage, and in my view that
6 might be potentially undrained.

7 The other thing I might say that is en-
8 couraging for this project was that the infill Well No. 14
9 on 20-acre spacing did recover slightly in excess of 15,000
10 barrels. Possibly some of that oil is primary, so that one
11 can anticipate that additional wells, assuming good flood,
12 fill up and good response could well be drilled either
13 infill or extending out to Section 1 and as you're quite
14 familiar, to try to assign drainage to the San Andres
15 really hasn't been done particularly successfully.

16 We have instead put more emphasis on the
17 2300 barrels per acre foot and we feel like something on
18 the order of maybe 1500 barrels per acre foot would be a
19 cutoff at today's prices of what would be a (unclear) flood
20 well.

21 We feel like we're much above that and
22 therefore feel like we have an economic venture.

23 Q Thank you, Mr. Quance. So I can get it
24 straight in my mind, on the far right column of Exhibit
25 Number Nine, that's the tract participation factor. That

1 is the factor assigned that particular tract and those
2 tracts being described further in the unit agreement, is
3 that correct?

4 A That is correct.

5 Q Let's go off the record for a sec.

6

7 (Thereupon a discussion was had off the record.)

8

9 MR. STOGNER: This hearing
10 will come to order.

11 Ms. Aubrey?

12 MS. AUBREY; Thank you, Mr.
13 Stogner.

14

15 REDIRECT EXAMINATION

16 BY MS. AUBREY:

17 Q Mr. Quance, can you review for the ex-
18 aminer your expert conclusions as a petroleum engineer
19 which lead you to conclude that the reservoir involved in
20 this case is reasonably well defined by development?

21 A Yes, I can. Referring back to Exhibit
22 Five, which is the net pay isopach, I believe this shows
23 that it is reasonable to anticipate that approximately 1/2
24 of Section 1, or perhaps more, can be developed.

25 As I testified earlier, the project area

1 is at or near the economic limit and in my opinion it
2 would not be economic to drill such wells at this time, so
3 that it is anticipated that it will be prudent for both
4 Kerr-McGee and the state to proceed with the flood and as-
5 suming satisfactory response to the flood, then such de-
6 velopment would be anticipated in Section 1 and would
7 proceed with the location south of the FU No. 9, or a
8 location at that, a (unclear) location contemplated ini-
9 tially.

10 Furthermore, I reviewed some of the
11 notes and information as to the pay section we're talking
12 about and these are isolated dolomite zones of some 100-
13 to-150 feet in gross thickness of which half to a third are
14 productive.

15 The perforations, incidentally, are
16 shown on the cross section where the isolated porosity
17 zones have been perforated and it is anticipated then, that
18 these zones would need further development and could be
19 used both as injectors or producers as the flood progres-
20 ses.

21 I would also like to point out that the
22 State C and the FU are both 100 percent Kerr-McGee and all
23 state leases.

24 Q Mr. Quance, is the salt water disposal
25 well, which is located in the northwest of the northwest of

1 Section 1, a necessary component of the economics of your
2 present proposal for unitization?

3 A That well, I believe, is in the north-
4 east of the northwest and it is and the planning contem-
5 plated in the investments was based on the ability to use
6 this salt water disposal well. We are currently producing
7 water and it would change the economics if it were neces-
8 sary to exclude that well from the unit proposal and drill
9 a salt water disposal well for this project.

10 Q Mr. Quance, in order to maintain your
11 5-spot pattern of development, is it necessary for you to
12 locate an injector in Section 1?

13 A I would anticipate, yes. Yes.

14 Q And does your proposal -- proposed plan
15 of development that we're talking about here today include
16 an injection well in Section 1?

17 A Yes. In -- in addition, I might further
18 add, that based on a very thorough review of the Champlin's
19 waterflood efforts in the Chaveroo Field, much of their
20 flooding was on a dump flood basis and not on a developed
21 pattern basis, so that their wells were put on injection in
22 a random and water was injected in rather small amounts in
23 cases and the flood response was not of sufficient volume
24 or capability to permit the existing owners of this large
25 field to expand the waterflood, so that would be, and it's

1 my technical opinion, that to the extent that it's feas-
2 ible to continue the 5-spot development would provide the
3 maximum recovery.

4 Q And you would be able to continue that
5 onto the east in Section 1, is that correct?

6 A Correct.

7 Q With regard to your tract participation
8 formula, does the inclusion of Section 1 in the unit area
9 have any effect of diluting any working interest owner's
10 interest in the unit?

11 A No.

12 MS. AUBREY: Mr. Stogner, I
13 believe that that's all I have at this time.

14 I tender the witness for cross
15 examination.

16 MR. STOGNER: I'd like to pass
17 any questions at this time, Ms. Aubrey, so let's go ahead
18 and hear the rest of the testimony coming up concerning the
19 waterflood and that might answer whatever questions I might
20 have; however, I might have some later on.

21 Ms. Aubrey.

22

23 Q Let me have you refer to Exhibit Number
24 Ten, Mr. Quance, which is the Oil Commission Form C-108.

25 A Yes.

1 put in the northwest corner of Section 2 which is -- would
2 be adjacent to the Kerr-McGee tank battery and would be a
3 suitable site. We anticipate the injection of about 3000
4 barrels of water per day, not limited to this. Supplement-
5 al water is to be purchased. We have a contract from a Mr.
6 Dale Brown off to the northeast. I would refer the exa-
7 miner to this proposed fresh water injection line of a
8 location of about 8 miles.

9 MR. STOGNER: And you're re-
10 ferring to Exhibit Number One and you're pointing to a --
11 looks like a diagonal line coming out of the unit, going to
12 the northeast to Section 9 of 7 South, 34 East?

13 A That is correct.

14 MR. STOGNER: And that is a
15 fresh water line?

16 A Yes, that would be a fresh water line.

17 Q Mr. Quance, in connection with that line
18 are you or someone else in your company, in negotiation now
19 with the State Land Office for a pipeline easement over the
20 state lands that that line will cross?

21 A Yes.

22 Q And you have identified the source of
23 water and have arranged for purchase of the water, is that
24 correct?

25 A Yes, that's correct. We have also

1 tested the wells and feel like we have an adequate supply
2 to take care of the future requirements for the project.

3 Q What kind of monitoring plans does
4 Kerr-McGee have for the injection wells once the waterflood
5 begins?

6 A We plan to follow the state requirements
7 and to test the wells and after approximately 90 to 120
8 days we'd run a tracer survey and look for the incidence of
9 channeling and if channeling would occur we'd take reme-
10 dial steps to handle that situation.

11 Q When does Kerr-McGee intend to commence
12 waterflooding?

13 A We anticipate commencing in the latter
14 half of 1989.

15 Q Let me have you refer now just to Ex-
16 hibit Number Twelve, which is a tabular and schematic data
17 sheet for the injection wells in the proposed project.

18 A I have proposed here, we have proposed
19 under my direction, exhibits which show the surface casing,
20 the log string, the sacks of cement, top of the cement, and
21 referring to the reverse side of Exhibit -- first page of
22 Exhibit Twelve, is the standard that reviews the existing
23 tubing after it's been inspected with plastic coating and
24 with a packer set at approximately 100 feet above the top
25 perforation.

1 Q And is this representative of the
2 proposed completion as an injector for each of the in-
3 jection wells?

4 A Yes. In addition, I might further
5 testify and add that shown here on each of these well
6 schematics is the perforated interval and in my opinion the
7 pay in this area has been all, essentially all, perforated
8 and did not require remedial work to open up additional pay
9 to maximize the ultimate recovery.

10 Q And you have tendered for the examiner a
11 schematic of each of the wells that will be used as injec-
12 tion wells, is that correct?

13 A That's correct.

14 Q Let me have you look at now at what has
15 been identified as Exhibit Thirteen and review that briefly
16 for the examiner.

17 A Okay, Exhibit Thirteen is a tabulation
18 of well data for the wells within the proposed unit area.
19 It shows the leases, the tract numbering system that's pro-
20 posed, the existing well number, the propose new unit well
21 number, which I have understood from discussion with the
22 state that it would be easiest to number the wells sequen-
23 tially and that is the proposed numbering system. The well
24 status is indicated, completion date is shown, and other
25 information as required.

1 In addition you will notice that the pay
2 in essentially all the cases has been acidized and fraced
3 and this indicates the low permeability, extremely low
4 permeability of the pay that we're talking about. You do
5 notice that the wells came on at a very high initial poten-
6 tial which was, I think, an indication of a fairly success-
7 ful completion job.

8 And the well status is indicated and it
9 in addition shows the cum and the useable well.

10 Q Now Exhibit Number Fourteen is a tabula-
11 tion of the well data for the wells within the proposed
12 unit area, is that right?

13 A Yes, that's correct. It also shows the
14 type of log which refers to the cross section --

15 Q Which is Exhibit Six.

16 A It also shows the hole size, the casing
17 record, sacks of cement, and the depth of the surface
18 casing, and where there were not records on the scout
19 tickets or we did not operate the wells, I have made calcu-
20 lations that would indicate that the cement would have cir-
21 culated to the surface on the surface casing, and therefore
22 I believe that the program would use wells that have
23 cemented surface pipe.

24 Q Based on your calculations and your exa-
25 mination of the record, is it your opinion that all the

1 wells involved here are sufficiently cemented in order to
2 protect fresh water sources?

3 A I would think so and in addition, on the
4 wells that we operated, our history was extraordinarily
5 detailed. There was no indication of any problems or reme-
6 dial work having to be done as to assure there's no (not
7 clearly understood).

8 Q Let me have you look now at Exhibit
9 Number Fifteen.

10 A Which is a tabulation of wells outside
11 the proposed unit but within the half mile radius of each
12 proposed injection well, and this refers to the surface
13 casing.

14 Q And for those wells which -- which are
15 listed here, you've determined the top of cement, is that
16 right?

17 A Yes.

18 Q Did you do that calculation yourself,
19 Mr. Quance?

20 A Yes.

21 Q Let me have you look now at Exhibit
22 Number Sixteen.

23 A That is a tabulation of the wells out-
24 side the proposed unit area but within the half mile of
25 each proposed injection well. It follows along the line of

1 the data for the unit wells in terms of completion date and
2 other data required for the C-108.

3 Q Exhibit Number Seventeen consists of
4 tabular and schematic data on the three plugged and aban-
5 doned wells in the area, is that correct?

6 A That is correct.

7 Q And have you identified tops of cement
8 for each of those?

9 A Yes, we have the top of the cement both
10 in the long string and the surface casing.

11 Q And for each of the wells have you in-
12 cluded a copy of the New Mexico Oil Conservation Commis-
13 sion Form C-103 showing the plugging procedure?

14 A Yes.

15 Q Exhibit Number Eighteen, Mr. Quance, is
16 a multi-page exhibit which refers to water analysis, both
17 of the injection water and fresh water in the area, is that
18 correct?

19 A Yes, that is correct.

20 Q Did you prepare the information on this
21 exhibit?

22 A Yes, or had it prepared.

23 Q What conclusion did you draw from the
24 analyses of the waters?

25 A Referring to the second page, we found

1 that the water supply wells, two drilled by Kerr-McGee, and
2 the windmill water of Dale Brown, which is representative
3 of his water that comes from supply wells used for irriga-
4 tion, is fresh and would be suitable for flood.

5 Also Oil Lab has provided an analysis
6 and they have mixed the F lease produced water with the
7 fresh water from Dale Brown and reported no precipitants
8 were formed when this water was mixed and therefore con-
9 clude the two appear to be compatible.

10 Also from a review of where fresh water
11 has been used for waterfloods in this area of New Mexico,
12 find that it has been a suitable water to mix with San An-
13 dres for injection purposes.

14 Q In your research for this project, Mr.
15 Quance, have you examined the data and found no evidence of
16 open faults or any other hydrological connection between
17 the disposal zone and any sources of fresh water?

18 A That's correct.

19 Q Let me have you look now at Exhibit
20 Number Nineteen.

21 A Exhibit Nineteen, recognizing the lack
22 of a water supply in this area, and the cost of obtaining
23 water from the drilled wells in Section 1 and Section 2, as
24 a fresh water supply source, in particular a good supply
25 well was obtained, water supply well, FU No. 1, which is

1 tested at 86 gallons a minute and might be used to augment
2 the water from Dale Brown. It is our conclusion, though,
3 given the results, that this would be an insufficient sup-
4 ply to use for this waterflood.

5 Q And is this exhibit being provided in
6 order to assist the State Land Commissioner in the identi-
7 fication of water supply sources?

8 A That's correct.

9 Q Let me have you look now at Exhibit
10 Twenty-one -- let me have you look now at Exhibit Number
11 Twenty, Mr. Quance, and review that briefly for the exa-
12 miner.

13 A Exhibit Twenty gives a general review of
14 the Chaveroo Field. It also provides a general description
15 of the pay zone we're talking about. The pay zone, more
16 particularly, is defined as the P-1 and the P-2 formation,
17 which is the zones that are productive in the proposed
18 unit. It describes in more detail as to the -- why we
19 think this is a good flood project and why we think the
20 unitization and waterflooding should protect rights,
21 promote conservation, and prove beneficial to the interest
22 of all parties involved.

23 Q Let me have you look now at Exhibit
24 Number Twenty-one. Would you review that for the examiner?

25 A Exhibit Twenty-one shows the -- the

1 proposed new unit well number, the completion date and the
2 legal description of the wells. It also shows the pro-
3 duction for these wells for December, 1988, and more par-
4 ticularly will show and demonstrate that these are stripper
5 wells at or near the economic limit.

6 Q Now is this -- is this cumulative pro-
7 duction through December of '88 or is this simply December
8 of '88 production?

9 A December, 1988, production. Incident-
10 ally, it does show the salt water disposal well and the
11 interval that is being injected and that is down dip but it
12 is injected into the San Andres formation.

13 Q Let me have you review Exhibit Number 22
14 for the Examiner.

15 A Yes. This is provided by Mr. Scott from
16 the Roswell Geological Society, and I think provides quite
17 an interesting and informative discussion of the Chaveroo
18 Field and you notice in particular the rapid development of
19 the field that took place in 1966.

20 This is a fairly blanket reservoir and I
21 think rather typical. In addition, I direct your attention
22 to the fact that although the Bough C did produce in the
23 discovery well, there is no production above or below the
24 San Andres in this Chaveroo Field or the unit area.

25 Q Let me have you look now at Exhibit

1 Number Twenty-three, which is a letter from Steve Rey-
2 nolds, State Engineer's Office, to you regarding the loca-
3 tion of declared underground water basins.

4 A Yes. This area is not located in the
5 declared underground water basin in the San Andres.

6 Q And Exhibit Number Twenty-five, Mr.
7 Quance, is a set of mailing certificates which are pro-
8 vided to the Examiner in compliance with --

9 A Twenty-four.

10 Q I'm sorry, Twenty-four, in compliance
11 with the requirements of New Mexico Oil Conservation
12 Commission Rule Number 1207, confirming the mailing by
13 certified mail to all affected parties of both the appli-
14 cation for the waterflood and the application for statu-
15 tory unitization, is that correct?

16 A Yes.

17 Q And finally Exhibit Number Twenty-five,
18 Mr. Quance, can you tell the examiner what that is?

19 A This is a notice that we have given to
20 Texaco relative to the hearing and they are an offset oper-
21 ator.

22 Q And it reflects Texaco's waiver of any
23 objection --

24 A That is correct.

25 Q -- to the application.

1 A That is correct.

2 Q Mr. Quance, were Exhibits Five through
3 Twenty-three prepared by you or under your supervision and
4 direction?

5 A Yes.

6 MR. AUBREY: Mr. Stogner, I
7 offer Exhibits Five through Twenty-three at this time --

8 MR. STOGNER: Exhibits -- I'm
9 sorry.

10 MS. AUBREY: -- sponsored by
11 Mr. Quance and the last two exhibits also, even though they
12 were not prepared by him. Twenty-four is from our own
13 office.

14 And I have no more questions
15 of the witness.

16 MR. STOGNER: Exhibits Five
17 through Twenty-five will be admitted into evidence at this
18 time.

19

20 RE CROSS EXAMINATION

21 BY MR. STOGNER:

22 Q Mr. Quance, when I look at Exhibit
23 Number Ten, that's a tabulation of well data for wells
24 outside the proposed unit area but within one-half mile.
25 You're re- ferring to the circle or the outer boundary of

1 several circles that are put together on Exhibit Number
2 One, are you not?

3 A That's correct.

4 Q Okay. Did you make a calculation on the
5 top of the cement behind the production string on those
6 wells?

7 MS. AUBREY: Excuse me, Mr.
8 Stogner, I'm confused about which exhibit you're referring
9 to.

10 MR. STOGNER: I'm -- I'm
11 looking at Exhibit Ten, or is there another exhibit which
12 shows me --

13 A There's an Exhibit Sixteen --

14 Q Sixteen, okay.

15 A -- tabulation of well data for wells
16 outside proposed unit area but within a half mile of each
17 proposed injection well.

18 Q Okay, that is Sixteen, I'm sorry, it
19 looked like Ten on this.

20 A Okay.

21 Q Okay, yeah, that's what I'm referring
22 to, the Exhibit Sixteen.

23 Now you show the sacks of cement but as
24 far as the tops, they are not listed; however, all of these
25 wells that you have listed here are presently producing

1 from the San Andres formation or that zone in which you're
2 planning to inject, is that correct?

3 A Yes, that is correct.

4 Q Do you have an opinion whether the sacks
5 of cement used or shown for each of these wells, that that
6 was adequate enough to give, say, a 500-foot level or -- or
7 amount of cement above the upper perforation of each of
8 these perfs shown?

9 A Yes. My information comes from two
10 sources. The first one is the information provided by
11 Murphy for the Halley Unit which testified that they had
12 adequate cement protection.

13 And the lack of any problems of lost
14 circulation zones and the size of cement and the casing
15 sizes that are used in this area are common; therefore this
16 would provide adequate protection above the San Andres to
17 isolate the zone.

18 And, incidentally, we have reviewed, I
19 have reviewed the logs and the wells to the north of the
20 proposed unit area and there is nothing in those records
21 that would indicate any particular problems of protecting
22 the producing interval with this cement job.

23 Q Now none of the wells in the area,
24 either within the half mile radius or in the unit area,
25 went below a total depth of about 4500, is that correct?

1 Or did you find any?

2 A No, I didn't.

3 Q And your Exhibit Number Seventeen shows
4 the plugged and abandoned wells.

5 A Yes.

6 Q And do they -- I have a bunch of exhi-
7 bits in front of me so I haven't been able to correlate
8 some of the maps with some of these.

9 A Yeah, those three wells are the Enfield
10 Hale No. 1, the McClellan (unclear) State No. 1, and the
11 Glenn C. H. Hale No. 1.

12 Q Now the wells that you just told me,
13 those are the only P&A'd wells within the half mile radius
14 of review?

15 A Yes.

16 Q Give me a little bit of time to mark it.

17 Okay, I'm referring to any of these maps
18 and my particular one, I'm referring to Exhibit Number
19 Five. I find that to be a very easy one for me to mark
20 with as I'm going here.

21 There's a plugged and abandoned well in
22 Section 1.

23 A Yes.

24 Q Now what is your -- what is your pro-
25 posed plan for that well, and for the record, that well is

1 in Unit C of Section 5.

2 A Okay, this is the C No. 5 Well, I be-
3 lieve.

4 Q Do you plan to put that back on produc-
5 tion?

6 A No.

7 Q No.

8 A That well, on initial completion did not
9 produce any oil and was subsequently converted to salt
10 water disposal.

11 You're referring now to the well marked
12 Number 5 --

13 Q Yes, I am.

14 A -- with 2 feet of pay indicated.

15 Q But that well is presently plugged and
16 abandoned but you're going to turn it into injection.

17 A No, it is currently a salt water dispo-
18 sal well, yes.

19 Q Oh, okay. My exhibit shows that to be
20 P&A'd. I'm sorry.

21 A Uh-huh.

22 Q Let me refer to Exhibit Number Eighteen.
23 This is your injection water. You're planning to use fresh
24 water from the Ogallala formation, is that correct?

25 A Yes.

1 Q Will there be any recirculating of
2 produced waters --

3 A Yes.

4 Q -- for injection purposes?

5 A Yes, sir.

6 Q And that will be put into the injection
7 wells.

8 A Yes. If you want further particulars on
9 that, I think I could add a little bit of information.

10 Q Okay, feel free.

11 A Referring to Exhibit Eight.

12 Q Exhibit Eight.

13 A Table 1.

14 Q Table 1.

15 A Are you there?

16 Q Yes.

17 A Okay, about 1, 2, 3, 4, 5 columns over
18 shows the percent water purchased, starting at 100 percent,
19 going down to zero percent and then the next column over
20 shows the amount of water that's anticipated to be pur-
21 chased.

22 Q Okay.

23 A And that, I believe, goes to your ques-
24 tion as to the amount of water that's anticipated to be
25 purchased and then recycled water.

1 Q Why can't you go ahead and start ini-
2 tially with produced water from the San Andres?

3 A Well, at this time the produced water is
4 a very small amount, on the order of 100 barrels of water a
5 day.

6 Q And there is no other produced water in
7 the vicinity.

8 A That's correct, and after we drilled
9 several wells, we found that there's not a lot of water in
10 this vicinity and this may in fact be one of the reasons
11 that there was a lack of sustained and coordinated injec-
12 tion in this area.

13 These projects that I referred to
14 earlier, particularly done by Champlin, which is now
15 (unclear) Resources, was really on a dump truck, produced
16 water basis.

17 Q Are you saying that as water became
18 available it was utilized?

19 A Yes, uh-huh.

20 Q What is your maximum injection pressure
21 which you're proposing, Mr. Quance?

22 A I believe we are proposing 800 pounds
23 pressure.

24 Q Does that meet with our policy of the .2
25 psi per foot?

1 A Yes.

2 Q Okay.

3 A And if we went to a higher pressure,
4 step rate tests or other information would be provided to
5 the department.

6 Q Mr. Quance, I'm going to -- I hate to
7 belittle (sic) this issue but I'm going to bring it up.

8 Your initial plan of development appears
9 to be pretty much wrapped up in Exhibit Number One.

10 A That is correct.

11 Q With some injection wells being convert-
12 ed from producing wells. After this is done, will there be
13 any plan on developing the far west side of Section 1 to
14 capture production that may be moved because of your No. 3
15 and Nos. 13 injection wells in Section 2?

16 A Yes.

17 Q Then I assume it all depends on how
18 those wells react and what kind of geological parameters
19 are found through the log and actual drilling of the well
20 whether development further to the east would take any kind
21 of steps to do that.

22 A Yes. In addition, Mr. Examiner, I'd like
23 to point out that there's the Yates well in the northeast
24 of the northeast of Section 10 that has been on production
25 since 1984 and has cumed in excess of 30,000 barrels; per-

1 haps 40,000 barrels of oil, currently producing around 24
2 barrels of oil per day, and this was an area that had been
3 essentially abandoned and given up prior to that time, so
4 we are very much aware that with the best well in the
5 field, the only well that I know of that's above 10 barrels
6 per day, but there could be some interesting pluses to this
7 project, and so that was a very important data point for us
8 in the conduct and the management.

9 I might also add that the studies that
10 we have done in this area of New Mexico, plus (unclear)
11 field costs would be far in excess of \$100,000, so we have
12 extensively reviewed Chaveroo plus these adjacent fields,
13 and others that I haven't referred to in these exhibits.

14 Incidentally, that Yates well in Sec-
15 tion Ten does have all the water that's being produced re-
16 injected and it's on the order of 150 barrels of water per
17 day and it is showing a very good oil production increase
18 prior to injection, which could well be primary oil, and
19 since Yates had to get a waiver from Kerr-McGee for the in-
20 jection and operation there, we have received from Yates
21 monthly reports on that and I can assure you that that ap-
22 pears to be from any reasonable interpretation primary oil.
23 And I suspect that the reinjection of produced water, which
24 is in large quantities, has helped sustain the production
25 but we are very much aware and want to do what we can to

1 develop this property as expeditiously as possible.

2 We have also found that it will take
3 perhaps two years or more to get response and for that
4 reason we don't see it as being appropriate at this time to
5 drill any wells (unclear).

6 So it's a staged program with the big
7 increase in reserves anticipated, as I testified earlier,
8 with this barrel for barrel, and we'd anticipate much more
9 waterflood reserves in Section 2 than in Section 1 at this
10 time.

11 Q When do you propose to start the unit
12 operations provided that an order is issued in the next two
13 weeks?

14 A In the latter half of 1989.

15 Q When's your first lease due to expire?
16 Or I'll submit that question to you, Mr. Christian?

17 MR. CHRISTIAN: Within the
18 unit, Mr. Examiner, our leases are held by production.

19 MR. STOGNER: Okay, so -- I
20 was trying to establish a timetable, something a little
21 more specific than the last half of 1989.

22 MR. CHRISTIAN: As I under-
23 stand, we'll immediately start pipeline work. We still
24 have to work out a lease line injection agreement with
25 Murphy Operating Company with their two units, so we can

1 coordinate the injection wells.

2 MR. STOGNER: I have no fur-
3 ther questions of either one of these witnesses at this
4 time, Ms. Aubrey.

5 Is there any other questions
6 of either of these witnesses?

7 MS. AUBREY: Just a point of
8 clarification, Mr. Stogner.

9

10 REDIRECT EXAMINATION

11 BY MS. AUBREY:

12 Q Mr. Quance, we have asked the Examiner
13 for an expedited order in this matter so that the unit can
14 begin operating as of July 1, is that correct?

15 A Yes, that's correct and we plan, rein-
16 forcing what Mr. Christian said, to start immediately on
17 the program. I'm a little -- as to the actually date of
18 initiation, it kind of depends. We had hoped actually pre-
19 vious -- months ahead of this application to approve it all
20 the way, and it just takes -- these things take a little
21 bit longer, but it's really a matter of the time to get
22 things done rather than our lack of plans to proceed with
23 -- as diligently with the program as I could.

24 MR. STOGNER: Anything else,
25 Ms. Aubrey?

1 MS. AUBREY: No, Mr. Stogner.

2 MR. STOGNER: Does anybody
3 else have anything further to add in either Case 9682 or
4 9683?

5 MS. Aubrey, are you prepared
6 to submit me a rough draft order?

7 MS. AUBREY: I don't have it
8 with me today, Mr. Stogner, but I'll have it to you by the
9 end of the week.

10 MR. STOGNER: I'd also like to
11 ask for something else.

12 MS. AUBREY: Certainly.

13 MR. STOGNER: It's a legal
14 brief concerning that portion of the Statutory Unitization
15 Act, specifically Section 70-7-5B, and any other portions
16 of the statute to help me with the question of the unit
17 area and development.

18 MS. AUBREY: That would be a
19 definition by development, is that correct?

20 MR. STOGNER: That and how it
21 relates to this case, a statement of development and set-
22 ting up the unit outline in this particular case pursuant
23 to what the Statutory Unitization Act allows or doesn't
24 allow, and I think it all ties back into this particular
25 subsection.

1 MS. AUBREY: And when would
2 you like that brief, Mr. Stogner?

3 MR. STOGNER: I will leave
4 that up to you. Would you have any preference?

5 MS. AUBREY: Well, I would say
6 within the next week to ten days I'd be happy to.

7 MR. STOGNER: I will accept
8 that. You will submit that simultaneously with your rough
9 draft, I would assume.

10 Okay, I appreciate it.

11 Does anybody else have any-
12 thing further in either of these cases?

13 The cases will then be taken
14 under advisement.

15

16 (Hearing concluded.)

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case Nos. 9682 and 9683
heard by me on 7 June 1982.

Michael E. Boyer Examiner
Oil Conservation Division