

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:)
APPLICATION OF BIRD CREEK) CASE NO. 10226
RESOURCES FOR SPECIAL POOL RULES,)
EDDY COUNTY, NEW MEXICO)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

February 21, 1991
3:15 p.m.
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on February 21, 1991, at 3:15 p.m. at Oil Conservation Division Conference Room, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Paula Wegeforth, Certified Court Reporter No. 264, for the State of New Mexico.

FOR: OIL CONSERVATION
DIVISION

BY: PAULA WEGEFORTH
Certified Court Reporter
CSR No. 264

I N D E X

February 21, 1991
Examiner Hearing

CASE NO. 10226

PAGE
3

APPEARANCES

APPLICANT'S WITNESSES:

BRAD D. BURKS

Direct Examination by Mr. Carr	5
Cross-Examination by Mr. Kellahin	32
Cross-Examination by Mr. Pearce	50
Cross-Examination by Mr. Bruce	51
Examination by Examiner Catanach	59

ORYX'S WITNESSES

BONNIE S. WILSON

Direct Examination by Mr. Kellahin	62
Cross-Examination by Mr. Carr	88
Examination by Examiner Catanach	96

ROBERT SIDLOWE

Direct Examination by Mr. Kellahin	98
Cross Examination by Mr. Carr	107
Re-Direct Examination by Mr. Kellahin	109

RICHARD REEVES

Direct Examination by Mr. Kellahin	110
------------------------------------	-----

CLOSING STATEMENTS

By Mr. Bruce	113
By Mr. Kellahin	114
By Mr. Carr	117

RECESS

62

REPORTER'S CERTIFICATE

120

* * *

E X H I B I T S

ADMTD

APPLICANT'S EXHIBIT

1 through 12	32
--------------	----

ORYX'S EXHIBIT

1 through 8	88
9 through 12	106

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
General Counsel
Oil Conservation Commission
State Land Office Building
310 Old Santa Fe Trail
Santa Fe, New Mexico 87501

FOR THE APPLICANT: CAMPBELL & BLACK
Attorney at Law
BY: WILLIAM F. CARR, ESQ.
110 North Guadalupe
Santa Fe, New Mexico 87501

FOR ORYX ENERGY KELLAHIN, KELLAHIN & AUBREY
COMPANY AND PARKER AND Attorneys at Law
PARSLEY PETROLEUM BY: W. THOMAS KELLAHIN, ESQ.
COMPANY: Santa Fe, New Mexico 87501

FOR FLARE OIL, INC.: MONTGOMERY & ANDREWS
Attorneys at Law
BY: W. PERRY PEARCE, ESQ.
Santa Fe, New Mexico 87501

FOR R.C. BENNETT, R.C. HINKLE, COX, EATON, COFFIELD
BENNETT COMPANY, RB & HENSLEY
OPERATING COMPANY, Attorneys At Law
RAMCONYL 1987 LIMITED BY: JAMES BRUCE, ESQ.
PARTNERS AND POGO Santa Fe, New Mexico 87501
PRODUCING COMPANY:

* * *

1 EXAMINER CATANACH: Let's call the hearing back to
2 order and at this time call Case 10226.

3 MR. STOVALL: This is a simple and uncontroversial
4 case called the application of Bird Creek Resources for
5 special pool rules in Eddy County, New Mexico.

6 EXAMINER CATANACH: Are there appearances in this
7 case?

8 MR. CARR: May it please the Examiner, my name is
9 William F. Carr with the law firm Campbell & Black, P.A.,
10 in Santa Fe. I represent Bird Creek Resources, and I have
11 one witness.

12 EXAMINER CATANACH: No other appearances?

13 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of the
14 Santa Fe law firm of Kellahin, Kellahin & Aubrey, appearing
15 on behalf of Oryx Energy, Inc., and Parker and Parsley
16 Petroleum Company.

17 MR. PEARCE: Mr. Examiner, I am W. Perry Pearce of the
18 Santa Fe office of the law firm of Montgomery & Andrews.
19 I'm appearing in this matter on behalf of Flare Oil, Inc.

20 EXAMINER CATANACH: Flare?

21 MR. PEARCE: Flare, F-l-a-r-e. Flare.

22 MR. BRUCE: Mr. Examiner, my name is Jim Bruce from
23 the Hinkle law firm, and I am representing Mr. R.C.
24 Bennett, R.C. Bennett Company, RB Operating Company, Ramco
25 NYL 1987 Limited Partnerships.

1 EXAMINER CATANACH: I'm sorry, again.

2 MR. BRUCE: Ramco, R-a-m-c-o. And, finally, Pogo
3 Producing Company.

4 EXAMINER CATANACH: Any other appearances?

5 MR. KELLAHIN: I potentially have three witnesses,
6 Mr. Examiner.

7 EXAMINER CATANACH: Okay. Can I get all witnesses and
8 potential witnesses to stand up and be sworn in?

9 (At this time the witnesses were sworn in.)

10 BRAD BURKS,
11 the Witness herein, having been first duly sworn, was
12 examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. CARR:

15 Q. Will you state your full name for the record,
16 please?

17 A. My name is Brad Burks.

18 Q. Where do you reside, Mr. Burks?

19 A. I'm from Tulsa, Oklahoma.

20 Q. Mr. Burks, by whom are you employed and in what
21 capacity?

22 A. I'm employed by BK Energy Company in Tulsa,
23 Oklahoma. We serve on a retaining basis to Bird Creek and
24 provide engineering and geological services in New Mexico.

25 Q. Are you a private consulting firm?

1 A. Yes, I am.

2 Q. Have you previously testified before this
3 commission?

4 A. Yes, I have.

5 Q. How long ago was that?

6 A. Three years ago.

7 Q. Why don't you briefly summarize your educational
8 background for the examiner?

9 A. I graduated from the University of Tulsa in 1983
10 with a bachelor of science. Petroleum engineering was my
11 major. Geology was my minor.

12 At that time, I went to work for Texaco in
13 Hobbs. I handled their Delaware wells in Lea County and
14 Eddy County. My tasks with Texaco were providing
15 engineering or reservoir engineering, production
16 engineering and geological work in the Delaware Basin.

17 Q. Are you a registered petroleum engineer?

18 A. Yes, I am.

19 Q. In what state are you registered?

20 A. Oklahoma.

21 Q. Are you familiar with the application filed in
22 this case on behalf of Bird Creek Resources?

23 A. Yes, I am.

24 Q. Are you familiar with the East Loving-Delaware
25 Pool and the wells located therein?

1 A. Yes, I am.

2 I need to go back and clarify something. I
3 worked for Texaco for six years, until 1989. Since that
4 time, I have been working for BK Energy.

5 Q. And in that capacity you have been working for
6 Bird Creek as a consulting engineer and geologist?

7 A. Yes.

8 MR. CARR: We tender Mr. Burks as an expert witness
9 and petroleum engineer.

10 EXAMINER CATANACH: He is so qualified.

11 Q. (By Mr. Carr) Mr. Burks, would you briefly
12 state what Bird Creek Resources seeks with this
13 application?

14 A. Bird Creek Resources seeks a GOR limitation of
15 5000 to one above the present 2000 to one.

16 Q. And what would that result in in terms of a gas
17 rate?

18 A. It would result in a 710-MCF-per-day ceiling on
19 gas rate in this pool.

20 Q. And are you asking for these rules on a
21 permanent basis or for a temporary period of time?

22 A. We are seeking a 12-month trial basis.

23 Q. Why are you selecting 12 months as the time
24 period for these rules?

25 A. We feel that 12 months is required to see the

1 results of the GOR 5000. Anything less than that is not
2 sufficient time.

3 Q. And a six-month period of time, in your opinion,
4 would not be adequate?

5 A. No.

6 Q. Have you prepared certain exhibits for
7 presentation in this hearing?

8 A. Yes, I have.

9 Q. Would you refer to what has been marked for
10 identification as Bird Creek Exhibit No. 1?

11 A. Okay.

12 Q. Identify this and then review this for
13 Mr. Catanach.

14 A. Exhibit 1 is a copy of a Midland map, regional
15 map, and it's 23 South, 28 East is primarily the township
16 shown. The boundary of the pool as of January 15th of this
17 year is shown with a dark line highlighted with yellow
18 within those lines -- within the boundary.

19 There is also another line highlighted orange on
20 the map, which is the one-mile radius required under the
21 commission rules of notification.

22 Q. Mr. Burks, what is Bird Creek's interest in this
23 field?

24 A. Bird Creek operates wells in the west half of
25 14, primarily the center of the field -- west half of 14,

1 east half of 15, with the exception of 40 acres, which is
2 operated by Bennett, most of the north half of 22 and
3 various working interests from north to south throughout
4 the field.

5 Q. In this area you have identified, has Bird Creek
6 been the company that's actually drilled and developed the
7 pool in this area?

8 A. Bird Creek's drilled 19 of the wells in the
9 area, four of which have been handed over to other
10 operators after completion.

11 Q. And then you have other working interests
12 throughout the pool?

13 A. Yes, we do.

14 Q. When was this pool actually discovered?

15 A. Reading & Bates Operating Company discovered the
16 pool in 1987 in Section 23, a well called the Brantley
17 well.

18 Q. And since that time, who have been the primary
19 operators and where are their interests located?

20 A. The primary operators at this time, starting up
21 in the north end: Pogo in the west half of Section 10.
22 They have one well. Oryx in the east half of 10. BTA in
23 the west half of 11. RB, or reading and Bates, primarily
24 the east half of the field. As you move south, Bird Creek,
25 and then down to Parker and Parsley in the south.

1 Q. Okay.

2 A. Flare -- a small company called Flare also
3 operates a lease to the south and west of Bird Creek's
4 interest.

5 Q. Are they actually in the pool?

6 A. Flare is not.

7 Q. Are they currently completed in this particular
8 sand?

9 A. Flare is not. Everybody else is.

10 Q. Generally speaking, where was the initial
11 development in the reservoir?

12 A. The initial development in the reservoir was in
13 Section 23 moving up into Section 14.

14 Q. What portion of this field was developed first?

15 A. Primarily the south central portion was
16 developed first.

17 Q. Why don't we go to Exhibit No. 2 and I'd have
18 you first identify that for Mr. Catanach and then explain
19 what this exhibit shows.

20 A. Okay. This is the East Loving-Delaware Pool,
21 all wells reported as of 2-15-91 with the commission as far
22 as being in existence. It includes the well name; the
23 operator or current operator of that well; the location in
24 that unit, in the unit itself; the section -- all of these
25 are in Township 23, South 28 East -- the completion date as

1 reported to the commission; the initial potential again is
2 reported to the commission; and current production.

3 Current production here is a three-month average
4 based on that reported to the commission on Form C-115, the
5 months October '90 through December '90. If those were not
6 available, it was the most recent production test
7 available.

8 Q. Why did you use a three-month average instead of
9 just the most recent figure?

10 A. The three month tended to smooth out
11 irregularities in the reported production to the
12 commission.

13 Q. What does this table show you about the
14 reservoir?

15 A. About the reservoir itself is the fact that GORs
16 on many wells tend to be higher than what you would expect
17 out of a normal-solution gas reservoir. It also indicates
18 the current -- based on current production that GORs have
19 increased on almost all wells since initial completion.

20 There is also a column called "API Gravity,"
21 which is just to show that the oil that's being yielded out
22 of the Delaware here is of the same grade, all greater than
23 43 API.

24 Q. What is the current average production rate per
25 well in this pool?

1 A. The average -- all of these wells averaged out
2 current production rate 96 barrels of oil per day, 197 MCF
3 per day. That is a GOR of 2100. I did not average water.

4 Q. Would you briefly explain to Mr. Catanach why it
5 is that Bird Creek is seeking a higher gas-oil ratio in
6 this pool?

7 A. Bird Creek is seeking a higher GOR because we
8 have a number of wells that are being curtailed. They are
9 capable of top allowable rates, which is 142 barrels of oil
10 per day. They are being curtailed at this time --
11 approximately eight wells, as I speak -- being curtailed
12 because they are capable of producing over 284 MCF per day,
13 which correlates to the 2000 GOR limitation.

14 Q. Are there a number of wells in the pool that are
15 not being effectively restricted by the gas-oil ratio?

16 A. Yes, there are. There are a number of wells,
17 especially in the southern portion, which are not capable
18 of allowable rates and therefore are not hindered by the
19 GOR limitation, yet they do possess high GOR.

20 Q. What are the current allowable limitations for
21 this pool?

22 A. For this pool, oil allowable: 142 a day, based
23 on the depth bracket of 6100 feet; gas, 284 MCF per day.

24 Q. All right. Mr. Burks, let's now go to Bird
25 Creek Exhibit No. 3. Would you identify this and review it

1 for the examiner?

2 A. Exhibit No. 3 is a structure map on top of what
3 Bird Creek calls Zone C, and we'll go into that later, as
4 far as what the top of Zone C looks like.

5 Q. Could you first, I think, review the color
6 coding on this exhibit?

7 A. Yes, I will. This is a structure map,
8 basically, structure increases from east to west, coming up
9 structure towards the mountains. I have color-coded
10 several ovals on this map. Within the oval is the current
11 GOR based on a three-month averaging reported to the
12 commission. It's the same GOR as on Exhibit 2. I have
13 color-coded to indicate whether the GOR was less than 2000
14 or greater than 2000 -- orange being greater than 2000,
15 yellow being less than 2000.

16 My purpose in doing this is to establish that
17 there is no significant trend in GOR in this field.

18 A third color, pink, is shown on wells that have
19 reportedly vented their gas and are not currently selling,
20 and this is as of February 15.

21 Q. Apparently, from this exhibit, it appears that
22 there are a number of wells with high GORs in the
23 southern portion of the field; is that correct?

24 A. Yes, there are. There are a number of wells.

25 Q. Is that where the primary problem in the

1 reservoir is occurring?

2 A. Yes.

3 Q. And are these wells being effectively restricted
4 by the GOR?

5 A. The wells in the south, which tend to be RB and
6 Parker and Parsley, are not restricted since their oil
7 rates are less than 142 barrels per day.

8 Q. The wells with the high gas-oil ratios in the
9 northern portion of the pool are, then, the ones that are
10 really the problem wells in terms of gas-oil ratio
11 restriction?

12 A. That's become the problem well because the wells
13 in the north part of the field tend to be capable of
14 greater than 142 barrels of oil per day, which is based on
15 porosity.

16 Q. What kind of a decline or drop in the oil rate
17 are you seeing in the wells in the northern portion of the
18 field?

19 A. In our wells and offset wells, we are seeing no
20 decline. We are at 142 barrels of oil per day. Our oldest
21 well is a year and a half old, still capable of 142 barrels
22 of oil per day.

23 Q. What generally is the nature of the geology that
24 we're talking about here?

25 A. ~~In engineering, talking geology, these are~~

1 basically turbidity currents or hyper-saline density
2 currents coming off a reef to either the west or north or
3 probably northwest, coming down in events. As each event
4 comes down, as the turbidity current slows, it fans out,
5 forms a small fan, and that sand is laid down.

6 The fines within that turbidity current then are
7 usually deposited on top of the higher permeability sand.
8 Sediment also then rains down from the water above, forming
9 a shale -- a shale coating on top of each sand.

10 The geology of this basically, then, is just a
11 series of particulate sands being deposited over each
12 other, overlapping.

13 Q. What role, actually, does structure play in
14 terms of as it relates to the gas-oil ratio in there? Is
15 it significant?

16 A. It does not appear to be significant. It does
17 not appear to play a role. I point out that wells off
18 structure, whether they be in the south or the north, tend
19 to have high GORs. We have wells up structure that Bird
20 Creek operates that have low GORs offset by high GORs. So
21 I don't think any sensible trend can be made of this.

22 Q. Let's go to No. 4 now and I'd ask you to
23 identify that.

24 A. Exhibit 4 is the same structure map on top of
25 Zone C, which tends to be the pay in the area. On it are

1 traces of the cross sections which I will present as
2 Exhibit 5. They are Trace A through A', and there's a
3 correction to be made there.

4 The first well at A I've designated as one of
5 Oryx's wells. It is actually the well to the west of it,
6 which is a Pogo well.

7 Q. So you haven't included the well that has the
8 circle around it after the letter "A." In fact, your cross
9 section starts with the well west of that with the number
10 minus 2999 feet above it?

11 A. That is correct. The well presently circled
12 there is not included on this cross section.

13 Q. Now, using this as your index map, would you go
14 to the cross sections and review those for the examiner?

15 A. The cross sections are on Exhibit 5. I have
16 both A-A' and B-B' on the cross section.

17 On the cross section itself there's a correction
18 to be made on A-A' between the second well and the third
19 well. The top BS, meaning top of Bone Spring, that should
20 be placed on the line underneath that. The line that it is
21 on is a minus 3100 feet sea level data.

22 All wells on this cross section are hung off of
23 the minus 3100-foot data.

24 Q. Okay, Mr. Burks, what's this show you?

25 A. Cross section A through A' is an east-west cut

1 of this north-south -- typically north-to-south-running
2 field. It shows -- production is included under every log
3 where logs were available.

4 Curves in most instances were available and are
5 marked on the logs. The logs are gamma ray, density
6 neutron with lateral logs, and MSFL logs alongside when
7 available.

8 It shows basically, again, that structure plays
9 no part or little part in what the GOR of the well -- of
10 what the well has. It also shows that every well or every
11 log is vastly different from the next one to it, indicating
12 to us that it's a highly discontinuous sand.

13 What is continuous through the area are the
14 shale markers, which were predominantly deposited during
15 quiet times in between sand deposition. But within the
16 sands themselves, we have a hard time trying to correlate
17 or even correlating any of the sands.

18 Q. What particular portion of these logs do you
19 look at in making that statement?

20 A. I typically look at the MSFL curve on the
21 resistivity log, which is the solid line of the three
22 curves on the resistivity logs. The MSFL, having
23 high-resolution capabilities, can pick out approximate
24 thicknesses and the shape of the sand itself -- or vertical
25 shape or thickness within the group itself.

1 Q. When you look at that, you can't correlate well
2 to well?

3 A. I cannot correlate from well to well with the
4 logs here or with any logs in the field.

5 Q. When you say that, you're talking about the sand
6 stringers, not the gross interval?

7 A. That's correct. Again, I might just point out
8 that I can correlate the gross interval because there are
9 shale markers above and below. We are on top of the Bone
10 Spring, and that's also very easy to pick out. But within
11 the individual sands themselves, they are too discontinuous
12 to pick up from well to well.

13 On A to A' I have three or four wells here that are
14 one location apart. Just by looking at the MSFL curve you
15 can tell that they are vastly different as far as that
16 profile is concerned.

17 Q. Mr. Burks, how thick is the Delaware itself?

18 A. The Delaware in this area is a little over 3,000
19 feet thick.

20 Q. How much of the Delaware are you showing on
21 these cross sections?

22 A. Basically, the pay opened is 100 feet thick.
23 I'm showing approximately 200 feet on these cross sections,
24 which is the basal Delaware on top of the Bone Spring line.

25 Q. And this is the bottom portion of the 3,000-foot

1 Delaware interval?

2 A. That's correct. The Brushy Canyon tends to be
3 the lower third, or that's what the Brushy Canyon is, is
4 the lower third of the Delaware formation, and we are basal
5 Brushy Canyon.

6 Q. Is it fair to say from this that you can't see
7 that all the wells are at least completed of the same age
8 sands?

9 A. Yes. I can see that they are in the same age
10 sands.

11 Q. So basically you you can see the sands are
12 there, but you can't correlate them well to well?

13 A. That's true.

14 Cross Section B through B' serves the same purpose.

15 Based on the MSFL curves, it is very difficult to correlate
16 from well to well. B through B' is also a north-to-south
17 cross section from the northernmost well to the southernmost
18 well in this pool.

19 Q. Let's go now to what has been marked as Bird
20 Creek Exhibit No. 6. I'd ask you to identify that, please.

21 A. Exhibit No. 6 is a resistivity log run on one of
22 our more recent wells marked No. 1 in Section 22. We ran a
23 high-resolution MSFL curve on this interval. I have
24 perforations marked. I have perforations marked where we
25 have shot.

1 What this demonstrates again is
2 high-resolution MSFL curve, which you cannot see on a
3 conventional MSFL curve run in this field.

4 Q. Let's go to the second page of this exhibit, and
5 I'd ask you, Mr. Burks, how accurate is this log?

6 A. This log is very accurate as long as you're not
7 trying to pick out bed definitions less than three to four
8 inches.

9 Q. So you could pick up a six-foot interval with
10 this log?

11 A. Oh, very easily. I can pick up one-foot
12 intervals, even half-foot intervals with this log.

13 Q. What does the yellow dot on the second page
14 indicate?

15 A. The yellow dot indicates the presence of a sand
16 member, one of these turbidity currents or density currents
17 that come down off of the reef and are deposited as a pod
18 in this area. This -- for example, the divisions on this
19 log are two feet, each division being two feet. So the
20 sand that I've highlighted is a little more than one foot
21 thick.

22 The red arrow off to the side of that sand
23 member points to a shaley dolomite, which are the deposits
24 laid on top of each sand in between the sand-dumping
25 events. Those shales are an impermeable barrier to

1 vertical migration of any fluids. Therefore, each sand is
2 separate from the one overlying and underlying it.

3 Q. So you have separate sand stringers across the
4 field; is that what you're saying?

5 A. Yes, we do.

6 And it is these sand stringers that cannot be
7 correlated from well to well just because of their
8 thinness.

9 Q. Because of that, do you have any opinion as to
10 their aerial extent, or can you determine that from this
11 information?

12 A. Our estimation is the aerial extent of any one
13 of these pods is dependent upon the thickness of the sand,
14 but it's roughly somewhere between ten and 60 acres, is the
15 aerial extent of any one given sand.

16 Q. Let's move down to Exhibit No. 7. Would you
17 identify that, please?

18 A. Exhibit 7 is a core analysis report performed
19 for us at my direction by Core Lab in Midland. We bored a
20 well in Section 14 across the entire pay interval to Zone C
21 sand. Page 2 of this exhibit shows a gamma-ray strip to
22 allow correlating with open-hole logs. It shows porosity,
23 also has a track which is horizontal permeability, two
24 different values of horizontal permeability, and of course,
25 then oil saturation and water saturation within that core.

1 Q. What does this show you?

2 A. This shows us that throughout the pay from top
3 to bottom -- and when I say "pay," I mean the entire gross
4 interval of 100 feet -- that permeability has a wide range,
5 anywhere from less and -- or zero all the way up to over a
6 hundred millidarcies.

7 Q. When you're talking about permeability, you're
8 talking about in the sand stringers?

9 A. Yes, I am. Each sand stringer will contribute a
10 given value of permeability. The one above will be
11 drastically different. Therefore, we see the same thing on
12 this log, a spiking of the permeability. It does not
13 appear to be consistent, makes the sand appear as if it
14 were individual sand stringers, each heterogenous to the
15 other.

16 Q. Does this tell you anything about the shale in
17 the reservoir?

18 A. It goes to further there are a couple of gamma
19 ray kicks in the middle of the strip and near the base
20 which are corresponding shales being dumped on top of each
21 individual sand. They -- Core Lab found that they have no
22 permeability whatsoever and very little porosity.

23 Q. Is there any evidence of any vertical fracturing
24 in this reservoir?

25 A. Not in our core and not in sonic logs that we've

1 run in the field.

2 Q. Let's go to Exhibit No. 8. Would you identify
3 that, please?

4 A. Exhibit 8 is a collection of production plots
5 versus time for three Bird Creek wells and two RB wells.
6 The left axis is production in barrels. The bottom axis,
7 time, of course.

8 The Bird Creek wells -- the three examples that
9 I have here -- are wells that are still flowing at the
10 allowable of 142 barrels of oil per day, which is
11 approximately 4,300 barrels of oil per month. That tends
12 to be the top -- the top line on the Bird Creek graphs.

13 The bottom plot on the Bird Creek graphs is GOR,
14 showing GOR increasing with time. Most wells are currently
15 around 2000 to 3000. These three wells are 2000 to 3000
16 GOR. Based on the present trend, we should be at 5000 on
17 these wells -- assuming that the wells are still allowable,
18 we should be at 5000 in nine months.

19 Q. Okay.

20 A. I might point out that the two RB wells that
21 I've chosen here are the oldest wells in the field. The
22 SCB-23 No. 1 was completed in spring of '88. The Brantley
23 No. 1, which is the last page of the exhibit, is the first
24 well in the field. It was completed in September of '87.
25 I did not have the fall of '87 production at the time I

1 plotted these.

2 The point I'd like to make out on these is,
3 these are approximately four -- three and a half, four
4 years old, not quite four years old. We are seeing a
5 decline on these wells which we are not seeing in our own
6 wells. We also see in these two wells and in many of
7 R.B.'s other wells that GOR has increased over time.

8 On both of these wells RB ran into GORs exceeding
9 the 2000. The SCB-23-1 was the only one adversely affected
10 by that increased GOR. How much they were overproduced at
11 a given time back in '88, I do not know. Since then their
12 oil has dropped and so has their gas rates. So if there
13 was any overproduction of gas, it's been settled down with
14 the commission on these wells.

15 Q. Mr. Burks, as to an increasing gas-oil ratio,
16 isn't that normal as a reservoir use -- as you continue to
17 produce a reservoir?

18 A. In this type of reservoir, yes. We're seeing
19 GOR on the older wells having increased over time and then
20 trying to level out. As you can see these two plots seem
21 somewhat erratic. Typically, a solution-gas reservoir
22 should have a GOR that remains fairly constant throughout
23 the life of the well with gas rates declining along with
24 the oil rates.

25 Q. In the case of the RB wells, the gas rate was

1 increasing along with the oil; is that what you were
2 saying?

3 A. Yes, it was. Over a period in the SCB-23-1,
4 which is the fourth page -- this well is in section 23 --
5 it took about nine months for it to peak and then started
6 to decline at the end as the oil rate started declining off
7 the 142 barrels of oil per day.

8 Q. Let's go to Exhibit No. 9 and I'd ask you to
9 identify those and then explain to the examiner what that
10 shows.

11 A. Exhibit 9?

12 Q. Exhibit No. 9, the rate sensitivity test.

13 A. Exhibit No. 9 are four rate sensitivity tests,
14 three on Bird Creek wells, one on Pogo's only well in the
15 field at this time. The rate sensitivity tests shown here
16 has GOR on the left margin, increasing as you go up, and
17 barrels of oil per day on the bottom margin, increasing as
18 you go to the right.

19 How these were performed, the wells were flowed
20 every other day or the chokes were changed on the wells
21 every other day. An accurate gas and oil rate was measured
22 on each well and then these were plotted.

23 The purpose of this plot is to see if there's
24 any trend -- to see if there's any trend for GOR to
25 increase as production goes up. From these four plots, GOR

1 remains constant whether you flow the well at less than 100
2 barrels of oil per day or greater than 250 barrels of oil
3 per day.

4 Now, in this application we're not seeking an
5 increased oil allowable. What this corresponds to is the
6 fact that gas was also increased -- the gas rates were also
7 increased as oil rates were increased.

8 Q. In your opinion, would the reservoir be damaged
9 by increasing these gas-oil ratios?

10 A. Based on the rate sensitivity tests and the
11 other data I've shown, no.

12 Q. What percent of current producing capacity are
13 the wells in the pool currently producing at?

14 A. Pardon me?

15 Q. At what percent of their capacity are the wells
16 in the pool producing?

17 A. I can only -- I can only state Bird Creek wells.
18 None of Bird Creek wells have been drawn down, according to
19 Vogel's relationship, more than 35 percent of maximum oil
20 capacity. In other words, say, 35 percent -- if our well's
21 making an 150 barrels of oil per day, the maximum that that
22 well could make is roughly somewhere somewhere between 500
23 and 600 barrels per day. We therefore have kept our wells
24 at around a 35 percent of the maximum.

25 Also on the rate sensitivity test, I'd like to

1 point out that where pressure -- bottom-hole pressure data
2 is available it's so marked. The Pogo well bottom hole --
3 initial bottom-hole pressure was measured. On the Bird
4 Creek Carrasco No. 1, which is the second page, bottom-hole
5 pressure has been measured on three different occasions.

6 We feel these are very accurate numbers. On
7 the Carrasco No. 1, which was our first well in the field,
8 we have seen a 700-pound drop in a year and a half and
9 have produced 8000 barrels with that draw.

10 Q. Mr. Burks, let's go to Exhibit No. 10. Would
11 you identify that?

12 A. Exhibit No. 10 is a Core Lab report for the
13 Carrasco No. 1, again, our first well in the field. We
14 took a sample of the oil and also a sample of the gas,
15 measured them accurately -- this was on initial
16 completion -- and sent those to Midland to be analyzed.

17 One of the tests that they performed is the test
18 here as Exhibit 10, this differential vaporization data.
19 In this test they took a sample of oil at the original
20 bottom-hole pressure as we measured. What they felt was
21 the bubble point was 2850, which was less than our initial
22 pressure. They took this oil, started reducing the
23 pressure on it in 250-pound increments and started
24 measuring the amount of gas liberated from that oil.

25 I'd like to point out that what is important in

1 my point here is the first column and the second column of
2 Exhibit 10. The first column, of course, is the pressure
3 being drawn down on the sample of oil. The second column
4 is the GOR or the gas liberated at each stage through the
5 draw down.

6 To summarize this report, I would say that 1039
7 would be the maximum gas-oil ratio that could be liberated
8 from this 42-degree-gravity oil from bottom-hole pressure
9 to surface conditions. In other words, one MCF per barrel
10 of oil is the maximum that that barrel of oil -- stock tank
11 barrel will hold.

12 Q. From this study, what conclusions can you reach?

13 A. The conclusions from this study indicate --
14 indicate to Bird Creek that the oil can only hold, again,
15 one MCF of gas. Yet on initial completion of many wells in
16 the field, GORs have been higher than 1000. GORs now
17 currently in the field range from, again, 100 to well over
18 10,000. That is indicative that there is something else
19 down there giving up gas. It is not gas liberated out of
20 oil.

21 Q. And do you have an opinion as to what that would
22 be?

23 A. Yes, I do. It is not a gas cap, per se. They
24 are just individual -- our feeling is individual gas
25 stringers are present in between the oil stringers and are

1 giving up this gas production.

2 Q. Why do you think this is not a gas cap?

3 A. This is not a gas cap in the classical sense,
4 first, because throughout the 100-foot pay there is no
5 vertical communication between each sand member. That was
6 exhibited in the core study. That was also exhibited on
7 the logs -- just too many shale stringers in between sand
8 stringers to allow a vertical continuity or a gas cap to
9 form. On a -- that would be a vertical basis.

10 On a horizontal basis, the sands are too
11 limited and too thin to form a gas cap in each individual
12 sand stringer.

13 Q. And you have these high gas-oil ratios in wells
14 that are off structures as well, do you not?

15 A. Yes, we do. I can point out on the structure
16 map where there are GORs off structure much higher than
17 what we have up structure. An argument can be thrown out,
18 then, that, well, those wells aren't capable of producing
19 allowable. We do, though, have on the GOR map -- and going
20 back to Exhibit No. 2, it can be seen RB has wells off
21 structure that are capable of 142 barrels of oil per day
22 and have GORs in excess of 2000. And those are typically
23 anywhere from 50 to 75 feet below the highest structure
24 wells in the field.

25 Q. Mr. Burks, how does the oil sample that was

1 analyzed by Core Lab compare to other oil produced from the
2 pool?

3 A. This is the same oil throughout the field.
4 Table 2 showed the API gravity reported to the commission
5 on every well completed in the zone. All are roughly in
6 the range of 40 to 45 degrees temperature, at which the
7 gravity -- or at which the oil was measured can affect the
8 gravity value somewhat.

9 But my conclusion is that it is the same oil in
10 every well.

11 Q. In your opinion, would the conclusions reached
12 by Core Lab be applicable to other wells in the field?

13 A. Oh, yes.

14 Q. From your opinion, will approval of a higher
15 gas-oil ratio, the 5000-to-one-gas-oil ratio you recommend,
16 result in the dissipation of reservoir energy?

17 A. No, it will not.

18 Q. Why is that?

19 A. Again, going back to what we feel we have, we
20 have primarily oil field stringers down there which are
21 driven to the surface by solution gas draws. We also have
22 intermingled in there separate gas stringers. You can see
23 those gas stringers, we feel, on the porosity log where we
24 have significant crossover of density and neutron curves.

25 Q. In your opinion, will approval of this

1 application result in a waste of oil?

2 A. No, it will not. Because of the rates that
3 we've been flowing at, which are far below the maximum that
4 the well is capable of, in asking for the 5000 GOR
5 limitation, we do not feel that any damage would occur, nor
6 would there be any waste.

7 Q. Will the correlative rights of any interest
8 owner be impaired by the approval of this application?

9 A. No. We feel that the wells drain less than 40
10 acres in this field. That was presented at our hearing
11 with BTA before the commission about a year ago. We still
12 feel strongly about that, that these wells cannot produce
13 any more than 35 to 40 acres in aerial extent. So
14 therefore there would be no -- no problem.

15 Q. Mr. Burks, would you identify what has been
16 marked as Bird Creek Exhibit No. 11?

17 A. Exhibit No. 11 are letters of approval from
18 operators in the pool and within the one-mile radius.

19 Q. Who are they?

20 A. I have BTA; Harken; Hallwood, which is the old
21 Conoco Companies; and Ray Westall.

22 Q. Is Exhibit No. 12 an affidavit with attached
23 letter and return receipts confirming that notice of this
24 hearing has been provided as required by OCD rules?

25 A. Yes, it is.

1 Q. Were Exhibits 1 through 12 either prepared by
2 you directly or at your direction?

3 A. Yes.

4 MR. CARR: At this time, Mr. Catanach, we would move
5 the admission of Bird Creek Exhibits 1 through 12.

6 EXAMINER CATANACH: Exhibits 1 through 12 will be
7 admitted as evidence.

8 (Whereupon Exhibits 1 through 12 were admitted into
9 evidence.

10 MR. CARR: That concludes my direct examination of
11 Mr. Burks.

12 EXAMINER CATANACH: Mr. Kellahin.

13 MR. KELLAHIN: Thank you, Mr. Examiner.

14 CROSS-EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Mr. Burks, let me have you direct your attention
17 to your Exhibits 3 and No. 2.

18 A. Exhibit 2 is the table of most the recent
19 reported production averaged out, and Exhibit 3 is a
20 structure map with GOR plotted.

21 Q. Right. When I look at Exhibit 3, am I correct
22 in understanding that the gas-oil ratio values shown on
23 that display have been taken from the second-to-last column
24 on Exhibit 2, which shows the average gas-oil ratio?

25 A. That is correct.

1 Q. When we look at Exhibit No. 2, the initial
2 potential information for each of the wells, as you
3 reported, was obtained by you from what source?

4 A. It was obtained by me from the New Mexico Oil
5 Conservation Division office in Artesia, New Mexico.

6 Q. And you get it from what type of reports or
7 information at the Artesia office?

8 A. I believe it's C-101 or C-104, is the initial
9 completion form. The values are on there.

10 Q. Those values, as reported by the various
11 operators for the wells that are on the commission form,
12 and you've taken this -- I think there is C-104s.

13 MR. STOVALL: 105.

14 THE WITNESS: C-105.

15 Q. (By Mr. Kellahin) The completion report?

16 A. 104 is request for allowables, where some of the
17 data comes off, also.

18 Q. When we get to the column that says "Current
19 Production Barrels of Water" --

20 A. Yes.

21 Q. -- what does "current" mean? Current as of what
22 date?

23 A. Current production three-month average.
24 Three-month average was according -- where I had data
25 available at the commission, meaning if the operator filed

1 C-115s for any month or all three months in October,
2 November, December, and December is the latest month that
3 the commission has in Artesia.

4 Q. October, November, December --

5 A. December.

6 Q. -- of 1991 --

7 A. That's right.

8 Q. -- is the three-month interval? And it's during
9 that period of time, then, you looked at the Artesia
10 district office's reports to see during that period of time
11 what the total number of barrels of oil produced?

12 A. Yes. That is a three-month average.

13 Q. All right. You get the total for the three
14 months and then you divide it by three?

15 A. Or the number of days reported having produced
16 on the C-115.

17 Q. Let's look specifically at the Teledyne No. 2
18 well, which is the Bird Creek well in the middle of page 2.

19 A. Okay.

20 Q. The initial reported gas-oil ratio was 3364 to
21 one --

22 A. That's correct.

23 Q. -- barrels of oil?

24 Can you give us information other than this
25 averaging of current production to tell us what the total

1 cumulative production has been for the Teledyne well? Do
2 you have other information on the production on that well?

3 A. No, I do not. That reported to the state has
4 only been updated through 1/1 of '90. I have not gotten a
5 cumulative for that well at this time.

6 Q. Do you have other information available with you
7 that you could tell me what the gas-oil ratio was for the
8 well for the month of, say, September, 1991?

9 A. I don't have that. During the months last
10 summer, the Teledyne was overproduced on gas. The
11 commission came to us in roughly August of 1991 and
12 requested that we shut the well in. We reached an
13 agreement with the commission that we could still produce
14 the oil, but we just had to keep the gas rates at roughly
15 half the allowable rate and -- until we made up the
16 overproduction. The --

17 Q. Half of the gas allowable rate?

18 A. Half of the gas allowable.

19 Q. So you would have had half of -- what was -- the
20 384 number?

21 A. That's correct. So basically what we do is, we
22 flow the well for half a month every month and then shut it
23 in. And we -- during that half month that it is
24 productive, we keep it choked back to as close as we can to
25 384 MCF per day rate, meaning during that month we have

1 only produced half of our allowable.

2 And we will continue to do that for a time
3 period sometime into later this year until that
4 overproduction is made up.

5 Q. So the Teledyne No. 2 well is being restricted
6 because it exceeds the gas withdrawal maximum limit allowed
7 for the well at this point?

8 A. Yes. I believe, yes.

9 Q. Do you have an accurate producing gas-oil ratio
10 that we can utilize to tell what the true gas-oil ratio is?
11 Because I'm confused.

12 A. In what well?

13 Q. Well, because you've restricted the well.

14 A. Yes.

15 Q. How am I going to relate this average on a
16 gas-oil ratio to what would be the true gas-oil ratio for
17 the well?

18 A. It would make no difference. This is the true
19 gas-oil ratio when we produce the well for the 15-day
20 period.

21 Q. Okay. And then you simply stop producing when
22 you reach the maximum oil-- gas volume allowed for the well
23 for that period?

24 A. Yes.

25 Q. If we went through the reports for each of the

1 months for this well --

2 A. Yes.

3 Q. -- and found out what the gas-oil ratio was for
4 that well and then averaged October, November and December,
5 we should get the 5986 average?

6 A. Yes.

7 Q. One of your arguments is that there is not a
8 structural explanation to the high gas-oil ratios of the
9 wells. In other words, you see the gas breaking out of
10 solution indiscriminate of structural position, and
11 therefore you're not concerned that we're forming a gas
12 cap, if you will, by withdrawing the gas too fast from the
13 reservoir.

14 A. So what's your question?

15 Q. My question is that, one of your points is there
16 is not a relationship between the gas-oil ratios and
17 structure?

18 A. There is not a logical correlation between
19 structure and GOR here.

20 Q. If we're depleting a depletion or a solution
21 gas-drive reservoir too fast and breaking out too much of
22 the gas and leaving it to be produced preferentially to the
23 oil, we would expect to see higher gas-oil ratios in wells
24 in higher structural positions?

25 A. In a solution gas -- in a classic solution gas

1 reservoir?

2 Q. Yes. Right.

3 A. Not necessarily, unless there was horizontal and
4 vertical permeability in that given sand member.

5 Q. Let's assume that. One of the concerns about
6 producing an oil reservoir is that you don't want to waste
7 the gas drive by producing the gas too high, right?

8 A. Right.

9 Q. And if you've got good permeability in the
10 reservoir, if you're pooling the reservoir too fast, then
11 you would see a secondary gas cap being formed higher in
12 the structural position of the reservoir?

13 A. In our classic example, yes.

14 Q. With regard to these Delaware wells, are they
15 mechanically communicating the reservoir so that these
16 various lenses or stringers are actually being communicated
17 in the near well bore condition?

18 A. They are in the near well bore. Yes, they are.

19 Q. When we look at your gas-oil ratio map and your
20 structure on Exhibit No. 3, and I look at the Teledyne well
21 in the northwest of the northwest of 14, and I look at the
22 well to the southwest of that in the southeast of the
23 northeast of 15 -- I guess I need some nomenclature. That
24 is the Bird Creek Siebert No. 1 well in 15?

25 A. Siebert -- it's the northeast northeast, which

1 is unit letter "A." It's the Siebert, yes.

2 Q. Siebert. You've got the Siebert well and I've
3 got the Teledyne No. 2 well. Gas-oil ratios of both of
4 those -- one is about 6000 to one. The other is 8300 to
5 one. They are high in the structural position. I look to
6 the west offsetting that down structure and I got the wells
7 at substantially less gas-oil ratio.

8 Is that not an example?

9 A. That is a very isolated example of where you
10 move up structure and you have a high GOR. I can pick out
11 rather quickly for you where there are examples of moving
12 up structure and lower GORs.

13 Q. Even within that isolated portion of the
14 structure shouldn't we then control the gas withdrawal
15 rates from those two Bird Creek wells so that we don't
16 waste the drive mechanism in the reservoir?

17 A. If it were the classic-type reservoir with great
18 vertical and horizontal permeability?

19 Q. Yes.

20 A. Yes, you would want to restrict that. In this
21 case, we feel that we have discontinuous sands, no vertical
22 permeability, no horizontal -- or when I say no vertical
23 permeability, that is between individual sand members --
24 limited horizontal permeability due to the size of the sand
25 pods or the sand stringers. And, again, going back, we

1 should not drain and cannot drain anything greater either
2 than 40 acres, so I do not feel that we can make that
3 parallel in this case.

4 Q. Is there available data from which you as an
5 engineer could plot the effects of increasing the gas-oil
6 ratio on ultimate recovery?

7 A. There are -- there is some engineering that can
8 be done to determine with increased GO -- with GOR data
9 what ultimate recovery would be or the percentage of oil in
10 place.

11 Q. Have you done that here?

12 A. I have not. We do not have time. We have not
13 had enough production history on our wells to perform that
14 type of study.

15 Q. When you look at your anticipated maximum
16 recovery percentages for this Delaware oil production, what
17 is your estimate as an engineer of what that maximum might
18 be?

19 A. We are assuming 20 to 25 percent, no more than
20 25 percent, original oil in place.

21 Q. For this reservoir?

22 A. For this reservoir in Section 14.

23 That figure is based somewhat on production in
24 other Brushy Canyon wells of which I played a part of at
25 Texaco for a number of years.

1 Q. Your fluid data, the PVT data on
2 Exhibit No. 10 -- one of the things that this shows us is
3 that very quickly in the life of the reservoir we were
4 producing below the bubble point of the reservoir, wasn't
5 it?

6 A. No. No. The bubble point here was 2858 of this
7 oil sample. If I may point you to Exhibit No. 9, page 2,
8 our initial reservoir pressure two days after having opened
9 the well up was 2906. That was a 72-hour shut-in.

10 It's in small script above the average GOR line.

11 Q. You're looking at Exhibit No. 9?

12 A. I'm looking at Exhibit No. 9, page 2, rate
13 sensitivity test.

14 Q. Yes.

15 A. Bird Creek Carrasco 14 No. 1, initial reservoir
16 pressure 2906.

17 Q. I got it.

18 A. Which is approximately 50 pounds higher than the
19 bubble point as measured by Core Lab.

20 Q. The bubble point was 2892, if I remember right.

21 A. 2858.

22 Q. 2858?

23 A. That is on Exhibit 10.

24 Q. At what point in the reservoir have the -- did
25 the wells cross through the bubble point and start

1 proceeding at a pressure below the bubble point?

2 A. The Carrasco -- and this is an estimate based on
3 the pressures here again on the rate sensitivity test on
4 the Carrasco No. 1 -- it took 14 months for the pressure to
5 drop from 2900 to roughly 2440 which is a difference of
6 about 450 pounds. So 450 divided by 15 months is roughly
7 three -- oh, what am I trying to say?

8 It's a roughly 30-pounds pressure drop per
9 month, so about somewhere around two and a half, three
10 months after this well was completed, this well crossed
11 into the bubble point, went below the bubble point
12 pressure.

13 Q. Are there any wells that are currently producing
14 above the bubble point of the reservoir?

15 A. Our most recent completions are above the bubble
16 point just because they are recent completions. If there
17 are others that other operators have, I'm not aware of it.

18 Q. Let's take, for example, the Teledyne No. 2
19 well. If that well is allowed to produce gas at the
20 increased 5000 to one, it gives it a 710 ceiling per day?

21 A. That's correct.

22 Q. What would be its comparable oil rate?

23 A. Its comparable oil rate would be approximately
24 90 to 100 barrels of oil per day, still below the --

25 Q. 142?

1 A. -- the 142.

2 Q. The top allowable?

3 A. This is one of the two or three wells that we
4 have that we do not want to go over the GOR of 5000 for the
5 -- for the conservation of energy past that rate. These
6 two or three wells would never make the 142 a day unless we
7 flowed them in excess of a million MCF or a million gas
8 cubic feet per day.

9 Q. Help me find on Exhibit No. 2, Mr. Burks, which
10 of your wells, meaning the Bird Creek wells, that are
11 currently curtailed because of the gas ceiling under the
12 current GOR rate.

13 A. Okay. Currently curtailed wells.

14 Q. Because of the gas component.

15 A. Right. That would be pages 2 and 3, Sections 14
16 and 15 and also in Section 22, unit letter "A" of 22.

17 Q. I'm confused. Can you do it by well name?

18 A. I'm sorry. Those currently curtailed are in
19 Section 14, Teledyne No. 1.

20 Q. All right, sir.

21 A. Teledyne No. 2, the Trachta No. 2, Carrasco
22 No. 1, RGA No. 1, and I believe that would be all in
23 Section 14.

24 Again, the gas allowable rate is 284 MCF per
25 day.

1 In Section 15, we have a problem that is just
2 started on the Siebert No. 1.

3 Q. Okay.

4 A. Then the Caviness-Paine No. 1, then in Unit
5 Letter A of Section 22 that would be the Queen No. 1.

6 Q. Okay.

7 A. Those are wells that we currently operate. Now,
8 we again have drilled and completed other wells for -- and
9 have handed those operations over.

10 Q. If the gas component is increased to the 710 MCF
11 a day, will any of those eight wells still be gas-allowable
12 curtailed?

13 A. Some of those eight will be, naming the Teledyne
14 No. 2 as we discussed a while ago. But the majority of
15 them would be able to get back up to the
16 142-barrels-of-oil-per-day allowable.

17 Q. You said a while ago you didn't want to exceed
18 the 5000 to one. What's the distinction between five and,
19 say, 4000 or 6000? Why five?

20 A. We just feel that we'll be at 5000 on
21 approximately every well within the next 12 to 14 months,
22 and we feel that that's sufficient time period to evaluate
23 this increase in GOR. And so at this time we feel
24 comfortable with the 5000; no more, no less.

25 Q. That would be 5000 on the wells that you

1 operate, then? Within a 12-month period you would expect
2 all of those to bump against the 5000 ceiling?

3 A. I expect the wells that I just listed to, again,
4 bump the 5000 ceiling on the current trend they have. I
5 hope they don't do that, but we will need 12 months to
6 determine that.

7 Q. Did you run rate sensitivity tests on any wells
8 other than the four that are shown in Exhibit No. 9?

9 A. Yes, I did, but I did not include those.

10 Q. Why not?

11 A. They were -- they were indicative of what I have
12 here, and I -- these were a -- I felt, a good average of
13 our wells in the field.

14 Q. You didn't run any rate sensitivity tests where
15 the well showed that with increased withdrawals the gas-oil
16 ratio climbed?

17 A. Everything that we ran indicated a flat line.

18 Q. Explain to me again the rate sensitivity test.
19 You said that -- let's start at the first one, the Pogo --

20 A. That's correct.

21 Q. -- operated well. What are we controlling here
22 in terms of establishing the rate sensitivity?

23 Are we controlling the gas rate or are we
24 controlling the oil rate?

25 A. Well, since the -- since the GOR is

1 approximately constant, if you control the oil rate, you
2 therefore control the gas rate by the same factor.

3 Q. For example, the first point on here is, oh, it
4 looks like about 80 barrels a day.

5 A. That's correct. And GOR of approximately 3400.

6 Q. So flowing in at 80 barrels a day gave us that
7 gas-oil ratio number?

8 A. Yes.

9 Q. How long did you flow it at that rate?

10 A. This was Pogo, and according to Pogo, those were
11 48-hour rates.

12 Q. How long did you flow your wells?

13 A. 48 hours.

14 Q. So you flow it for 48 hours and then do --

15 A. That was minimum. Minimum of 48 hours.

16 Q. All right. Is there some stabilization period
17 such as you would run in a gas well in terms of pressure
18 analysis?

19 A. That's why we did the 48-hour test. We felt
20 like 24 was not sufficient time to get a good, stabilized
21 rate.

22 Q. So you run it for 48 hours. You get a
23 stabilized -- what you think is a stabilized rate, and then
24 you change it and run it at a high --

25 A. Then we change the choke size after that 48-hour

1 period to a higher choke, say from a 1064 to a 1464.

2 Q. And then you produced at about 130 barrels a
3 day?

4 A. In this Pogo example, yes, it started producing
5 at about 130 barrels a day. The GOR went down for the
6 48-hour period, down to roughly 3100.

7 Q. And then it's flowed for another 48-hour period,
8 it looks like, just above 150 barrels a day, and the
9 gas-oil ratio goes back up to what? 4000 to one?

10 A. No, that's -- that line would be 3400.

11 Q. What is that line?

12 3400 -- 3400 to one.

13 A. The best thing that can be done with these
14 points is to average the area between the two points and
15 draw a straight line in whatever direction. The indication
16 here was that the GOR even dropped at higher oil rates.
17 The other tests also demonstrate that, that they may drop.
18 They may come up slightly. And that would just be the --
19 area or error involved with the flowing of the well.

20 Q. Well, when you look at the Pogo well and you
21 compare the first step rate to the last step rate, it's
22 taken you more gas energy to recover a barrel of oil at the
23 higher rate?

24 A. I don't think that conclusion can be made from
25 these just two points. You're only talking about going

1 from a gas-oil ratio of approximately 3330 up to 3400,
2 which is quite minute, in my opinion.

3 Q. What's the percentage range of difference off
4 your average line for those points?

5 A. The percentage difference?

6 Q. Yes.

7 A. Which graph?

8 Q. Oh, for the first one, the Pogo graph.

9 A. The first one?

10 Q. Yes.

11 A. Average line is 3250. The highest or the --
12 either the lowest point or the highest point plotted
13 there -- I'll pick the lowest. The lowest point is
14 approximately at 3100. That's a difference of 140 divided
15 by 3100.

16 Q. Let's turn to the --

17 A. That's approximately four percent.

18 Q. When you look at the Bird Creek RGA well -- it's
19 the third page over --

20 A. Yes.

21 Q. -- you flow the well at, oh, I guess a little
22 over almost 170 barrels a day and you get a gas-oil ratio
23 of slightly over 1500 to one. And then you go over and you
24 produce it at 210 a day, and your gas-oil ratio goes up to
25 2450 to one?

1 A. But then we go to 225 a day and it comes back
2 down to 2250.

3 You're not --

4 Q. How do you draw any sense out of the points that
5 are that far apart?

6 A. Again, I point out that you split the points and
7 draw the best-fit line on those points. Nothing is perfect
8 in this world, and as most engineers know, it is hard to
9 get all your points to line up when attempting to do a
10 best-fit straight line.

11 Q. Wouldn't the scattering of points make you, as
12 an engineer, suspect that the 48-hour flow rate really is
13 not long enough to tell you what effect you're having on
14 the reservoir?

15 A. I would not say that. Some of our flow rates
16 were 72-hour on our wells.

17 Q. Even 72 hours is going to be too short to tell
18 you?

19 A. I would not say that.

20 I can make these points look closer together by
21 scrunching the numbers on the level margin and make my line
22 easier to plot.

23 MR. KELLAHIN: Thank you, Mr. Examiner. I have no
24 further questions.

25 EXAMINER CATANACH: Any re-direct?

1 MR. CARR: No.

2 MR. KELLAHIN: You've got a couple more lawyers here
3 that want to ask engineering questions.

4 EXAMINER CATANACH: Mr. Pearce.

5 CROSS-EXAMINATION

6 BY MR. PEARCE:

7 Q. Mr. Burks, I'll bite. I want to go back to your
8 Exhibit 9 with the plots that you've been looking at with
9 Mr. Kellahin for a minute and I want to understand what the
10 line labeled "Average GOR" is.

11 A. Okay.

12 Q. That's not any kind of least squares fit; that's
13 just a simple mathematical number that you derived and you
14 drew a straight line from it?

15 A. That's correct. That's taking the points,
16 looking at them on the same plane and drawing the best-fit
17 line.

18 Q. That is the best-fit line?

19 A. In my engineering opinion, yes.

20 Q. And in each of these four examples the best-fit
21 line came out to be an absolutely flat line?

22 A. Yes.

23 Q. Absolutely horizontal?

24 A. I tried to split all points evenly. If there
25 are many points far off the line, I've got to take them

1 into consideration. In my engineering opinion, these are
2 the best-fit lines -- in my opinion.

3 Q. And what I'm trying to determine is how you
4 derived that best engineering opinion. Is that a
5 mathematical function or is that a sighting-down-the-points
6 function like you just did?

7 A. That's a sighting-down-the-points function.

8 Q. Did you do a least-squares fit on any of these
9 points?

10 A. No, I did not.

11 MR. PEARCE: Thank you.

12 EXAMINER CATANACH: Mr. Bruce.

13 CROSS-EXAMINATION

14 BY MR. BRUCE:

15 Q. Going back to your Exhibit No. 3, Mr. Burks,
16 getting back to something Mr. Kellahin questioned you
17 about, looking up, say, at the northwest quarter of
18 Section 14 and the northeast quarter of Section 15 -- I
19 don't know the well names -- but the well with the GOR of
20 5986 and then the other one with the GOR of 8325 --

21 A. Yes.

22 Q. -- are those both Bird Creek wells?

23 A. The 5,986 is operated by Bird Creek at this
24 time. The 8,325 well, which is the southeast of northeast
25 of 15, is operated by a company called Harken.

1 Q. Did Bird Creek drill that well?

2 A. We drilled that well.

3 Q. And the well immediately to the west of the
4 Harken well, that would be a GOR of 8888. That's the
5 R.C. Bennett well?

6 A. That's the R.C. Bennett well. That is at a
7 legal location, although it has crowded Bird Creek and
8 Harken acreage -- 330 and 330.

9 Q. Getting back to your comment about these --
10 you're talking about individual gas stringers in the
11 Delaware. How extensive could these be?

12 A. Again, I'll go back to my testimony. We feel
13 that they averaged -- depending upon the thickness, they
14 average an aerial coverage of ten to 60 acres.

15 Q. So it's conceivable, looking at that
16 R.C. Bennett well, assuming your theory of gas stringers is
17 correct, that a gas stringer could be reaching from the
18 Bennett well to that Harken well?

19 A. It could, conceivably, yes. Correlating the two
20 logs there, I don't think you could pick out what
21 individual sand might be the actual one again.

22 Q. But it is possible?

23 A. I won't rule it out.

24 Q. And the Harken well is completed higher
25 structurally than the Bennett well; is that correct?

1 A. I'd better not answer that because I don't have
2 those logs in front of me at this time. Structurally, the
3 Bennett well was -- from my recollection, was completed in
4 the lower two-thirds of the 100-foot interval. The Harken
5 well is completed in the entire 100-foot interval, so I
6 think one could deduce that, yes, they are probably
7 completed at a lower structural level.

8 Q. The Bennett well?

9 A. The Bennett well is -- to the Harken well.

10 Q. And therefore it's conceivable that the Harken
11 well could be, if it's producing at that higher GOR,
12 drawing off the gas from that individual gas stringer
13 that's in the bad well?

14 A. I can't make that conclusion in the Bennett well
15 for basically one reason. The Bennett well has not even
16 been completed for 30 days. They are still within their
17 30-day -- they are still flaring their gas at this time.
18 They are hoping to get hooked up by the end of this month,
19 so they have no production history.

20 Our opinion is -- and we visited with them about
21 this -- that we feel that even though their GOR is at 1000,
22 approximately, that given a few months, their GOR will
23 increase over 1000, based on R.B.'s experience, based on
24 Bird Creek's experience, based on Parker and Parsley's
25 experience down south.

1 Q. But it is conceivable that the Harken well is
2 drawing off gas from the Bennett well?

3 A. If you believe the theory that there might be a
4 gas -- a gas stringer extending -- or any sand stringer
5 extending from one well to the other, if it were that
6 continuous.

7 You're talking 990 feet distance, a little over
8 that there.

9 Q. Now, if the GOR is not increased, would Bird
10 Creek be losing any of its oil or would it just take longer
11 to produce it?

12 A. It would just take longer to produce it. The
13 only way that we would lose any of our oil is occasions
14 like R.C. Bennett where they have crowded the line 330 and
15 330. If they drain an ideal 40 acres, they will drain our
16 oil and our gas.

17 Q. But, for instance, are there any unorthodox
18 locations?

19 A. There is one unorthodox location. It was
20 approved by the commission, a BTA well.

21 Q. All the others are orthodox?

22 A. All the others are orthodox.

23 Q. According to the standard rules of this
24 commission?

25 A. That's correct; 330 off the 40-acre line.

1 Q. I'm going back here to the two for Mr. Kellahin.
2 You listed what you considered -- I don't know what the
3 right term is -- but problem wells, but you want a GOR of
4 5000 to one. Are there any of these wells that a lower GOR
5 would suffice?

6 A. They would suffice for a period of about --
7 depending upon the GOR, for a period of from one month to
8 six months from now. I pointed out on Exhibit 8, which are
9 the production plots showing our GORs increasing with time,
10 we have some wells that are over the GOR of 3000 at this
11 time. Other wells in the field we have gone over 2000, the
12 ones that I listed previously.

13 If you pick a GOR of 4000, we'll be there in,
14 say, six months on the average. If you pick a GOR of 5000,
15 which we'd like to see, we'll be there in nine to 12
16 months.

17 Q. Looking at your Exhibit 8, you did complete a
18 couple of RB Operating Company wells on that chart or on
19 that exhibit and -- for instance, the SCB 23 No. 1 well,
20 although it fluctuated, the GOR has not really increased,
21 has it?

22 A. It did in the first year. If I were to attempt
23 to draw a straight line in the first year on that GOR, it
24 increased from an average of 4500 a day, which on an
25 initial completion was -- it's initial completion GOR --

1 SCB 23 No. 1 was 1406.

2 I'm on the wrong plot.

3 On the SCB 23 No. 1, original GOR on completion
4 was 1406. Within nine months GOR had increased to well
5 over 4300.

6 Q. But since then it's declined, hasn't it?

7 A. I think it's drawn roughly a straight line
8 through there because, again, here in August of 1991 they
9 were at a GOR of 4000.

10 Q. Sure. But excluding, say, 1988, it's more or
11 less been -- if you draw a straight line through there, it
12 might be more like 2500; is that correct?

13 A. That's not unreasonable to draw that line.

14 Q. And that could indicate that after a year or so
15 of production there might be less of a problem with GOR
16 than Bird Creek is having right now?

17 A. Could you restate that, please?

18 Q. Could that indicate that after a year or so of
19 production there might be less of a problem with production
20 than Bird Creek is seeing right now?

21 A. It depends how long you can sustain your
22 allowable flow rate. RB here could only sustain it for a
23 few months.

24 We feel that we can sustain it for anywhere from
25 six to 12 months on our problem wells. We feel 12 months

1 from now we ought to be coming off of the allowable oil
2 rate of 142 a day, and that's why we're requesting the
3 12-month trial period.

4 Q. Getting back to Exhibit 3 and the wells you were
5 discussing on that exhibit -- the Bird Creek well, the
6 Harken well and the R.C. Bennett well.

7 A. Correct.

8 Q. Now, you said the -- I believe -- and correct me
9 if I'm wrong -- that the Bennett well was completed in the
10 lower two-thirds of the sand and the other two wells were
11 completed in the full interval; is that correct?

12 A. The Bennett versus what wells? The Harken?

13 Q. The Bennett -- looking at the Bennett, the
14 Harken, which has the GOR of 8325, and the Bird Creek with
15 a GOR of 5986.

16 A. 5,986. That is, from my recollection, an
17 approximate value of where they are open at.

18 Q. But, I mean, just looking at the completion, I
19 believe you said that the Harken well was completed in
20 two-thirds of that interval that you've been looking at.

21 A. Yes.

22 Q. On your cross section.

23 A. Yes.

24 Q. And that the Harken well and the Bird Creek well
25 were completed in the full interval.

1 A. In the full interval, yes.

2 Q. Did you do a similar analysis of any of the
3 other completions?

4 A. Yes, I did. R.B.'s first well -- let me step
5 back and have you restate your question again.

6 Q. Have you done a similar analysis of the other
7 wells in the pool of what portion of the interval they were
8 completed in, whether the full -- I think you were talking
9 about 100 feet or two-thirds of that or half, or whatever?

10 A. Yes. Yes, I have. I've looked at RB wells. I
11 can point out that the two production plots on RB wells I
12 currently have, which are SCB 23 No. 1 and the Brantley
13 No. 1, have been completed in the lower one-fourth of the
14 100-foot interval. That and other wells that they have
15 shot just a lower interval and still have a high GOR and/or
16 allowable gas problems indicated to us that you can be --
17 you can be just perforated in the lower zones, the lower
18 one-fourth, and still have your gas problems; that it was
19 not just something that occurred when you were perforated
20 in the upper one-fourth of the zone. We could not develop
21 a trend where you were open.

22 I could further point out on the cross section,
23 which would be Exhibit 5, I believe Pogo's well is
24 completed in the lower one-third of the zone in their
25 attempt to stay away from the upper one-third of the zone,

1 and yet they still have a GOR problem, a GOR approaching
2 3000 approximately 30 days after completion.

3 Q. I don't know if you stated it earlier, but what
4 is the drive mechanism in this pool?

5 A. In our opinion, there's two different kinds of
6 sand: a gas sand and an oil sand, and the mechanism in the
7 oil sand appears to be solution gas draw.

8 The idea has been thrown around that there is
9 partial water drive. That theory can be disproved by
10 saying there's no vertical permeability from lower zones
11 bringing water up. There's not -- the horizontal extent of
12 each individual sand is not sufficient to allow water
13 drive.

14 The other proofs, then, are the production plots
15 of the SCB 23 1 and the Brantley No. 1, showing water rates
16 declining along with oil rates. A water drive would
17 indicate continued increases or static water volumes.

18 MR. BRUCE: I have nothing further, Mr. Examiner.

19 EXAMINATION

20 BY EXAMINER CATANACH:

21 Q. Mr. Burks, it's my understanding that you cannot
22 isolate the -- or you cannot tell where these individual
23 gas-containing sand stringers are?

24 A. At times I feel we can pick them out based on
25 ~~the cross over on the density neutron log. Now, a portion~~

1 of the cross-over on the density neutron log is due to a
2 clean sand effect seen often in the Delaware. But there
3 are cases in the field and in our wells where we feel like
4 we've got sufficient cross-over. When you plot them on
5 log interpretation charts, they indicate to be gas field
6 sand.

7 We have investigated the possibility of running
8 surveys to try to find gas entry, but we've discounted
9 using that due to the rates involved here. We've got so
10 much gas and oil and water that the water line companies
11 we've talked to say they would have a hard time pinpointing
12 down to, say, the foot where that gas is coming from just
13 because of the turbulence in that well bore. You would
14 have to flow the well while you're running the log.

15 Q. Do you show any correlation between the wells
16 that are producing at a higher GOR, and would these wells
17 be producing from gas sands? Have you looked into that?
18 Or are they producing from what you think are gas sands?

19 A. I feel that the areas of high GORs just have a
20 larger amount of gas sands or a larger frequency of the
21 little individual sand stringers in that given well bore.
22 My cross section A through A' goes from the well highest on
23 structure in the field to one of the lowest wells on
24 structure in the field and shows how discontinuous the
25 sands are, and also the porosities are greater where we

1 tend to have gas problems. And when I say porosities are
2 greater, the cross plot between the density neutron curve.

3 So we feel that's just indicative that there are
4 more gas sands in that given well bore than there are even
5 up structure in wells that don't have a GOR problem.

6 Q. If you've in fact got some gas sands, why would
7 the GOR go up in time and why wouldn't this problem have
8 shown up when you first completed the well? Why wouldn't
9 it have had a higher GOR at that time?

10 A. We feel we did have the problem at that time.
11 When we measured that oil sample, Core Lab came back and
12 said, "You can't put more than a MCF in this oil." But
13 before we have even drawn the reservoir down below bubble
14 point we were seeing GORs higher than the 1000, upwards to
15 1500.

16 For example, the Harken well was drilled some
17 months ago, could not have had any offset drainage,
18 therefore should have been at or above -- well above the
19 bubble point. Yet their initial GOR -- Harken well would
20 be in Unit Letter H of 15. Their initial GOR was 11,000.
21 And that would be page -- from page 3 of Exhibit No. 2 --
22 page 3, Exhibit No. 2, Unit Letter H, Section 15.

23 So we feel we have had that GOR problem. The
24 increase in GOR is due to the liberation, additional
25 liberation, of gas in the solution gas zones. There's -- I

1 should say, the oil sands, which are solution-gas drive.

2 The gas sands that we report to see should be
3 having the same gas rate now as they were a year ago -- or
4 about the same, probably a little bit more as we've drawn
5 the pressure of the well bore down.

6 EXAMINER CATANACH: I believe that's all I have.

7 Anything further of this witness?

8 MR. CARR: Nothing further.

9 EXAMINER CATANACH: The witness may be excused. Let's
10 take a short break here.

11 (At this time a recess was taken.)

12 EXAMINER CATANACH: This is continuation of the Bird
13 Creek case, testimony of Bonnie S. Wilson coming up.

14 BONNIE S. WILSON,
15 the Witness herein, having been first duly sworn, was
16 examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Ms. Wilson, for the record, would you please
20 state your name and occupation?

21 A. Bonnie Wilson. I'm a reservoir engineer for
22 Oryx Energy.

23 Q. Ms. Wilson, on prior occasions have you
24 testified before the division as a petroleum engineer?

25 A. Yes, I have.

1 Q. Pursuant to your employment, have you made a
2 reservoir study of the Delaware wells involved in this
3 particular pool?

4 A. Yes.

5 Q. Based upon that study, were you able to come to
6 certain conclusions with regard to the Bird Creek
7 application today?

8 A. Yes, I have.

9 Q. And you've heard Mr. Burks' testimony this
10 afternoon and listened through his presentation and
11 reviewed with him his explanations and his exhibits?

12 A. Yes.

13 Q. What is your conclusion about the necessity at
14 this time to increase the gas-oil ratio for the pool?

15 A. At this time, I think it's still too early in
16 the life of the field. The operators are still actively
17 drilling in this field and it's just too early to be
18 changing field rules.

19 Q. Mr. Burks explains that he is not concerned
20 about the gas-oil ratios that he has seen well to well and
21 from area to area in the pool and believes that we can,
22 without wasting the drive mechanism in the reservoir,
23 increase that gas-oil ratio to 5000 to one.

24 Do you share that conclusion with him?

25 A. No. We see varying GORs across this field

1 ranging from 1000 up to 10,000, and this large variance in
2 GOR from well to well is what concerns me. I'm worried
3 that the high GOR wells will deplete reservoir energy and
4 result in waste or a loss of actual recoverable reserves.

5 Q. Have you made available to you PVT data to
6 examine for wells in the field?

7 A. Yes.

8 Q. And you've seen Mr. Burks' PVT data before, have
9 you not?

10 A. Yes.

11 Q. What's your conclusion about the PVT data?

12 A. The PVT data shows that the reservoir was either
13 below bubble point or at bubble point when it was
14 originally discovered and that, yes, a free gas saturation
15 has formed in the reservoir and the reservoir is now below
16 bubble point.

17 Q. One of Mr. Burks' conclusions was that he felt
18 that there was good horizontal and vertical separation of
19 the various hydrocarbon lenses in the Delaware and that we
20 need not be concerned about forming a gas cap with
21 increasing withdrawals in the reservoir. He said he
22 attributed a significant portion of the gas to gas
23 stringers in the reservoir.

24 Do you agree with that conclusion?

25 A. No, I don't. I believe that there are secondary

1 gas cap or caps forming within the reservoir and that
2 originally these zones were all oil productive.

3 Q. What is your recommendation to the examiner with
4 regard to this application, Ms. Wilson?

5 A. I would recommend that we would leave the field
6 rules or the GOR allowable set as it is at 2000 to one.

7 Q. If the allowable, gas allowable, is increased to
8 5000 to one, in your estimate as an engineer, will it
9 reduce the ultimate recovery for the pool?

10 A. It will reduce the ultimate recovery by about 12
11 percent.

12 Q. 12 percent, and relate that in volume for us.

13 A. If a well was to make 100,000 barrels of oil,
14 then that well would make 100,000 minus 12,000, or 88,000
15 barrels of oil if we would change the GOR limit.

16 Q. As an engineer assigned to examine the reservoir
17 and to formulate an opinion concerning increasing the
18 gas-oil ratio, what were the kinds of things that you
19 wanted to look at and what types of information did you
20 want to assimilate before you could begin your study?

21 A. The first thing that I looked at was the GOR in
22 the field and then the oil rates that coincided with the
23 GOR. That's Exhibit No. 1, which shows a bubble map of the
24 GORs, and then Exhibit No. 2 shows the production data for
25 each well at that well's location.

1 Exhibit 2 shows along the top line barrels of
2 oil per day, MCF per day and barrels of water per day and
3 then along the bottom line accumulative oil, gas and water.

4 MR. KELLAHIN: At this time, Mr. Examiner -- I
5 neglected to do it a while ago -- I'll tender Ms. Wilson as
6 an expert petroleum engineer.

7 EXAMINER CATANACH: She's so qualified.

8 Q. (By Mr. Kellahin) When your looking at gas-oil
9 ratios, I assume you've got to start with some data base of
10 information?

11 A. Yes.

12 Q. Where did you go to obtain what you considered
13 to be reliable information concerning the production of oil
14 and gas from each of the wells in the pool?

15 A. I pooled some data from Dwights. Then I came
16 here to the state office a week ago and pulled the data
17 that I could from the state office.

18 Q. Does your tabulation of information agree with
19 the tabulation of information that Mr. Burks presented in
20 his Exhibit No. 2?

21 A. No. I haven't examined all the wells. I can't
22 address one well.

23 Q. Let's take, for example, one specific well and
24 let me find the display here.

25 All right. I'm going to hand you the Bird Creek

1 Exhibit No. 2 and you direct us to that portion of the
2 display that has the well in question that you would like
3 to discuss.

4 A. It's on the second page. It's the Teledyne
5 No. 2.

6 Q. Just a moment. Let's make sure we all have a
7 copy of that.

8 A. Since this well produces at high GORs and is
9 close to our property, it is one of the wells that I was
10 most explicitly interested in and that's why I was able to
11 catch the difference in the data.

12 Q. What does your information tell you about that
13 well?

14 A. My data shows that the Teledyne No. 2 in the
15 month of August produced at a GOR of 9821. In the month of
16 September it produced at a GOR of 7040. In the month of
17 October it produced at a GOR of 5047, and then that GOR
18 went back up. In the month of November it produced at
19 9544.

20 It's these high GORs in wells like this that I'm
21 worried about.

22 Q. What is your understanding of the status of that
23 well in terms of whether or not it's overproduced in its
24 gas volumes currently?

25 A. It's currently overproduced.

1 Q. Let's go back to your GOR bubble map and the
2 data map that is the companion display to it, Exhibits 1
3 and 2. Tell us what you tabulated on Exhibit 2, first of
4 all, in terms of the information.

5 A. Exhibit 2 shows the current oil production
6 barrels of oil and -- MCF and barrels of water along the
7 top line and then cumulative oil, gas and water along the
8 bottom line for the individual wells that I was able to
9 find data for in the field.

10 Q. Taking that information, then, and formulating a
11 display that would give you a visual reference of the
12 various magnitudes of gas-oil ratios per well, did you then
13 prepare Exhibit No. 1?

14 A. Yes. I prepared Exhibit No. 1 from that data.
15 The bubbles -- this is called a bubble map. The bubbles,
16 the size and the color, represent the relative size of the
17 GOR in the well, and it's a very visual comparison of wells
18 that have 1000 GOR compared to wells that have a 10,000
19 GOR.

20 Q. And this is the current status of the reservoir
21 using the current 2000-to-one-gas-oil ratio limitation?

22 A. Yes.

23 Q. And even with that limitation, what is occurring
24 in the reservoir?

25 A. Wells are able to produce at GORs up to 10,000,

1 and you will be able to produce at GORs even higher as
2 their oil rates fall off.

3 Q. What impact is that going to have to wells
4 immediately adjacent to the high gas-oil ratios?

5 A. Well, it will deplete the reservoir energy, or
6 it will use up the energy of the other wells next to it.

7 Another way to look at this is to think of the
8 bubble as the amount of reservoir energy that that well is
9 using per barrel of oil to produce its oil.

10 Q. Let me direct your attention to what is marked
11 as Exhibit No. 3, Ms. Wilson. Would you identify and
12 describe that display?

13 A. Exhibit No. 3 contains two of the PVT samples
14 that were gathered in this field. The top sheet is the
15 comparison of those two PVT samples. It shows the
16 Carrasco 14 in October of '89, the sample taken there, and
17 then the Oryx-collected sample from the Pardue taken in
18 September of '90, roughly a year later.

19 You can see that reservoir pressure has dropped
20 roughly 500 pounds. You can see that the solution GOR has
21 changed from 1108 down to 983. This gas has been produced
22 and it has formed a free-gas saturation in the reservoir.
23 So you can see that the reservoir is definitely below its
24 bubble point.

25 I would also like to talk a little bit about the

1 PVT from the Carrasco 14 No. 1. If you turn to the first
2 page following the cover sheet and read the last paragraph,
3 it says:

4 "We were initially requested to recombine the
5 separator products to a ratio of 1000...per barrel of stock
6 tank oil at 60 degrees F. The physical recombination was
7 performed and the resulting fluid was placed into a high
8 pressure windowed cell and thermally expanded to the
9 reservoir temperature of 106 degrees. This fluid was found
10 to have a bubble point pressure of 3270."

11 Now, whether or not this was right or wrong or
12 the well was recombined at the correct GOR or not, it does
13 show the sensitivity of a small change in GOR, causing a
14 large change in the bubble point pressure, and that's why I
15 believe it was actually possible for this reservoir to have
16 had a small original gas cap that no one found.

17 It may not have had an original gas cap. It may
18 have been at its bubble point pressure, but I don't feel
19 that it was above its bubble point pressure.

20 Q. Mr. Burks and you disagree on that point, then,
21 don't you?

22 A. Yes.

23 Q. Turn now to Exhibit No. 4. Having satisfied
24 yourself that there was a concern about the gas withdrawal
25 from the reservoir, did you go about formulating a method

1 to try to quantify the magnitude of the change in the
2 gas-oil ratio?

3 A. Yes.

4 Q. How did you analyze that?

5 A. The first calculation that I made was a material
6 balance calculation, and that's shown in Exhibit No. 4.
7 And basically what this calculation does is it uses PVT
8 data to describe the relationship between the recovery
9 factor and the cumulative GOR of the reservoir, the
10 cumulative producing GOR.

11 And you can see from the equations that the
12 recovery factor is a function only of your cumulative GOR
13 production. If the reservoir is produced at a high GOR,
14 then you result in lower recovery factors. And then --

15 Q. The PVT data you selected to use for the
16 material balance calculation is derived from what source?

17 A. The Carrasco 14 No. 1. Even though it was not
18 at original pressure, it's the closest I had to original
19 pressure.

20 Q. Having performed that calculation, have you
21 displayed the information in the form of a curve?

22 A. I have the graphical solution to this material
23 balance equation shown as Exhibit No. 5.

24 Q. Before we discuss the conclusions you can draw
25 as an engineer, let's make certain that we all can

1 understand your form.

2 A. Okay.

3 Q. Identify and explain the format.

4 A. On the Y axis I have plotted the recovery factor
5 as a function of zero to a hundred percent, and then on the
6 X axis I have plotted the cumulative final GOR that a well
7 would be produced at. This assumes an abandonment pressure
8 of three 350 psi for the reservoir.

9 Q. If we use the 2000-to-one-gas-oil ratio as the
10 ceiling for the gas withdrawal from the reservoir --

11 A. Yes.

12 Q. -- what might we expect to be the maximum range
13 of recovery from the reservoir in terms of a percentage?

14 A. Somewhere in the 8000 range cumulative GOR.

15 Q. The recovery factor on the Y axis -- that tells
16 us what?

17 A. The amount -- the percent of the oil in place
18 that you'll recover. If we have a cumulative producing GOR
19 in this field of 8000, then we'll recover roughly 10
20 percent of the oil in place.

21 Q. Mr. Burks was using an estimate of somewhere
22 between 20, perhaps 20 plus, maybe 25, as an expectation of
23 the maximum recovery factor for the Delaware oil pool. If
24 we use that as the maximum, can we relate that into this
25 display in any way?

1 A. I would have to calculate what the
2 cumulative -- well, this display is just saying we can't
3 get there.

4 Q. Okay. All right. If we increase the gas-oil
5 ratio now from 2000 to one to 5000 to one, or halfway
6 between the 4000 and 6000 on the X axis --

7 A. Yes.

8 Q. -- what happens to the recovery factor in the
9 reservoir?

10 A. The recovery factor would go down because your
11 cumulative GOR would go up. You'd be up more in the 10,000
12 range, so your recovery factor is reduced.

13 Q. Describe for us the magnitudes of change in
14 percentages of recovery.

15 A. Because of the assumptions used in material
16 balance, I don't have that exact figure. Looking at this,
17 it's roughly ten to 12 percent decrease in your recovery,
18 which matches the more explicit calculations that I've done
19 later.

20 Q. There is no doubt in your mind as a reservoir
21 engineer that increasing the gas limit to 5000 to one is
22 going to have at least a ten to 12 percent impact on
23 ultimate recovery from the reservoir?

24 A. There is no doubt it will do that.

25 Q. Have you attempted to refine the calculation by

1 adding in additional parameters, adding in additional data,
2 to more explicitly demonstrate what would happen in the
3 reservoir?

4 A. Yes. Material balance assumes a stirred tank
5 model. It doesn't take into account permeability or
6 pressure variances across your reservoir. It doesn't
7 account for structure. It doesn't account for relative
8 permeability. Once you forget saturation forms, your oil
9 flow is limited. It doesn't take any of those things into
10 account, and so to do an accurate measurement of the total
11 deduction we could be seeing I went to a reservoir
12 simulator to do that.

13 Q. Describe for us the type of simulator you used,
14 Ms. Wilson.

15 A. I used the VIP Nolan Executive Simulator. It's
16 a --

17 Q. Well, is it a standard numerical simulator used
18 by reservoir --

19 A. It's a standard numerical simulator used by the
20 industry.

21 Implicit. That's what I was trying to say.

22 Q. Has this been a reliable, accurate tool utilized
23 by you and other reservoir engineers in the industry to
24 model the performance of the reservoir?

25 A. It's been used by Oryx for ten to 15 years, and

1 yes, it's a reliable tool that we use.

2 Q. Describe the format -- using Exhibit No. 6,
3 describe what you have modeled there.

4 A. Exhibit No. 6, that's the model grid that I
5 used. This is a process model so it doesn't encompass the
6 entire field. All it shows is a cross section through the
7 field. It shows four 40-acre locations, and the wells that
8 are in there are shown by the dots. It's a quarter of a
9 mile wide and a mile long, and I used a net thickness of 50
10 feet and the gross thickness was 100 feet. And I have the
11 model dipping at one degree so that you have an upper well,
12 an upper middle well, a lower middle well and a lower well.

13 Q. Are these typical of reservoir characteristics
14 seen in the Delaware pool that we're discussing?

15 A. Yes.

16 Q. You have got four dots --

17 A. Yes.

18 Q. -- in the grid. What does that represent?

19 A. Those are the four wells that would be located
20 at the center of each 40-acre location.

21 Q. This assumes 40-acre spacing for those wells and
22 it shows their structural relationship?

23 A. Yes.

24 Q. All right. Turn to page 2 and give us the
25 reservoir conditions and properties that you put into the

1 model.

2 A. I initialized the reservoir at 2852 psia
3 and a temperature of 115 degrees which I obtained from the
4 PVT data, the temperature and the log data.

5 The porosity I used was 16 percent. The net pay
6 was 50 feet. I used an irreducible water saturation of 17
7 percent, a residual saturation of 18 percent and a critical
8 gas saturation of two percent, a rock compressibility of
9 four microsips, a permeability of log average of 3.2
10 millidarcies within the reservoir. We do have a very tight
11 reservoir.

12 And then the fluid properties for the oil: 2852
13 psia and a 1.59 information volume factor and an initial
14 solution GOR of 1122, and then there's the water data.

15 Q. Are any of the fluid properties or reservoir
16 properties you put into the model suspect?

17 A. No. This is taken from the data that we have in
18 the field.

19 Q. What do you do then?

20 A. I turned the model on.

21 Q. Okay.

22 A. I built what I thought was a physical
23 representation of the reservoir, and then I predicted
24 what -- the way that the wells would react with different
25 ~~GOR allowables, and the four predictions for the four wells~~

1 are shown on the next four seats.

2 Q. Is it necessary for these purposes to run some
3 type of history match or sensitivity to fine-tune your
4 model?

5 A. With such a short history, it's very difficult
6 to obtain a good history match. I did try to history match
7 the well index, for instance, the productivity of the well.
8 I tried to match that a little bit.

9 Did I change the porosity or did I change the
10 permeability? No, I didn't. I ran a little bit of
11 sensitivity to see what changes there did, but I didn't
12 make an attempt to -- a long attempt to history match.

13 I looked at my outputs and said, Does this
14 appear to be what some of the wells are doing? But the
15 wells appeared reasonable compared to the data that I had,
16 and so I predicted.

17 Q. Of the parameters, then, that are in the model,
18 as you change a component and rerun the model, the
19 component that you're changing is the gas-oil ratio?

20 A. The limiting gas-oil ratios are in effect the
21 maximum gas rate that a well can produce.

22 Q. When you did that, what did the model tell you
23 on the lower well?

24 A. Let me first describe what we're looking at.
25 In the top left-hand corner I have oil

1 production for the three different curves. The red curve
2 is for a 1000 GOR allowable. The green curve is for a 2000
3 GOR allowable, and the blue curve is for a 5000 GOR
4 allowable.

5 In the lower right-hand corner the same colors
6 apply. That's cumulative oil production. In the upper
7 right-hand corner, I have gas production, and in the lower
8 right-hand corner I have well reservoir pressure.

9 I would like to talk about the gas production
10 rate first since that is what is controlling what happens
11 in the reservoir.

12 Q. That's the upper right corner of the display?

13 A. That's the upper right corner of the display.

14 Q. All right.

15 A. The red curve shows that if we limit the GOR
16 allowables to 1000, which is lower than what it's
17 established at now, then we apply that to the 142 barrels
18 of oil a day, and we get a maximum gas rate of 142 that can
19 be produced from a well. And you can see that this well
20 produces at that 142 up to 2006 and then it can no longer
21 produce 142 MCF of gas a day.

22 You can see if you use a 2000 GOR, then your
23 maximum gas-rate limit would be 284 MCF of gas, and you can
24 see that the green curve limits on 284 up until about 1986,
25 and then that rate falls off.

1 If you use a 5000 GOR, then your maximum gas
2 rate is 710 MCF of gas per day. Well, this well was never
3 actually able to make 710 MCF of gas per day. It peaked
4 and then the rate began to fall.

5 Q. What is the basic conclusion from that portion
6 of the display?

7 A. That shows what the gas production of this well
8 is doing. It shows how the gas is being limited or the
9 maximum gas rates that can be produced with the different
10 allowables.

11 Q. All right. Next one?

12 A. The oil production in the top left-hand corner
13 just shows the decreasing oil rate with time. I ran each
14 model run in the same economic limit, so there is a time
15 differential here. If we had limited the reservoir to the
16 1000 GOR allowable, you roughly double your life or
17 increase it by at least a third. So that is a large length
18 of time that you increase it.

19 However, there's not a huge difference between
20 the 2000 and the 5000 GOR cases as to the life of the
21 reservoir. They hit their economic limit at roughly a
22 similar time.

23 In the lower left-hand corner, which is probably
24 the most significant curve on the graph, I have plotted
25 cumulative oil production. You can see that this well, if

1 you limit the GOR -- the maximum GOR in the reservoir to
2 1000, would produce about 117,000 barrels of oil.

3 If we limit the GOR to 2000 in this reservoir,
4 you can see that the well would produce about 104,000
5 barrels of oil, and if we raise the GOR allowable to 5000
6 to one, that the production of this well will drop to
7 95,000 barrels of oil.

8 Q. For this well, being the lower well in the
9 model, then it's a difference between 95,000 barrels of oil
10 and 104,000?

11 A. Yes.

12 Q. And that is the direct result of changing the
13 gas-oil ratio?

14 A. Yes.

15 Q. Let's go now to the difference in cumulative oil
16 for the lower middle well, which is the next page, and look
17 at the lower left display again.

18 What happens for the well in that position in
19 the reservoir?

20 A. Again, at the 1000 GOR allowable it could
21 produce about 120,000 barrels of oil. Currently my
22 prediction is at the 2000 GOR allowable it will produce
23 about 105,000 barrels of oil and this will drop to 91,000
24 barrels of oil if we raise the GOR limit to 5000.

25 Q. Those wells in the lower middle portion of the

1 reservoir, then, they will benefit by keeping the gas-oil
2 ratio lower?

3 A. Yes, definitely.

4 Q. It will increase their ultimate oil recovery?

5 A. Yes.

6 Q. Let's go to the upper middle well in the
7 simulator and look at the effect on cumulative oil
8 production with the change in gas-oil ratio.

9 A. Again you see a large difference in the
10 cumulative production that a well will make. This well
11 drops from 127,000 barrels of oil down to 110,000 barrels
12 of oil and then down from that to 83,000 barrels of oil.

13 Q. A well in this position in the reservoir again
14 also benefits with a smaller gas-oil ratio?

15 A. Yes, it does.

16 Q. The upper well, then, in the simulation.

17 A. The upper well actually decreases very slightly
18 in its cumulative oil production. It drops -- or it
19 actually -- I'm sorry -- increases. I said that backwards.

20 It increases -- between the 1000 and the 2000 it
21 stays roughly constant at 50,000 barrels of oil recovery,
22 and by raising to the 5000 GOR limit it increases up to
23 about 52,000 barrels of oil.

24 Q. So there seems to be a small difference for
25 those wells higher in the structure?

1 A. A well high in the structure would see a very
2 slight benefit from the higher GOR.

3 Q. And you need to contrast that, then, with wells
4 in the rest of the reservoir in terms of their structural
5 position?

6 A. Right.

7 Q. The last display in this package under Exhibit 6
8 represents what, Ms. Wilson?

9 A. I've taken up the cumulative oil recovery from
10 the four wells and divided that by the oil in place, and
11 that gives me a recovery factor as a percent of oil in
12 place recovery for each GOR case or each GOR allowable
13 case.

14 So at a limiting GOR of 1000, my recovery
15 average for those four wells is 10.8 percent of the oil in
16 place. If the GOR allowable is 2000 -- and I've shown
17 beneath that scale the maximum gas rate associated with
18 that -- the maximum gas rate would be held at 284. Then
19 the well -- or the recovery from the field would average
20 9.6 percent of the oil in the place.

21 And then if you move to the 5000 case, a maximum
22 gas rate of 710 MCF of gas per day, then your recovery
23 would drop to 8.4 percent of your oil in place.

24 I think it's important to note that the 8.4
25 divided by 9.6 is a 12 and a half percent decrease in your

1 recovery. I think it's even more important to note that
2 the 8.4 divided by 10.8, which is your recovery at 1000
3 GOR, is 22 percent. So we're already today losing reserves
4 even at the current GOR allowable, and by increasing the
5 GOR allowable we only do further damage.

6 Q. If we're dealing with an oil reservoir that over
7 time demonstrates an increasing gas-oil ratio for the wells
8 in the pool and a corresponding -- let's see -- an
9 increasing gas-oil ratio and a corresponding decrease in
10 oil production, you ought to be able to plot all those
11 things and see if it followed in a particular form or curve
12 on the display of field production?

13 A. Yes.

14 Q. Have you attempted to do that for this pool?

15 A. Yes. I've plotted GOR versus time and GOR
16 versus cumulative oil for the wells.

17 Q. Let's look at Exhibit No. 7. You plotted
18 gas-oil ratio as a function of time?

19 A. Yes. This is the life of the well in months,
20 and this is the wells' current producing GOR. And by
21 "current GOR," I mean the reported November GOR to the
22 state.

23 You can see that some of the older wells, the
24 ones -- there's one that's produced 30 months, and it's
25 producing a 3000 GOR. You have wells that have produced

1 five months and they are producing at 8000, 9000 GOR.

2 There doesn't seem to be necessarily a
3 correlation between depletion and GOR. It's not a simple
4 correlation.

5 Q. If you had a simple correlation where over time
6 the gas-oil ratio was increasing, then you wouldn't
7 necessarily have to be too concerned about the gas-oil
8 ratio?

9 A. If the GOR in all the wells was increasing
10 slightly the same, then I wouldn't be worried.

11 Q. Without regard to structural position?

12 A. Without regard to structural position.

13 Q. You would have an expansion drive or a
14 depletion-drive reservoir that would not be rate sensitive,
15 and regardless of the time component, your recovery is
16 going to be the same regardless of how fast you pull it
17 out?

18 A. Yes.

19 Q. Do you see those kind of characteristics
20 displayed in this particular reservoir?

21 A. No.

22 Q. In fact, you see something different, don't you?

23 A. Yes.

24 Q. Let's go to Exhibit No. 8. Identify and
25 describe that for us.

1 A. Exhibit No. 8, again, is GOR on the Y axis, and
2 on the X axis, rather than time. Because time can be
3 misleading, I wanted to go to something that was more
4 indicative of the wells' actual reservoir characteristics,
5 I used cumulative oil production.

6 And again you can see that your high cumulative
7 oil wells 60, 70,000 barrels of oil, have GORs of around
8 2000, and again I have wells that have produced 10,000
9 barrels of oil and have GORs of eight and 9000.

10 Q. What does it tell you?

11 A. Again, that just because a well has produced a
12 lot of oil, that its GOR may not be going up.

13 Q. Do you have examples that you have seen in the
14 reservoir that over time with production the gas-oil ratios
15 have either gone up or gone down in terms of some pattern?

16 A. I have well tests -- consistent well tests for
17 two of our wells. I'll read those to you.

18 Q. Before you get to that, let me ask you a point.

19 Let me ask you to look at Bird Creek's
20 Exhibit No. 9.

21 A. Yes.

22 Q. Mr. Burks was using this as an illustration by
23 which he was demonstrating that certain wells using this
24 test procedure were not rate sensitive, right?

25 A. Yes.

1 Q. What is your assessment of the method by which
2 they have determined that fact utilizing this method?

3 A. I don't know if the wells were adequately --
4 what's the term I'm looking for?

5 Q. Condition stabilized?

6 A. Conditioned -- yes. I don't know if the wells
7 were actually conditioned ahead of time, but when you take
8 a PVT sample, you condition the well. You watch its GOR
9 until its GOR has stabilized, and then you assume the well
10 is conditioned. With permeability as tight as two
11 millidarcies, I think -- I would be hesitant to believe
12 that 48 hours was a long enough flow period to
13 stabilize the GOR.

14 So that is one question I have.

15 Q. How about 72 hours?

16 A. I would have -- I don't know the permeability in
17 each individual well. You would have to watch the GOR.
18 You would have to plot the GOR. When the GOR stabilized,
19 then you could feel that the well was conditioned and you
20 were measuring truly what was happening in the reservoir
21 with the test data that you were getting from the well.

22 Q. When you look at the performance of any of your
23 wells, can you see a relationship to gas withdrawal versus
24 oil recovery?

25 A. In Oryx's wells?

1 Q. Yes.

2 A. I have adequate well tests from two of our
3 wells. One of those wells -- and I'm not sure I can
4 explain this -- actually shows a decreasing GOR with a
5 decreasing rate, and that's probably due to the
6 permeability of the reservoir. I can read the numbers to
7 you.

8 At a rate of 650 barrels of oil it had produced
9 at a GOR of 2600. At a rate of 474 barrels of oil it
10 produced at a GOR of 2088, and then at the lower rate of
11 295 barrels of oil per day it produced at a rate of 1967.

12 So that's roughly a decreasing GOR with a
13 decreasing rate, which would be due to permeability.

14 Q. Which well is that?

15 A. That's the Pardue Farms No. 1. Well test data
16 for the Pardue Farms No. -- I'm sorry -- Lewis Estate
17 No. 1 shows basically that the GOR stayed flat, but we had
18 a very small change in rates.

19 You know, we're talking about rates of roughly
20 around 200, and the GORs weren't changing. So that's sort
21 of inconclusive, but those are the only two data points
22 that I have to determine sensitivity to gas rate.

23 What's important here is not the fact that there
24 is a sensitivity or isn't a sensitivity to the oil rate.
25 What's important is that you have a 1000 GOR well over here

1 and a 10,000 well GOR over here and you've got highly
2 different amounts of reservoir energy being used by these
3 two wells, and we need to conserve our reservoir energy and
4 control the 10,000 GOR well.

5 Q. Can we do that if this application is granted?

6 A. No.

7 MR. KELLAHIN: That concludes my examination of
8 Ms. Wilson. We move the introduction of her Exhibits 1
9 through 8.

10 EXAMINER CATANACH: Exhibits 1 through 8 will be
11 admitted as evidence.

12 (Whereupon Exhibits 1 through 8 were admitted into
13 evidence.)

14 EXAMINER CATANACH: Mr. Carr.

15 CROSS-EXAMINATION

16 BY MR. CARR:

17 Q. Ms. Wilson, have you been the engineer involved
18 in the decisions to develop the four wells that Oryx has
19 drilled from in this particular pool?

20 A. Yes, I have.

21 Q. And when did you actually start making your
22 study that you've been presenting here today on this
23 particular reservoir and the impact of GORs?

24 A. I started studying the reservoir and we've been
25 watching GORs in the field since the day the first well was

1 drilled.

2 Q. And then in preparing this, you said you got
3 certain publicly available information and the information
4 that Oryx had in its own files?

5 A. Yes. Yes.

6 Q. Now, your work is obviously based on some
7 geologic interpretation; is that correct?

8 A. Portions of the work are based on a geologic
9 interpretation.

10 Q. And will Oryx be calling a geologist to explain
11 his interpretation?

12 A. Yes, we will.

13 Q. If we look at the presentations that you've
14 made, you're concerned, if I understand it, about a 10,000
15 GOR well, as an example, offset by a 1000 GOR well?

16 A. Yes.

17 Q. And that the 10,000 GOR well is using a
18 disproportionate amount of the energy?

19 A. Yes, that's correct.

20 Q. Is it fair to say that as you see this, there is
21 pressure communication across the reservoir?

22 A. Yes.

23 Q. And your viewing this as being a reservoir that
24 isn't segregated into a number of isolated stringers. Your
25 study -- and I'm having to go with this with you because

1 the geology hasn't been presented yet, but you're looking
2 at a different kind of a reservoir than what Mr. Burks
3 talked about?

4 A. We tracked all of the wells in the reservoir,
5 and whether or not the sand lenses are communicated before
6 fracturing, they are certainly communicated after
7 fracturing. So all the sand lenses are in pressure
8 communication.

9 Q. And in your part of the reservoir that would be
10 true?

11 A. Yes.

12 Q. Is that done by everyone in the reservoir?

13 A. I'm not sure of the completion practice by
14 everyone.

15 Q. If I understand your concern, your concern is
16 based on these variances in GORs that occur across the
17 reservoir; is that right?

18 A. The fact that the high GOR wells are producing
19 high amount of gas energy.

20 Q. Do you have an explanation for why you have this
21 great variance in gas-oil ratios well by well?

22 A. I think it's a combination of three factors.
23 One factor is the formation of secondary gas caps.

24 Another factor is the permeability within the
25 reservoir. There may be areas that have lower

1 permeability. Therefore those wells will produce at higher
2 GORs.

3 And the third factor is depletion -- whether or
4 not this well was connected to another earlier well by a
5 high permeability stringer so that its location was
6 depleted, whereas another well may not have been as closely
7 connected. I believe they are all in pressure
8 communication, but there is a variance of time here that
9 we're talking about for the different locations to be
10 depleted.

11 Q. Some of the wells have come in with very high
12 gas-oil ratios initially, correct?

13 A. Yes.

14 Q. And when that occurs, have you tried to refine
15 your study to determine whether or not that is because
16 there's been production in that area that would result in
17 formation of secondary gas cap or not?

18 A. I've looked at that, yes.

19 Q. In this instance, that would be your opinion,
20 that that is what is one of the factors causing this?

21 A. It is one, yes.

22 Q. And do you rule out separate stringers that
23 could be producing higher volumes of gas into the
24 reservoir, whether they are fractured or just individually
25 opening into the well bore?

1 A. I don't believe that individually there were
2 separate stringers that had gas in them. I believe
3 originally all these were oil stringers.

4 Q. Do you believe there were a number of stringers
5 in the reservoir?

6 A. I believe there are several families. The
7 geologist can show you the sand lenses, and I believe in
8 some areas they are communicated and in other areas they
9 aren't. But in --

10 Q. Sorry. I didn't hear you.

11 In other areas, did you say, they were not
12 communicated?

13 A. I believe in some areas that they were. You
14 know, maybe 40 acres away they weren't. But, again, they
15 are in pressure communication. If they are not in
16 communication at one layer -- here they are separated, but
17 you move over here and all of a sudden they are together.
18 So they are in pressure communication.

19 Q. Somewhere in the reservoir?

20 A. Somewhere in the reservoir.

21 Q. And you assume that across wide areas in the
22 reservoir there would be this pressure communication?

23 A. Yes. I believe the pressure data shows -- you
24 know, you can see wells three locations away when they were
25 drilled with lower pressure. There is pressure

1 communication across the reservoir.

2 Q. And stringer to stringer, even in areas where
3 they may not be in close proximity to a well bore or a
4 fractured area that's been fractured by an oil company in
5 developing the property to put them in communication?

6 A. Yes.

7 Q. When you developed a reservoir simulator, then,
8 in your opinion, you didn't have to consider whether or not
9 there were separate stringers; you treated it all just like
10 one, homogeneous reservoir?

11 A. I treated it like a homogeneous reservoir.

12 Q. And we could argue with you on whether or not
13 you -- where you got a 7 percent factor for this and what
14 was interpretation and all of that, but basically when we
15 look at your reservoir simulation, you've got a number of
16 input factors that are reasonable for a reservoir of this
17 type that is a homogeneous product?

18 A. Yes.

19 Q. And if it is not, you don't have a simulator
20 that would without better input data than you have here be
21 able to evaluate this reservoir; isn't that fair to say?

22 A. It's fair to say that to truly totally evaluate
23 the reservoir you would need a full-field simulator that
24 history matched each individual well, and the histories on
25 these wells are so short that that would be impossible at

1 this time.

2 Q. In the particular wells that you operate in this
3 reservoir, in the Oryx wells, have you seen any change in
4 the gas production in the volumes produced over the four
5 months that some of them have been on?

6 A. Any change in the volumes?

7 Q. I'm sorry. I'm sorry. I mean, did you see any
8 change in the gas-oil ratio?

9 A. Gas-oil ratios -- if -- I don't look at well
10 tests. If I look at the monthly average, yes, gas-oil
11 ratios are climbing. They initially IP at about 1000 GOR
12 and then they climb to 23,000 or to 17,000.

13 Q. What data are you using to make those
14 calculations that the gas-oil ratio is climbing in your
15 wells? Do you have actual production information on the
16 gas --

17 A. They take well test data. They allocate the
18 measurement of the least production and they allocate based
19 on what they stated back to the individual wells.

20 Q. You don't have actual production data on the gas
21 on these wells, do you?

22 A. Actual --

23 Q. The wells you operate.

24 A. -- daily production gas from individual wells, I
25 don't have that data with me.

1 Q. Do you have that data somewhere?

2 A. We may.

3 Q. Have you been actually selling the gas from
4 these wells?

5 A. Yes.

6 Q. Do you know what they are producing?

7 A. Yeah.

8 Q. You haven't been flaring this gas?

9 A. There was a period for about two weeks where our
10 compressor was down where we flared the gas for about two
11 weeks, and we're selling gas again.

12 Q. But you actually made gas sales during that
13 period of time?

14 A. Yes.

15 Q. And if we looked at the C-115s, we could find
16 those volumes, I suspect?

17 A. I would assume operation department filed it
18 correctly.

19 Q. All right. But you are seeing an increase in
20 the gas-oil ratio, that was the point, and not the rest of
21 it?

22 A. Yes. Yes. Yes, gas-oil ratio is climbing.

23 MR. CARR: I think that's all I have.

24 EXAMINER CATANACH: Just one question, Ms. Wilson.

25 * * * * *

EXAMINATION

BY MR. CATANACH:

Q. On a temporary basis, say, for about a year or 12-month period of having a 5000 GOR in place, what would the effect be for just a temporary?

A. I think a year is enough to cause the problem in a reservoir. I think a year is too long.

You're going to -- your pressure -- if you look at your pressure curve, your pressure is just falling like a rock, and if you do it for a year, you've damaged your reservoir now.

I would rather wait two or three years down the road and then put in a higher GOR allowable. At that point, after we've already produced the majority of our oil -- once we've produced the majority of our oil out of the reservoir, then you don't hurt your oil production to the degree that we will right now. We're right in the critical stage.

EXAMINER CATANACH: Nothing further. Witness may be excused.

MR. KELLAHIN: I call Mr. Bob Sidlowe at this time.

Mr. Examiner, I think everybody's package of exhibits may have an ownership plat in there. Mr. Burks had one, too, as well, I think.

MS. WILSON: It's Exhibit 13.

1 MR. KELLAHIN: I don't know how it's marked. There is
2 a display in there. It's the last one on the left there,
3 Mr. Examiner. I'm not going to refer to it. It's there as
4 a point of information. You can see who operates what
5 properties.

6 My next exhibit number, I believe, is No. 9,
7 which is a structure map on the Bone Springs. If yours is
8 not numbered 9, it needs to be corrected to show No. 9.

9 THE WITNESS: Top of Bone Springs.

10 MR. KELLAHIN: Top of Bone Springs. The net pay map
11 is No. 12.

12 THE WITNESS: Right. The two cross sections are 10
13 and 11.

14 MR. KELLAHIN: So this net pay map which you have as
15 No. 11 should be marked as 12.

16 EXAMINER CATANACH: Okay.

17 MR. KELLAHIN: We're going to have two cross sections.

18 'The B-B' cross section is Exhibit No. 10, and the A-A' is
19 Exhibit No. 11. Okay?

20 THE WITNESS: Right.

21 EXAMINER CATANACH: All set.

22 ROBERT SIDLOWE,
23 the Witness herein, having been first duly sworn, was
24 examined and testified as follows:

25 * * * * *

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Sidlowe, on prior occasions have you testified as a petroleum geologist before the division?

A. Yes, I have.

Q. Among your duties was the responsibility for continuing your studies on the Bone Springs reservoir and to map its geology?

A. The Delaware sands spread.

Q. I'm sorry.

A. Yes, I have.

Q. Wherever it is.

As part of that responsibility, have you reduced your interpretations to display, geologic displays of the information?

A. Yes.

Q. And you have prepared a structure map and an isopach map?

A. And two cross sections that will basically show what's going on in the field, I believe, geologically.

Q. I know there's lots of wonderful geologic things that you can tell us. I want to focus your attention on the question of the gas-oil ratio.

Do you have some geologic conclusions and opinions that help provide a geologic explanation to some

1 of the production characteristics we're seeing in the
2 field?

3 A. Yes, I do. I feel the Brushy Canyon sands in
4 this field are continuous. They can be followed from lease
5 to lease, from north to south, east to west.

6 Q. All right. Let's --

7 A. And I can show those in the later -- on the
8 cross sections as we -- as we go on. And we also may have
9 some possible explanations to some of the permeability
10 problems we've been looking at and talking about here as
11 far as GORs go.

12 MR. KELLAHIN: At this time, I'd tender Mr. Sidlowe as
13 an expert petroleum geologist.

14 EXAMINER CATANACH: He is so qualified.

15 Q. (By Mr. Kellahin) Let's take a look at the
16 structure first.

17 A. I have a structure map here on top of the Bone
18 Spring formation which is the base of the Brushy Canyon
19 formation, which is the pay zone. I also have two cross
20 section lines depicted: A-A', basically a dip section,
21 real similar to what was previously shown.

22 Q. Let's take a moment and make sure that you don't
23 have a disagreement with Mr. Burks' Exhibit No. 3 which
24 shows his structure on the top of the C zone.

25 A. Okay. Again, these are mapped on two slightly

1 different horizons.

2 Q. I understand that, and that's why I want you to
3 take a minute and explain to the examiner what the
4 differences are.

5 A. Okay. The map that Mr. Burks presented
6 previously is a map on the top of the actual sand, and the
7 interval from the top of the sand to the top of the Bone
8 Spring thickens to the east and also to the south. So
9 you're going to see a slight -- slight differences in that
10 respect.

11 And also the contour intervals are different
12 between the two maps. Mine is on a 25-foot contour
13 interval, and the one previously shown is on a 10-foot
14 contour interval.

15 But basically the overall picture is basically
16 the same.

17 Q. Why have you chosen to map on top of the Bone
18 Springs for your structure?

19 A. It's a nice, easy correlateable point. Also,
20 the top of the sand is also fairly easily correlateable
21 across the field, but the Bone Springs is a nice, good,
22 clean lime and it's easy to find and good to map, good to
23 map on.

24 Q. Before we finish the conclusions about the
25 structure, let me have you introduce the isopach map that's

1 Exhibit No. 12. Identify and describe that one to us.

2 A. Okay. This is -- this is an isopach map across
3 the field area based on total net porosity of greater than
4 equal to 14 percent on a neutron density cross button.

5 I'm showing a different geological model here
6 than that what was previously expressed by Mr. Burks, and
7 there's various thicks and thins training in a northeast to
8 southwest direction, but I do agree with his source
9 direction, which was the northwest, and I can get into this
10 in more detail if we need to.

11 But the various trending, northeast-southeast
12 trend thins and thicks, that you see here are reflective of
13 the decreased porosity in the upper sand, which I'll show
14 you in a cross section, and the discontinuous nature of the
15 bottom sand that I'll show you in a cross section.

16 Q. So that we have a complete sense of your
17 exhibits, let's go to the B-B' cross section.

18 A. I'd like to bring up both of these at once if I
19 could. It might make things a little easier.

20 Q. All right, sir. Let's do that.

21 A. The colors ought to brighten up your eyes after
22 a full day.

23 Q. Start with the B-B' cross section.

24 A. Okay. This is basically a strike section
25 north-south through the field. The very northernmost well

1 is to the left, known as B, and the southernmost well is
2 B'. The cross section extends through what I feel is the
3 known field boundaries to this point, although field
4 boundaries have yet to be fully determined.

5 But as you look overall on the general nature of
6 the cross section and the top of the Brushy Canyon pay, the
7 sand section does thicken to the south.

8 I've also divided the general pay section into
9 four distinct sand members which I think are easily
10 identifiable based on shale breaks, which are good time
11 layers, time markers, good to use geologically to break up
12 individual depositional events.

13 You could see from the uppermost sand -- this is
14 the sand that ranges anywhere from 30 to 60-foot gross
15 thicknesses -- is continuous across the field. And the
16 next thickest sand member that I have mapped, colored here
17 as blue, is also continuous across the field, and it's
18 easily correlateable.

19 Q. When we look at the A-A' cross section --

20 A. Okay. The A-A' cross section is basically a dip
21 section. It runs from the Pogo Nel Fed Comm No. 1, which
22 is an Atoka completion, far to the west and up it. And A'
23 is Amoco Teledyne Gas Comm No. 1, also Atoka completion, so
24 again I've covered the full field boundaries, at least as
25 ~~known to this date.~~

1 The same four exact sand members are
2 identifiable east, west, north and south. And you can also
3 see the various thickening of the sands and the sands --
4 all the sands from from west to east. And, again, the main
5 portion of the sand -- this is the green member, and again
6 you can follow it all the way across.

7 You also note that the gross perforated sections
8 are marked on the logs, and that for the most part
9 everybody in the field is producing from the same sand
10 members.

11 There's something I want to bring out here while
12 I can, and I think it's relevant to the case. If you look
13 at the B to B' cross section, the well far to the right,
14 the RB operated Brantley Gas Comm No. 1, this was a
15 discovery well for the field. Okay?

16 There's a very obvious thickening in the lower
17 yellow sand, the very first deposit that's on top of the
18 Bone Spring, which is what the Brantley Gas Comm was
19 perforated in. On a north-to-south cross section, this to
20 me indicates -- I've seen obvious pinch-out east and west
21 from that well bore, and that to me indicates a more
22 east-west nature of the trends of these sand boxes. And if
23 you have a south to the northwest, I think we're looking at
24 more of offshore-type bar deposits that are overlapping
25 each other. And as the younger they get, the thicker they

1 get, and the more widespread they get.

2 Q. Let me ask you to make a direct comparison
3 geologically on Exhibit No. 11 -- it's the A-A' cross
4 section -- with the Oryx Energy Pardue Farms No. 1 and the
5 Bird Creek Teledyne No. 2 well. Do you see those?

6 A. Yes, sir. Well --

7 Q. In terms of sand continuity between the two
8 wells, what's your correlation?

9 A. Again, the sand continuity is there. I see a
10 decreased porosity in the Bird Creek Teledyne No. 2,
11 especially in the main body of that upper sand. We're
12 averaging 16 percent in ours versus 10 to 11 percent in the
13 Teledyne well.

14 Q. If Bird Creek has a gas-oil ratio of 5900 or
15 more to one and the Oryx well is down around 2000 to one --

16 A. I sure would hate to -- I think they would have
17 a direct influence on our production.

18 Q. Ms. Wilson says she believes they are in
19 pressure communication geologically. Can you support that
20 conclusion?

21 A. I can support that, yes.

22 Q. Mr. Burks says -- he was explaining the gas in
23 the reservoir as being in the small gas lenses, that they
24 were both horizontally and laterally discontinuous. Do you
25 see that?

1 A. No, I don't. For one thing --

2 Q. Did you identify gas zones in here?

3 A. No, I can't.

4 Q. Why not?

5 A. For one thing, none of the logs show us gas
6 zones. On a neutron density log you are expected in a good
7 clean sand to see anywhere from six to nine porosity units
8 of cross-over. In a dirtier sand, a less permeable sand,
9 you won't see as good a cross-over as you would in the very
10 clean sand.

11 I don't see any zones here on a neutron density
12 cross plot that indicate the gas zones.

13 Q. Would you as a geologist base increasing the
14 gas-oil ratio in the field on this notion that they are
15 separate gas stringers --

16 A. No.

17 Q. -- in the Delaware?

18 A. No. No, I wouldn't, especially based on a MSFL
19 log alone.

20 Q. In summary, then, Mr. Sidlowe, what are your
21 geologic conclusions with regard to the gas-oil ratio
22 application of Bird Creek?

23 A. I feel that the sands are continuous across this
24 reservoir. I feel a higher gas allowable will be using up
25 too much energy. I think the obvious -- obvious thing here

1 from these cross sections shows that all said operator
2 actions will directly affect our property.

3 And I also believe that the field is too young.

4 The full boundaries have not been adequately established
5 yet to be changing field rules at this time.

6 Q. Within the reservoir, geologically, do you see
7 the opportunity for gas to migrate vertically to form a
8 secondary gas cap either in the entire Delaware reservoir
9 or within any of these sand components of the Delaware?

10 A. Sure, I do. What was previously talked about as
11 far as, you know, half-foot thin, less permeable beds that
12 are not mappable I cannot believe are seals across a
13 reservoir. The wells are also frac'ed.

14 But, as I said previously, I think these things
15 are overlapping offshore bars, and they also could be in
16 communication vertically between well bores.

17 MR. KELLAHIN: That concludes my examination of
18 Mr. Sidlowe. We move the introduction of his Exhibits 9
19 through 12.

20 EXAMINER CATANACH: Exhibits 9 through 12 will be
21 admitted as evidence.

22 (Whereupon Exhibits 9 through 12 were admitted into
23 evidence.)

24 Mr. Carr.

25

* * * * *

CROSS-EXAMINATION

BY MR. CARR:

Q. Mr. Sidlowe, if I understand your testimony, what your cross sections show, for example, the area shaded in green is a sand member that you can correlate across the reservoir?

A. Right.

Q. Is that what that is designed to show?

A. Right.

Q. You really can correlate this not because you can correlate the sand, but you can correlate the shale; isn't that right? That shows you where the sand would be?

A. That's correct.

Q. Now, if we go and just for an example look at on A-A', the Oryx Energy Pardue Farms No. 1 -- if we look at your porosity curve -- and I think that's the curve on the right --

A. Right.

Q. -- and you come down into the green-shaded area, as it pulls to the left, there are areas that appear to be shaded dark. Do you see what I'm talking about in the green band?

A. Yes, sir.

Q. Are those areas of higher porosity?

A. Yes, sir.

1 Q. And would those be the areas where you would
2 expect to have your producing sands?

3 A. Yes, sir.

4 Q. And if you go, then, to, say --

5 A. Although, actually, that is one sand, I think
6 you've got some variation within that sand, of course. But
7 it's one depositional event.

8 Q. And those darker areas would be the higher
9 porosity zone?

10 A. The higher porosity intervals, sure.

11 Q. And if we move over to the Bird Creek Teledyne
12 No. 2 and we look at that porosity curve, we don't see the
13 corresponding higher porosity areas that have been shaded
14 dark; is that right?

15 A. Right. You do see it, but it's just not as high
16 a porosity, not the quality.

17 Q. And some of these porosity zones may not
18 correlate well by well, but the sand member does? Is that
19 what you're saying?

20 A. Right.

21 I think the shale markers indicate one
22 depositional event, and especially if you're talking
23 about -- even if you use the previous geologist's opinion
24 of what the depositional model was, that is one
25 depositional event.

1 MR. CARR: That's all I have.

2 MR. KELLAHIN: A follow-up question, Mr. Examiner.

3 RE-DIRECT EXAMINATION

4 BY MR. KELLAHIN:

5 Q. Do you see a geologic pattern in terms of the
6 reservoir thickening or thinning or reservoir quality to
7 explain the high gas-oil ratio wells?

8 A. I think there is a possibility of looking at the
9 logs here and the overall thinning and thickening of the
10 general sand bodies from north, south, east and west.
11 We're looking at a stratigraphic trap overall with some
12 structural influence, of course.

13 But yeah, I think if you look at the isopach and
14 refer to Exhibit 12 again, generally the higher GOR wells
15 are mapped within a zone that has either one or two of the
16 sand bodies missing and also decreased porosity in the main
17 body of the sand, which is colored in green. This may
18 be -- indicate decreased permeability and higher
19 permeability to gas.

20 I don't have all the answers, but I think if the
21 sands pinch out to the north and pinch out to the west,
22 they can also individually fluctuate in permeability within
23 the sand members. And that's what I think we're looking at
24 here as far as GORs is concerned.

25 Q. Geologically, do you see how to accommodate Bird

1 Creek's desire to increase the gas-oil ratio without having
2 a corresponding adverse effect on the other wells?

3 A. No, I don't.

4 MR. KELLAHIN: No further questions.

5 EXAMINER CATANACH: Are there any other questions of
6 this witness?

7 He may be excused.

8 MR. KELLAHIN: Let me see if I have one more question.

9 (Discussion off the record.)

10 MR. KELLAHIN: Mr. Examiner, I'd like to call Mr. Mike
11 Reeves for a few brief comments.

12 JAMES MICHAEL REEVES,
13 the Witness herein, having been first duly sworn, was
14 examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. KELLAHIN:

17 Q. Mr. Reeves, would you please state your name and
18 occupation?

19 A. James Michael Reeves, district operations
20 manager for Parker and Parsley Petroleum Company.

21 Q. Where do you reside, sir?

22 A. Midland, Texas.

23 Q. And what is your professional background? Do
24 you hold a degree?

25 A. I hold a degree in petroleum engineering from

1 Texas A&M University.

2 Q. You need to speak up a little bit so we can hear
3 you. You speak too softly.

4 A. All right.

5 Q. What year, Mike, did you get your degree?

6 A. 1980.

7 Q. And what is your current function with Parker
8 and Parsley?

9 A. I'm manager.

10 Q. What wells does Parker and Parsley currently
11 operate in the pool?

12 A. They currently operate the -- most of the
13 southern operated wells with the higher GORs, the Pardue
14 Farms, specifically the Pardue Farms 26 No. 3, the
15 27 No. 4, 27 No. 6 and the 27 No. 7.

16 Q. When we look at Ms. Wilson's display,
17 Exhibit No. 1, down in Section 27, some of those big purple
18 bubbles, those are you?

19 A. Yeah, the purple bubbles and the yellow one in
20 Section 26.

21 Q. All right, sir. Well, if the gas-oil ratio is
22 to be increased in the reservoir, you might be a
23 beneficiary of that, wouldn't you?

24 A. I wanted to comment on the reason that I feel
25 that our GORs are higher in our -- those wells, and that is

1 that each one of those wells has been completed in the Bone
2 Springs, and the major production from the Bone Springs
3 from those wells, while recompleting in the Brushy Canyon,
4 was gas.

5 The top of the Bone Spring production or
6 topmost perforations in the Bone Springs completions were
7 ten to 15 feet from the bottom perforation in the Brushy
8 Canyon. There's a good possibility that there is some type
9 of communication between the Brushy Canyon and the Bone
10 Springs gas production; therefore, a rise in the GOR.

11 I think if you look back on the Bone Springs
12 production, you'll find the GORs have not changed between
13 the Bone Springs production and the subsequent Brushy
14 Canyon production.

15 Q. What's your company's position concerning
16 increasing the gas-oil ratio for the Delaware pool?

17 A. I really have no position on it right now. I
18 just came to try to be aware of the facts and contribute
19 anything that could possibly help anybody in --

20 Q. But your concern is that we need to be very
21 skeptical of relying upon your wells in the southern part
22 of the pool as indicative of --

23 A. A high GOR.

24 Q. -- high GORs because you may have in fact been
25 comingled with the Bone Springs?

1 A. That's correct. And as a matter of fact, the
2 27 4 is down-hole comingled with the Bone Springs.

3 MR. KELLAHIN: That concludes my examination of
4 Mr. Reeves. I have no further questions.

5 EXAMINER CATANACH: Any cross, Mr. Carr?

6 MR. CARR: No, no questions.

7 EXAMINER CATANACH: I have no questions. The witness
8 may be excused.

9 MR. KELLAHIN: That concludes my presentation,
10 Mr. Examiner.

11 EXAMINER CATANACH: Would you like to make closing
12 statements, brief closing statements, gentlemen?

13 MR. BRUCE: Sure, and the last shall be first.

14 EXAMINER CATANACH: Do you want to go first,
15 Mr. Bruce?

16 MR. BRUCE: Yes.

17 If I could, I attached a letter from Pogo
18 Producing Company to my prehearing statement, and I would
19 just like to submit that, and that states Pogo's position.

20 As to R.C. Bennett and R.C. Bennett Company,
21 they are opposed to the increase in GOR. I think it's been
22 shown that they could be adversely affected by the increase
23 in GOR due to the production from the offsetting Bird Creek
24 wells. We are afraid that if the reservoir -- if the GOR
25 is increased, the reservoir pressure and reservoir energy

1 may be depleted to the harm of all parties.

2 As to R.C. Operating Company and Ramco, they are
3 not especially in favor of the rules, and I'll leave it at
4 that. I think if any rules are instituted, they really
5 should be short, to the order of three to six months, like
6 was done in the Stevens Operating case on the -- I forget
7 which pool it was. But they are afraid of adversely
8 affecting the reservoir by allowing a too long test period.

9 Thank you.

10 EXAMINER CATANACH: Okay. Mr. Pearce.

11 MR. PEARCE: Mr. Examiner, Flare Oil is one of the
12 little guys in the vicinity of this pool. We're not even
13 in the pool. We've gathered evidence in the record today
14 that ultimate oil recovery may be threatened, and that the
15 full extent of the pool may not yet be known.

16 Flare Oil is very concerned that waste will
17 occur on its tract if this GOR is raised. We are persuaded
18 by Ms. Wilson's study and Mr. Sidlowe's geology, and we are
19 going to request that the application be denied.

20 EXAMINER CATANACH: Thank you. Mr. Kellahin.

21 MR. KELLAHIN: I don't think there is any question,
22 reservation or concern you should have about denying this
23 application in the outright, Mr. Examiner. This is one you
24 can't tinker with. It's too early in the life of the
25 ~~reservoir to start fussing with the gas oil ratio.~~

1 I think Ms. Wilson spoke eloquently to her
2 concerns about, even on a temporary nature, increasing the
3 gas-oil ratio is going to have a direct detrimental effect
4 on ultimate recovery. She mapped for you very carefully
5 the fact that at 2000 to one we are not appropriately
6 utilizing the gas reservoir energy in the reservoir and
7 would be better at 1000 to one. But we're stuck with the
8 statewide rule and we ought to leave it alone until later
9 in the life the reservoir when a substantial majority of
10 the wells in the pool are up against the gas-oil ratio
11 limitation.

12 The fact that Bird Creek has got wells that are
13 bumping up against the gas limitation does not have a
14 detrimental effect on them because -- Mr. Burks said in
15 response to Mr. Bruce's question, he said, "It will simply
16 take us a little longer to get our share of the oil." He's
17 not going to lose oil reserves if you increase the gas-oil
18 ratio. You'd better leave it alone. If we increase it,
19 we're going to risk and jeopardize the gas recovery in the
20 reservoir.

21 There is simply no question that these well
22 bores from well to well are in communication with each
23 other. The only basis for justification is this
24 hypothecated, convoluted notion that you can both
25 vertically and horizontally separate out this reservoir

1 into these neat little gas lenses. I'll defy you to take
2 those little teeny gas stringers and put back in the
3 humongous amount of gas that's getting produced out of this
4 reservoir. It ain't coming from that place, and you don't
5 need to be an engineer to figure that out.

6 What they are doing is pulling the reservoir too
7 hard. We're forming a secondary gas cap. It's something
8 we ought not to do. In order to protect waste and protect
9 the correlative rights of all parties, we need to keep it
10 right where it is, and it's absolutely premature and to be
11 in here and solve this problem.

12 I'm concerned that the operators in the pool,
13 certain of them, continue to produce in excess for some
14 period of time the 2000 to one ceiling. We've got
15 Mr. Burks telling us they are cutting back on their wells
16 to get back in compliance with the current rules. His very
17 own exhibit demonstrates the opposite result that he
18 intended. The two key wells in this reservoir are in a
19 high structural position, the Teledyne No. 2 -- you saw it
20 on the display. It just jumps right out at you.

21 He wants to tell you it's not there, but the
22 structural relationship is significant. The offsetting
23 parties to that Teledyne No. 2 well are going to be
24 adversely affected if you increase the gas-oil ratio. It's
25 going to be a temporary fix to them and a permanent loss to

1 us. We request that you deny the application.

2 MR. CARR: May it please the examiner, Bird Creek is
3 before you seeking an increase in the gas-oil ratio in the
4 East Loving-Delaware Pool. We're asking for an increase
5 similar to what Yates received in the Avalon-Delaware Pool
6 a month or two ago and was approved by division order
7 R-6368-B.

8 In that case they got 5000 to one, and they came
9 in and they showed you that there were separate gas
10 stringers that were causing the high gas-oil ratio. We
11 submit to you that today we have come before you and we
12 have met our burden of proof. We have shown you there is
13 no reservoir damage, that waste is not going to be caused
14 and the correlative rights will not be impaired. But Oryx
15 is opposes it.

16 And Oryx comes in here, and while Mr. Kellahin
17 stands there and talks about hypothetical reservoir
18 interpretation, I submit to you that the way Oryx has
19 decided to fight this is to create a reservoir for purposes
20 of modeling and developing their testimony which does not
21 match the evidence that we have on this reservoir.

22 And when you look at the characteristics of
23 this particular pool, you will see that the modeling
24 doesn't match, that what we show about increased rates and
25 higher gas-oil ratios that Ms. Wilson presents is very

1 interesting from an academic point of view, but what she
2 has given you is a homogeneous reservoir, treated it as
3 such, modeled as such and given you a nice little textbook
4 case. The problem is, it doesn't match the geology of the
5 East Loving-Delaware Pool.

6 Look at their exhibit. Mr. Sidlowe comes in and
7 he says, "Yes, I can correlate the shales, but I leave a
8 big sand body. I can look at the porosity curve on the log
9 on the Oryx Energy Pardue Farms No. 1, and I can see where
10 the gas stringers are. They are the areas shaded dark
11 where the porosity is higher."

12 Yes, he can correlate the body, but you can look
13 at this and you can see you cannot correlate the porosity
14 zones, the gas stringers within the overall sand bodies,
15 and they don't correlate well to well. We've never argued
16 that or asserted that these zones were communicated because
17 of drilling activity. The question is: Where is the gas
18 coming from? And we submit to you that when you take a
19 look at their geology and compare it to ours, you will see
20 that what we presented with logs that have substantially
21 higher resolution than theirs, that what we have are a
22 number of stringers and we have those stringers separated
23 by shale zones, dolomitic intervals that will not permit
24 vertical migration unless Ms. Wilson does it by fracturing
25 when they complete the well.

1 We have come forward and we have shown you there
2 will not be reservoir damage. Our rate sensitivity
3 information shows that.

4 Now, Oryx may wonder, did we have a stable GOR
5 before we ran the test? The problem is, they had a chance
6 to ask and they didn't, and the record before you shows
7 that we have rate sensitivity tests that show you can
8 increase this -- the production rate and not damage the
9 reservoir. We have presented the geology which matches
10 what is actually happening in the reservoir. We've given
11 you oil fluid analyses to show that the oil in this
12 reservoir, when you break it out and analyze it, can't
13 produce the amount of gas that is coming out of these
14 wells.

15 And when you put all of this together, it is
16 clear that Bird Creek has met its burden and that the only
17 thing you can do on this record is grant the application
18 for an increased gas-oil ratio and do just what this
19 division did for Yates in the Avalon-Delaware Pool.

20 EXAMINER CATANACH: Is there anything further in this
21 case?

22 If not, Case 10226 will be taken under
23 advisement, and this hearing is adjourned.

24 (The foregoing hearing was concluded at the
25 approximate hour of 5:45 p.m.)

1
2 STATE OF NEW MEXICO)
3) ss.
4 COUNTY OF SANTA FE)

5 REPORTER'S CERTIFICATE

6
7
8 I, PAULA WEGEFORTH, a Certified Court Reporter and
9 Notary Public, DO HEREBY CERTIFY that I stenographically
10 reported these proceedings before the Oil Conservation
11 Division; and that the foregoing is a true, complete and
12 accurate transcript of the proceedings of said hearing as
13 appears from my stenographic notes so taken and transcribed
14 under my personal supervision.

15 I FURTHER CERTIFY that I am not related to nor
16 employed by any of the parties hereto, and have no interest
17 in the outcome hereof.

18 DATED at Santa Fe, New Mexico, this 20th day of March,
19 1991.

20
21
22 My Commission Expires:
23 September 27, 1993

24 *Paula Wegeforth*
25 PAULA WEGEFORTH
Certified Court Reporter
CSR No. 264, Notary Public

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 1026
heard by me on February 21, 1991

David R. Charnick, Examiner
Oil Conservation Division