

STATE OF NEW MEXICO  
OIL CONSERVATION COMMISSION

IN THE MATTER OF: )  
THE HEARING CALLED BY THE )  
OIL CONSERVATION COMMISSION )  
TO CONSIDER: )  
APPLICATION OF BIRD CREEK RESOURCES FOR ) CASE NO. 10226  
SPECIAL POOL RULES, EDDY COUNTY, NEW )  
MEXICO. )  
----- )

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSION HEARING

BEFORE: WILLIAM J. LeMAY, Chairman  
WILLIAM WEISS, Commissioner  
JAMI BAILEY, Commissioner

June 12, 1991  
9:07 a.m.  
Santa Fe, New Mexico

This matter came on for hearing before the Oil  
Conservation Commission on June 12, 1991, at 9:07 a.m. at  
Morgan Hall, State Land Office Building, 310 Old Santa Fe  
Trail, Santa Fe, New Mexico, before Susan G. Ptacek, a  
Certified Court Reporter No. 124, State of New Mexico.

FOR: OIL CONSERVATION      BY: SUSAN G. PTACEK  
DIVISION                      Certified Court Reporter  
CCR No. 124

## I N D E X

June 12, 1991  
Commissioner Hearing  
Case No. 10226

APPEARANCES

PAGE

2

REPORTER'S CERTIFICATE

4

\* \* \*

## A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL, ESQ.  
General Counsel  
Oil Conservation Division  
State Land Office Building  
Santa Fe, New Mexico 87504

\* \* \*

1 COMMISSIONER LEMAY: Case 10226.

2 MR. STOVALL: Application of Bird Creek Resources for  
3 special pool rules, Eddy County, New Mexico. Applicant  
4 requests that this case be continued to the August 29  
5 commission hearing.

6 COMMISSIONER LEMAY: Without objection case 10226 will  
7 be continued to August 29 commission hearing.

8 (Whereupon, the hearing was concluded at the  
9 approximate hour of 9:08 a.m.)

10 \* \* \*

1 STATE OF NEW MEXICO )  
2 ) ss.  
3 COUNTY OF SANTA FE )


4  
5 REPORTER'S CERTIFICATE

6 I, Susan G. Ptacek, a Certified Court Reporter and  
7 Notary Public, do HEREBY CERTIFY that I stenographically  
8 reported the proceedings before the Oil Conservation  
9 Division, and that the foregoing is a true, complete and  
10 accurate transcript of the proceedings of said hearing as  
11 appears from my stenographic notes so taken and transcribed  
12 under my personal supervision.

13 I FURTHER CERTIFY that I am not related to nor  
14 employed by any of the parties hereto, and have no interest  
15 in the outcome thereof.

16 DATED at Santa Fe, New Mexico, this 19th day of July,  
17 1991.

18 My Commission Expires:  
19 December 10, 1993

20   
21 SUSAN G. PTACEK  
22 Certified Court Reporter  
23 Notary Public  
24  
25

STATE OF NEW MEXICO

COUNTY OF SANTA FE

OIL CONSERVATION DIVISION

EXAMINER HEARING

Cases: 10226

-----

AUGUST 29, 1991

BE IT REMEMBERED, that on the 29th day of  
August, 1991, the following cases came on for hearing.  
This hearing was taken at the Oil Conservation  
Division conference room, State Land Office Building,  
Santa Fe, New Mexico commencing at 1:34 p.m.

HUNNICUTT REPORTING

## A P P E A R A N C E S

## OIL CONSERVATION COMMISSION:

WILLIAM J. LEMAY, Chairman  
WILLIAM WEISS, Commissioner  
GARY CARLSON, Commissioner Designee

## ORYX ENERGY COMPANY:

KELLAHIN, KELLAHIN & AUBREY  
Attorneys at Law  
P.O. Box 2265  
Santa Fe, NM 87504  
BY: W. THOMAS KELLAHIN

## BIRD CREEK RESOURCES:

CAMPBELL, CARR, BERGE AND SHERIDAN, P.A.  
Attorneys at Law  
P.O. Box 2208  
Santa Fe, NM 87504-2208  
BY: WILLIAM F. CARR

## R.B. OPERATING COMPANY, RAMCO-MYL, 1987 LIMITED

## PARTNERSHIP, R.C. BENNETT:

HINKLE, COX, EATON, COFFIELD and HENSLEY  
Attorneys at Law  
P.O. Box 2068  
Santa Fe, NM 87504

## POGO PRODUCING COMPANY:

WILLIAM T. FOSHAG, P.E.  
Senior Reservoir Engineer  
P.O. Box 2504  
Houston, TX 77252-2504

## I N D E X

	Page
1. Appearances	2
2. The Witnesses:	
BRAD BURKS	11
CHARLES R. VANORSDALE	57
BONNIE WILSON	91
GREGG JACOBSON	136
ROBERT SIDLOWE	149
3. Reporter's Certificate	165

1           CHAIRMAN LEMAY: Case number 10226. The  
2 application of Bird Creek Resources for special pool  
3 rules, Eddy County, New Mexico. The appearances in  
4 case 10226?

5           MR. CARR: May I please the Commission, my  
6 name is William F. Carr of the Law firm of Campbell,  
7 Carr, Berge and Sheridan of Santa Fe. I represent  
8 Bird Creek Resources and I have two witnesses.

9           CHAIRMAN LEMAY: Thank you Mr. Carr.

10          MR. KELLAHIN: Mr. Chairman, I'm Tom  
11 Kellahin of the Santa Fe law firm of Kellahin,  
12 Kellahin and Aubrey appearing on behalf of Oryx Energy  
13 Company. We are in opposition to the applicant. I  
14 have three witnesses to be sworn.

15          CHAIRMAN LEMAY: Will the witnesses please  
16 stand and raise your right hand. I'm sorry. Excuse  
17 me. Another appearance in the case.

18          MR. KULSETH: May it please the Commission,  
19 my name is John Kulseth with the law firm of Hinkle,  
20 Cox, Eaton, Coffield and Hensley in Santa Fe appearing  
21 on behalf of R.B. Operating Company, Ramco-Myl, 1987  
22 Limited Partnership, R.C. Bennett, and we have no  
23 witnesses.

24          CHAIRMAN LEMAY: Will you be giving a  
25 statement, or just participating in cross-examination?

1 MR. KULSETH: Just appearing I'm told.

2 CHAIRMAN LEMAY: Just appearing.

3 MR. KULSETH: Yes, sir.

4 CHAIRMAN LEMAY: Without witnesses.

5 MR. KULSETH: Yes, sir.

6 CHAIRMAN LEMAY: What's your last name  
7 again?

8 MR. KULSETH: It's spelled K-u-l-s-e-t-h.

9 CHAIRMAN LEMAY: Kulseth.

10 MR. KULSETH: Yes, sir.

11 CHAIRMAN LEMAY: And you're with Cox-Eaton,  
12 and you're representing who again?

13 MR. KULSETH: R.B. Operating Company,  
14 Ramco-Myl --

15 CHAIRMAN LEMAY: How do you spell that?

16 MR. KULSETH: R-a-m-c-o - M-y-l, 1987  
17 Limited Partnership, and R.C. Bennett, B-e-n-n-e-t-t.

18 CHAIRMAN LEMAY: Thank you. We just needed  
19 to get those for the appearance. Are there any other  
20 appearances in the case?

21 (No response.)

22 CHAIRMAN LEMAY: Okay. Will the witnesses  
23 please stand and raise your right-hand?

24 (Witnesses Sworn.)

25 CHAIRMAN LEMAY: You may proceed, Mr. Carr.

1           MR. CARR: May it please the Commission,  
2 unlike Mr. Stovall I can't resist the temptation for  
3 an opening, but my opening will be extremely brief.

4           Bird Creek Resources is before you this  
5 afternoon requesting special pool rules for the East  
6 Loving Delaware pool including a provision for a  
7 special gas/oil ratio of 5,000 to one.

8           The reason for this request is simple. We  
9 are currently being substantially restricted under  
10 state-wide rules with the 2,000 to one gas/oil ratio.

11          I will call two witnesses, two engineers.  
12 One will show you that this is a type reservoir that  
13 what we have in this reservoir are a number of  
14 separate sand lenses or stringers to a very limited  
15 extent. The wells have high GOR's, and increasing the  
16 gas/oil ratio should not result in drainage between  
17 tracts.

18          We have also commissioned a study by T.  
19 Scott Hickman & Associates from Midland who will  
20 represent a witness that will demonstrate that the  
21 higher GOR's will not produce recovery in the  
22 reservoir but in fact will result in more efficient  
23 production from the reserves in the East Loving  
24 Delaware pool.

25          CHAIRMAN LEMAY: Thank you, Mr. Carr.

1           MR. KELLAHIN: Mr. Carr surprised me by  
2 being so brief in his comments.

3           May it please the Commission, on behalf of  
4 Oryx Energy Company Company, back in February of this  
5 year, I appeared with my witnesses in opposition to  
6 Bird Creek's request, which when presented to Examiner  
7 Catanach based on the evidence presented to him, he  
8 has denied Bird Creek's request to increase the  
9 gas/oil ratio in this Delaware oil pool.

10           Our evidence and testimony today will  
11 sustain, we believe, the appropriate order that Mr.  
12 Catanach entered, and we will ask you again to affirm  
13 his decision. This is a waste case. A pure and  
14 simple waste case.

15           Bird Creek seeks to increase the gas/oil  
16 ratio in the statewide 2,000 to one to the 5,000 to  
17 one level, not because it will increase ultimate oil  
18 recovery from the reservoir, but simply because it  
19 will accelerate the oil that they want to recover from  
20 the pool.

21           Examiner Catanach denied that applicat

1 presentation. We would ask that you await a final  
2 determination of any of the facts until you've heard  
3 our witnesses respond and rebut the conclusions  
4 expressed by the Bird Creek witnesses.

5 The pool is in an active state of  
6 development on its 40-acre oil spacing. The evidence  
7 will demonstrate to you that there is a structural  
8 factor, a structural component to the reservoir that  
9 is of importance. That is an issue that is in  
10 dispute.

11 We attach significance to structure in this  
12 reservoir; they do not. We attach a significance to  
13 the fact that there are high gas/oil ratio wells in  
14 obstruction to the low gas/oil ratio wells. And it  
15 will be our evidence that those wells are in pressure  
16 communication, one with another. And contrary to Mr.  
17 Carr's representation of his proof, we will show in  
18 fact that wells affect other wells within the pool.

19 Because of that affect, it is necessary to  
20 control the gas withdrawal rate from the reservoir.  
21 An issue and topic for you that we will address is  
22 whether this is a rate-sensitive reservoir. We  
23 conclude that it is, and we will demonstrate that it  
24 does. The rate sensitivity has an impact on ultimate  
25 oil recovery. It will it be our evidence that you

1 have at risk in your decision today 763,000 barrels of  
2 oil that will ultimately not be recovered from this  
3 reservoir if you grant this application.

4 We ask you to pay attention to the data  
5 that the witnesses are utilizing upon which they will  
6 base their conclusions. Since the last hearing we  
7 have generated new data, rate sensitivity tests from  
8 our well, which demonstrate with field data that we  
9 are rate sensitive as to the oil component of the  
10 production. That means that at higher rates we are  
11 wasting reservoir gas by producing more gas per barrel  
12 of oil than we can at the 2,000 to one gas/oil ratio.

13 You're going to be presented not only with  
14 conventional engineering information, calculations,  
15 and data, but each side will present to you reservoir  
16 simulation. We would ask that you examine how each of  
17 those simulators in the data, where the parameters are  
18 that are of variance between the two presentations,  
19 and which one in your opinion more accurately and  
20 realistically portrays the reservoir. It is our  
21 contention and belief that we more accurately project  
22 what will happen in this reservoir.

23 At issue is whether or not there is  
24 vertical communication in the reservoir. This is a  
25 complex reservoir, it is very intricate. We have a

1 geologist that we will present to you as our third  
2 witness, and he will show you the structure map his  
3 isopachs and cross sections.

4 Principally you have four continuous sand  
5 bodies that hold the gas in the reservoir, and that  
6 gas is in solution with the oil. This is an oil  
7 reservoir. And it's our engineering conclusions that  
8 the gas that is being produced is coming out of  
9 solution with the oil. It is also our contention and  
10 proof that you have no separate gas-only gas stringers  
11 in this reservoir.

12 There will be a question about whether or  
13 not there is vertical communication among these four  
14 oil stringers or oil sand zone members of the  
15 Delaware. It is our contention and proof that there  
16 is vertical communication by which either by fracture  
17 when the wells were completed or naturally these zones  
18 are in communication, and we must account that they  
19 are in fact not separate.

20 The three witnesses I'll present to you  
21 first of all is Ms. Bonnie Wilson. Ms. Wilson is a  
22 reservoir engineer, and she also has expertise in  
23 reservoir simulation. She has presented her modeling  
24 work to you in other hearings before this Commission,  
25 and she has come back to present her case to you today

1 as she did before Examiner Catanach.

2 Mr. Bob Sidlowe is my geologist. He will  
3 present is geologic interpretations of the reservoir  
4 and his various geologic displays. In addition, I'll  
5 present to you Mr. Gregg Jacobson. He's a petroleum  
6 engineer and has done some eventual calculations with  
7 regards to the effect that one well has on the other  
8 within this reservoir.

9 It is our belief that we hope the evidence  
10 will demonstrate to you as it does to us that this is  
11 a rate-sensitive reservoir. That you cannot  
12 permanently or even on a temporary basis increase the  
13 gas/oil ratio. By doing so, you put at risk and you  
14 will waste some 763,000 barrels of oil that could  
15 otherwise be recovered.

16 CHAIRMAN LEMAY: Mr. Kellahin, is it your  
17 intention -- the both of you -- to introduce the  
18 records of the previous case or not?

19 MR. KELLAHIN: It is not my intention.

20 MR. CARR: Nor is it mine.

21 May it please the Commission, at this time  
22 we would call Mr. Brad Burks.

23 DIRECT EXAMINATION

24 BY MR. CARR:

25 Q Would you state your full name for the

1 record, please?

2 A Brad Burks, B-u-r-k-s.

3 Q Mr. Burks, where do you reside?

4 A I reside in Tulsa, Oklahoma.

5 Q By whom are you employed and in what  
6 capacity?

7 A I am employed by B.K. Energy, a consulting  
8 firm that provides engineering and geological services  
9 to our client today, Bird Creek Resources, Inc., also  
10 of Tulsa, Oklahoma.

11 Q Have you previously testified before the  
12 Oil Conservation Commission?

13 A Yes, I have.

14 Q And were your credentials at the time of  
15 that testimony as a petroleum engineer accepted and  
16 made a matter of record?

17 A Yes, sir.

18 Q Are you a registered petroleum engineer?

19 A Yes, sir, in the state of Oklahoma.

20 Q Are you familiar with the application filed  
21 in this case on behalf of Bird Creek Resources?

22 A Yes, I am.

23 Q Are you familiar with the East Loving  
24 Delaware pool?

25 A Yes.

1           MR. CARR: Are the witness's qualifications  
2 acceptable?

3           CHAIRMAN LEMAY: His qualifications are  
4 acceptable.

5 BY MR. CARR:

6           Q       Mr. Burks, would you briefly state what  
7 Bird Creek seeks with this application?

8           A       Bird Creek seeks the promulgation of  
9 special pool rules. We are seeking the increased GOR  
10 from 2,000 to 5,000.

11          Q       And why are you seeking this change?

12          A       We are seeking this change for the reason  
13 of gas allowables. We have 10 wells on our leases  
14 that are currently curtailed, or that are currently  
15 curtailed due to the limited GOR of 2,000.

16          Q       Are other operators in the pool likewise  
17 curtailed by the gas/oil ratio for this pool?

18          A       Numerous other operators, yes.

19          Q       Have you prepared certain exhibits for  
20 presentation here today?

21          A       Yes, sir.

22          Q       Let's go to the one that has been marked  
23 Bird Creek Exhibit Number 1. I'd ask you to first  
24 identify that, and then review for the Commission what  
25 this shows.

1           A       Bird Creek's Exhibit Number 1 is a lease  
2 ownership map of the Township 23 south, 28 east, Eddy  
3 County. It is approximately 20 miles south of the  
4 City of Carlsbad. The East Loving Delaware field is  
5 highlighted within the orange striping. All Delaware  
6 wells are platted within that orange highlighted area.

7               By well count within the orange highlight,  
8 R.B. Operating is the largest producer, again by well  
9 count. Bird Creek Resources, which is denoted as BCR  
10 on the map, is the next largest, followed by Pogo,  
11 BTA, Oryx, Amoco, and Parker & Parsons.

12               There are four one-well owners in the field  
13 scattered about. R.B. Operating, again being the  
14 largest, typically is in the east half of the field.  
15 From north to south then you see Pogo wells and then  
16 Oryx and then BTA. And then going on south, Bird  
17 Creek Resources typically in the center of the field,  
18 Amoco, and Parker & Parsons on the south end.

19           Q       When was this field discovered?

20           A       The field was discovered by R.B. Operating  
21 in section 23 in 1987. In 1988 they drilled an  
22 off-set to that well. It also was successful. And  
23 then in 1989 Bird Creek drilled its first well, which  
24 was the third well in the field, and that was Carrasco  
25 14, number one, which is denoted by the red arrow.

1           Q       What is the significance of that particular  
2 well?

3           A       Again, that well being our oldest well, we  
4 have the most production data. We have a large  
5 command of bottomhole pressure data. We have a PVT  
6 analysis on that well. We have basically the most  
7 history of our wells on that well. That is why it is  
8 so denoted. That well, because of its extensive  
9 history was utilized in the modeling program to  
10 determine a most efficient rate for the increased GOR.

11          Q       Is the increased ownership of this pool  
12 also indicated on Exhibit Number 1?

13          A       Yes, sir, it is. In the upper portion of  
14 each property is the operator's name. Again, BCR is  
15 the abbreviation for Bird Creek, and RB is the  
16 abbreviation for R.B. Operating. At the bottom of  
17 each acreage is the lease name.

18          Q       Let's go down to now to Exhibit Number 2.  
19 Could you identify that, please.

20          A       Exhibit Number 2 is a sample type log from  
21 our well, RGA Number 3.

22          Q       Why did you select this particular well?

23          A       I selected this particular well due to also  
24 the amount of data I have on this well. This well  
25 typically is in the center of the field. It is

1 located in the southwest by southwest, 14. Along with  
2 open-hole logs we also cut a core and the core lab  
3 provided an analysis of that core.

4 Q Let's go to the second page, and I'd ask  
5 you to just explain what this shows.

6 A The second page of Exhibit 2 is the  
7 resistivity section of the open-hole log across the  
8 East Loving Delaware pay. This pay is situated at the  
9 base of the Brushy Canyon sand, right on top of the  
10 Bone Spring. The Delaware can be grouped into three  
11 sands, the Brushy Canyon being the bottom one-third of  
12 the sand and the East Loving Delaware field is at the  
13 base of Delaware.

14 The resistivity log as you see here is  
15 marked with four sands separating from each other.  
16 These separations were made for the purpose of  
17 modeling. Shales separated each sand, so we felt like  
18 each sand was heterogeneous to the next one. Those  
19 are labeled M1, M2, L1, and L2 over on the right-hand  
20 column. And you can see the top of the Bone Spring  
21 limestone beneath L2.

22 Q Let's go to the next page please.

23 A The next page is the corresponding porosity  
24 log across that same interval. The perforations of  
25 the pay are also marked in the footage column. And,

1 again, the separate sands, M1, M2, L1, and L2 are the  
2 four that we have subdivided our pay are denoted.

3 Q Which of these zones are the primary  
4 producing zones in the reservoir?

5 A M1 typically tends to be the strongest  
6 producer, followed by L1, although those are usually  
7 thicker than the M2 and the L2. The M2 and L2  
8 typically tend to be lower porosities than the M1 and  
9 L1.

10 Q Let's go to the last two pages of this  
11 exhibit. Would you identify those for the Commission?

12 A The last two pages are the print from the  
13 graphical presentation of the core lab out of Midland  
14 which just provides, again, a graphical presentation  
15 which can be correlated with the open-hole log of the  
16 core properties. These are just basic properties of  
17 the core. Core porosity, core permeability, which is  
18 to error, and also water saturations and oil  
19 saturations.

20 Q Where are those set forth, on the last  
21 page?

22 A Yes, sir, on the last page. The other is  
23 just a cover page to that report.

24 Q Let's go on to Exhibit Number 3, the  
25 isopach. Would you review this please?

1           A       Exhibit 3?

2           Q       Yes.

3           A       Exhibit 3, again, is the same lease  
4 ownership map that you saw earlier of 23 south, 28  
5 east. This isopach is a growth sand or -- excuse me,  
6 a net sand isopach. All four individual sand  
7 stringers, the M1, M2, L1 and L2. So this is a total  
8 net isopach. The porosity mapped here is all porosity  
9 greater than a 10 percent of above-hole logs.

10          Q       Why did you select 10 percent?

11          A       10 percent typically was Bird Creek's  
12 cutoff in developing the field. It was also an  
13 approximate cutoff used in the modeling studies done  
14 by T. Scott Hickman & Associates.

15          Q       What does this exhibit show?

16          A       This exhibit just shows the layout of the  
17 sand as we now know it. Typically Bird Creek wells  
18 lie in the center, again of the field. Most wells  
19 have at least 50 to 60 feet of pay. Majority of the  
20 wells have at least 60 feet of pay. Some wells have  
21 upwards to 80 feet of pay.

22          Q       In your opinion what is the status of the  
23 development of this field at this time?

24          A       The field is in a slow state of development  
25 at this time. Pogo has just recently completed a well

1 as has Oryx. Oryx has one location left. Pogo has  
2 approximately one location left. Bird Creek Resources  
3 has a few locations, we feel, on the north end and on  
4 the south end, which we have yet to drill.

5 R.B. Operating apparently due to pay  
6 thickness has finaied their drilling at least for the  
7 rest of the year, so we don't feel that the field will  
8 be extended considerably past what it has been. Most  
9 of the development that you've seen here occurred in  
10 the period 1989 through 1991.

11 Q Mr. Burks, I'd like to briefly discuss with  
12 you the geology of the field and I'd like you to refer  
13 to what has been marked as Bird Creek Exhibit Number  
14 4.

15 Could you identify the first two pages on  
16 this exhibit?

17 A The first two pages of Exhibit Number 4 is  
18 a strip of an open-hole log from a recent well that we  
19 drilled and completed called the Burkham Number 1.  
20 The log head in here indicates it is a conventional  
21 dual lateral log or resistivity log running across the  
22 section.

23 Page 2, though, is an abnormal presentation  
24 not typically done out in the field. This  
25 presentation is a high resolution pass with a

1 resistivity log. The interval you see here around  
2 6100 feet is near the base of the M1 sand, which we  
3 again feel is the more prolific of the four sands.

4 By looking at the second page on this log  
5 we -- with a high resolution we can delineate the sand  
6 shale stringers. I have drawn a small diagram down  
7 around 6100 foot. The log divisions are two feet.  
8 And what this log is showing you, the MSFL, which is  
9 the shallow resistivity device, run in the high  
10 resolution mode can pick up down through several  
11 inches -- down to the resolution of several inches,  
12 individual sands and the corresponding shales that lie  
13 between the sand.

14 Q So what we have here is a log showing a  
15 portion of the M1 zone; we're not looking at the  
16 separate zones here.

17 A No, this is just the base of the M1,  
18 typically the bottom 20 feet or 40 feet of the M1.

19 Q What you're showing on the dark lines on  
20 the right are the shale stringers in the area that  
21 represents sands.

22 A That's correct. The sandstones having low  
23 resistivity due to the highly saturated brine within  
24 the formation. The shales being higher resistivity;  
25 therefore, the curve moving to the right.

1 Q Let's go down to the next page.

2 A I might point out I'm just looking at the  
3 solid curve of the three resistivity curves. The  
4 shallow and deep dual lateral log curves cannot  
5 measure this type of resolution, so therefore are  
6 useless in this type of presentation.

7 Q Let's go to the third page of this exhibit.

8 A The third page is the same high resolution  
9 pass on two wells. The left-hand presentation is  
10 again the Burkham Number 1, which we just looked at.  
11 Again, we're looking at the base of the M1 and the  
12 upper portion of the M2 sand. Next to it to the right  
13 is in a direct offset or diagonal offset to Pardue  
14 Number 1.

15 Bird Creek drilled both of these wells  
16 recently. We ran a high resolution pass across the  
17 zones to see if we could determine what sands, if any,  
18 would correlate from well to well.

19 We feel that based on running these logs on  
20 high resolution paths, the only thing that we can  
21 correlate are some of the shale stringers. The sand  
22 stringers are difficult to correlate as to which one  
23 is which. I might point out a 6120 on the Burkham  
24 Number 1.

25 There is a shale there, which is the base

1 at the M1. That shale shows up in a marker number  
2 one, as can be seen by the gamma ray strip and also  
3 the resistivity log. Any small thin shales above or  
4 below that large shale though are not corelative or  
5 correlatable from well to well.

6 Q Mr. Burks, how far apart are the Burkham  
7 Number 1 and the Pardue Number 1 wells?

8 A Being diagonal and one crowding the other  
9 they are 1800 feet apart, which is a little more than  
10 a standard 1320 foot separation.

11 Q Let's go to the next page, and I'd ask you  
12 to identify what this is.

13 A The next page is a log heading for another  
14 tool that we've been using to picture and make an  
15 attempt to picture the sands. It is a bore hole  
16 imaging tool performed by Schlumberger called FMS. It  
17 uses a different process to determine the picture of  
18 each sand. What we see on the next page then is its  
19 image of the M1 sand in our Pardue Martin well, which  
20 is another recent completion.

21 What you see here are four stripes from top  
22 to bottom. Those four stripes are basically a picture  
23 of a well bore looking at four different directions.  
24 For example, one stripe is looking due north. The  
25 next stripe is looking due west. The next stripe is

1 looking south. And then the next or last looking  
2 west.

3 From that the imaging appears as opposite  
4 colors. Shale is light; sand is dark. So the  
5 individual sand stringers are showing up here anywhere  
6 from one foot thick to no more than two, two and a  
7 half foot thick. The corresponding shales that lie  
8 above each sand is on the order of inches to feet.

9 Q Mr. Burks could you identify what we have  
10 marked as Exhibit 4(a)?

11 A Yes, I can. Exhibit 4(a) is a section, a  
12 representative sample of the M1 sand out of the RGA  
13 Number 3, whose type log we looked at earlier.

14 What that demonstrates, that depth interval  
15 is at 6123 in the RGA 3. What that demonstrates is  
16 the black shale at the base of that piece overlayed by  
17 a sandstone, well sorted, that begins to grade back to  
18 shale near the top. That is an example of the  
19 thinness of each individual sand and how each one is  
20 separated from its neighbor, its vertical neighbor by  
21 a shale stringer.

22 Q How much of this particular well did you  
23 actually core?

24 A On the RGA 3 we cored the entire pay  
25 sections, M1, M2, L1 and L2.

1           Q       Is this a true representation of the core  
2 as it passed through these individual zones in the  
3 Brushy Canyon?

4           A       Yes, it is.

5           Q       Let's go on to the next page in your  
6 Exhibit Number 4, which is simply a text, and I would  
7 ask you to identify what this is.

8           A       This is a one-page excerpt from an atlas  
9 from major Permian basin reservoirs published by the  
10 University of Texas. It is just a one-page  
11 description of the formation and characteristics of  
12 the Delaware sandstone. I might point out a couple of  
13 sentences out of that.

14                   The first sentence of the second paragraph  
15 basically says, "Reservoirs are well-sorted,  
16 very fine-grained sandstone interbedded with laminated  
17 and burrowed silt stone, organically rich shale and  
18 some limestone." We do see those characteristics on  
19 that core. "The reservoir sandstone bodies were  
20 deposited by broad and internal braided channels."

21                   One more sentence that I'd

1 sandstone bodies, reflecting the bedded nature of the  
2 channel-fill sandstone facies."

3 Q Now, Mr. Burks, is this a text a work that  
4 you as a petroleum engineer would rely on in  
5 evaluating reservoirs?

6 A Both petroleum engineers and geologists,  
7 yes.

8 Q The next page in this exhibit is what?

9 A The next page is also an excerpt that was  
10 attached to this article. I've included it for the  
11 sole purpose of showing the cross section with  
12 relationship of the Delaware, which is denoted as Bell  
13 Canyon, Cherry Canyon, and Brushy Canyon. What its  
14 relationship is with the Capitan limestone reef at  
15 that time. The Delaware sandstone, again, being a  
16 basin sandstone.

17 Q Let's go to the next and last page in this  
18 exhibit. Is this also an excerpt of the same --

19 A Yes, it is. It is from the same article.  
20 This is a block diagram of what the Delaware or how  
21 the Delaware was deposited, again, being broad  
22 channels -- sandstone channels feeding off of a reef  
23 or cuts in a reef.

24 I have taken that block diagram and drawn a  
25 small square down there called Square A. And I have

1 enlarged that Square A to the far right-hand side  
2 showing the characteristic of the sands lying in  
3 there.

4 Again, by definition of the article, they  
5 are thin, lenticular sands, braided, which would imply  
6 that being that they are rather limited in extent and  
7 are not in pressure communication under virgin  
8 reservoir conditions with overlying and underlying  
9 sands.

10 Q All right. Mr. Burks, let's go to Exhibit  
11 Number 5. Can you identify that?

12 A Exhibit 5 is a tabular presentation of  
13 information on every well in the field as of August  
14 15th of this year.

15 Q Okay. Let's just go through this. Review  
16 for the Commission what you are presenting in a  
17 tabular form.

18 A Starting on the left-hand side, I've chosen  
19 to put the well name or the lease name and the well  
20 number, the operator of that well, its location and  
21 its proration unit, the unit number, and section in 23  
22 south, 28 east. This is in order by section number;  
23 therefore, I started with the section three and  
24 through the last page I finally end up at section 34.

25 The completion date is derived from the

1 Commission form C-105, which is available at the  
2 Artesia Commission Office, and is also available in  
3 Commission files here in Santa Fe. The initial  
4 potential is also derived from that form C-105 which  
5 is the completion form.

6 The last group of production data here is  
7 current production. This current production is a  
8 three-month averaging of C-115 production filed by  
9 each operator. The origin of the C-115's was the  
10 Artesia office.

11 Q Why did you use a three-month average?

12 A A three-month average was used to smooth  
13 out irregularities that often occur in production  
14 data. I felt a three-month average was indicative of  
15 the well's current performance.

16 Q Now, the last column is API Gravity. Why  
17 did you include that?

18 A I included that just to denote that the  
19 fluid from every well in the East Loving Delaware  
20 field is homogeneous to each other running in the  
21 range of 41 to 43 degrees API. That's a high gravity  
22 crude, highly paraffinnic. Very high.

23 Q Now, you have included in this exhibit  
24 information on all the wells in the pool. Is that  
25 correct?

1           A       Yes, sir, I have.

2           Q       And what does this tabular information tell  
3   you?

4           A       This tabular information just gives one a  
5   feel for what production is at initial potential and  
6   what currently throughout the fields can be, compared  
7   with Exhibit 1 which I presented earlier.

8                   What can be deduced from looking at the  
9   initial potential versus current production is that  
10   GOR's typically have increased over the rough life of  
11   the reservoir from a GOR of about 1,000 per well on  
12   initial potential to GOR's of around 2- to 3,000 at  
13   this time.

14                  Average production per day for the whole  
15   field, again with these -- using these numbers is 4900  
16   barrels of oil per day, 3200 barrels of water per day,  
17   and 16,000 MCFD. That results in a GOR currently  
18   field wide of 3300, well above the GOR limitation of  
19   2,000.

20          Q       Mr. Burks, let's go to the last two pages  
21   in this exhibit. Second to the last is entitled a  
22   Daily Production Plat. What does this show?

23          A       This Daily Production Plat is, again, the  
24   three-month average of the most current production  
25   that's available on C-115's. It is in the form of

1 barrels of oil per day-barrels of water per day-MCFPD.  
2 It is done on a per-well basis just to give a feel of  
3 production in a plat form.

4 Q And this is just another way of presenting  
5 the same information that is contained on the  
6 preceding table.

7 A Yes, sir, it is.

8 I might add by looking at this that one can  
9 tell that there is no logical explanation to where or  
10 why GOR's are so located, why high GOR's are  
11 scattered. There are high GOR's in the north end of  
12 the field, there are high GOR's on the south end as  
13 well as the west to the east.

14 Q Let's go to the last page of the Exhibit.  
15 What is that?

16 A This is the GOR plat based on the previous  
17 page. This GOR also comes off the tabular data, and,  
18 again, shows the disparity of GOR throughout the  
19 field. No predictable area having any high or any low  
20 GOR.

21 Q Now, Mr. Burks, some of the wells are being  
22 production restricted --

23 A Yes, sir.

24 Q -- by the gas/oil ratio.

25 A Right.

1           Q       Whereabouts are those generally in this  
2 field?

3           A       Those typically are the south half of  
4 section 10, the east half -- south half, I'm sorry,  
5 south half of section 11, all of section 14, the east  
6 half of section 15, and the north half of section 23.  
7 Those areas typically have had and continue to have  
8 oil production rates curtailed to meet the allowable  
9 rate of 284 MCFD, which is the GOR 2,000.

10          Q       Based on this geological presentation and  
11 this information, do you have an opinion as to whether  
12 or not the sands in the reservoir are in pressure  
13 communication with each other, location to location?

14          A       As I mentioned earlier, the virgin  
15 reservoirs, each sand was separated from one another.  
16 And by each sand I mean zones M1, M2, L1 and L2 were  
17 not in communication with each other due to the  
18 thickness and impermeability of the shales between  
19 each one. I feel even with the ending of the single  
20 sands themselves, being a series of small lenticular  
21 channels separated by a few instances of shale, even  
22 some sands in M1 were not in communication with  
23 overlying and underlying sands.

24                   At the time of completion though, operators  
25 in the well have typically tracked the well with half

1       fraclinks going out at 100 feet. This has placed the  
2       zones in pressure communication with each other. A  
3       well typically after frac will produce and continue to  
4       produce until the abandonment of that well.

5           Q       Do you see any evidence of vertical  
6       migration in this reservoir from any zones to, like,  
7       say, from the the L1 to the M1?

8           A       I have not seen any evidence of that curve.  
9       We have had the feeling that, again, the zones are in  
10      pressure communication with each other once this sand  
11      fracture is in place. The wells, again as I said, are  
12      open to production at that time and continually  
13      produce until abandonment some time down the road.  
14      Which each sand and fluids, I don't feel that the  
15      sands would have any different pressure one versus the  
16      other. The pressures are homogeneous.

17          Q       Let's go to your Exhibit Number 6. Would  
18      you explain to the Commission what this is designed to  
19      show?

20          A       Exhibit Number 6 is the Lease Ownership  
21      Plat on the top page. On this plat I have drawn six  
22      traces. Each trace consists of four wells. What  
23      these are, each trace is a -- roughly a well bore  
24      diagram with the top of the M1 sand denoted.

25                   I might ask you to turn to page 2, which is

1 the first trace, C through C prime. C through C prime  
2 is a west to east, if you will, cross section starting  
3 at the Pogo well through Oryx into a BTA well. This  
4 denotes the top of the M1 sand, which is the top of  
5 all four sands. It shows what is sub CF is, which is  
6 indicated on the right-hand side or the left-hand side  
7 of the graph.

8 At the top is the lease name. At the  
9 bottom is current production, the three-month average.  
10 What can be deduced from looking at C through C prime  
11 is that structure plays no part or little part in the  
12 GOR or even the oil rates produced from each well  
13 which was provided earlier.

14 Q And the gas/oil ratio are on the bottom  
15 line of each of the well bores?

16 A Correct. Again, this is the same data that  
17 was provided in tabular form earlier.

18 I might have you notice that going across  
19 from left to right the GOR is running anywhere from  
20 less than 1,000 to over 3,000. In this example the  
21 highest GOR is off structure. That off structure well  
22 is also one of the better of these four wells, as far  
23 as oil rates are concerned. Traces.

24 Q Behind that you have a number of similar  
25 cross sections.

1           A       Yes, sir, I do. The D through D prime  
2 exhibits the same characteristics. The structure  
3 plays little part in what produced GOR is. Although  
4 the off structure wells on the D through the D prime  
5 are lower oil producing wells, lower than allowable  
6 rates, they typically have the highest GOR in this  
7 case.

8                   E through E prime is roughly a plat example  
9 with a large disparity of GOR. F through F prime is  
10 another example of where structure plays little part  
11 in what the GOR and the oil rates produced are. And G  
12 through G prime are typical.

13           Q       They basically show the same information.

14           A       They show the same information; that just  
15 because you have structure versus another well doesn't  
16 mean that you have or should have a higher GOR.

17           Q       Now, Mr. Burks, let's go back to the first  
18 page of Exhibit Number 6. Referring to this page,  
19 could you just point out the location of the Oryx  
20 wells in this field?

21           A       The Oryx wells in this field are in the  
22 east half of section 10.

23           Q       How many wells do they operate?

24           A       Oryx operates currently six wells. A 7th  
25 well has been drilled, a number 6, but it has not been

1       potentialed yet. I believe it is waiting on the pump.  
2       There is also a gas well in there, which is a Morrow  
3       gas well.

4           Q       Have you compared the producing histories  
5       of the Oryx wells with the other wells in this pool?

6           A       Yes, I have.

7           Q       And the result of that or part of that set  
8       forth on what you have marked as Exhibit Number 7?

9           A       Yes, that's correct.

10          Q       Let's go to that. First of all what is the  
11       source of the information you have displayed on  
12       Exhibit Number 7?

13          A       Exhibit Number 7 is a production plat of  
14       production on a per-month basis versus time. This  
15       production was, again, derived from C-115 data.

16          Q       Let's take a look at the first page of this  
17       exhibit, the Pardue Farms Number 1 well, and I'd ask  
18       you to review this exhibit for the Commission.

19          A       Pardue Farms Number 1 is the first well  
20       that Oryx drilled and completed. It was completed in  
21       August of 1990, a little over a year ago. That well  
22       is in the southwest -- I'm sorry, southeast, southeast  
23       of section 10 or unit letter P. That well was drilled  
24       as a diagonal offset to the Teledyne Number 2, a Bird  
25       Creek well in the northwest, northwest of 14.

1           By looking at this production, one can  
2 deduce that the Pardue Farms Number 1 is capable of  
3 allowable rates. The units of oil, gas, and water  
4 production are on the left-hand side. 1,000 barrels  
5 per day, 10,000 barrels per day typical on the  
6 left-hand side.

7           I have drawn two lines here; one is a  
8 monthly oil allowable, which is 4320 barrels of oil  
9 per month, and the monthly gas allowable rate, 8640,  
10 based on that GOR 10,000. Immediately after  
11 completion, this well began to exceed the maximum oil  
12 allowable and has been there ever since, until June of  
13 this year where it is now at the oil allowable 4320.

14           Q       What has the gas rate done?

15           A       It's tough to predict what has happened  
16 with the gas rate. Above the gas rate and the GOR I  
17 have denoted the months that gas was flared, where  
18 there was no gas data filed on the C-115. When the  
19 well has had production, gas production reported, the  
20 gas rates have typically exceeded the monthly gas  
21 allowable.

22           Q       Based on the month for which gas production  
23 has been reported, is this well over or underproduced?

24           A       This well is overproduced; both oil and  
25 gas.

1           Q       Now, can you tell how much gas actually has  
2       been produced from a well?

3           A       I cannot based on the amount of gas that  
4       was flared.

5           Q       All right. Let's go now to the second page  
6       of this exhibit. Would you identify this.

7           A       Pardue Farms Number 3 is Oryx's request  
8       offset to their number one well.

9           Q       Basically what does this exhibit show?

10          A       This page shows that the well came on at  
11       near maximum oil allowable rates in November of 1990,  
12       and it has produced over that maximum allowable rate  
13       until about May of this year. This well is capable or  
14       was capable of maximum oil allowable rates. And, as I  
15       said, it has exceeded that.

16                 The gas has typically been just beneath the  
17       monthly gas allowable when it has been recorded. I  
18       have denoted as likewise on this plat, the months  
19       where gas production was either vented or flared.

20          Q       Let's go to the last page of this exhibit.

21          A       Page 3 is the Lewis Estate Number 1, which  
22       is the north offset to their first well, Pardue Number  
23       1.

24          Q       Again, what does this show?

25          A       This well came on in October of 1990. It

1 came on higher than oil allowable rates. It shows  
2 that gas was either vented or flared for an extensive  
3 amount of time until this year when they began to sell  
4 gas.

5 At this point oil has dropped below the  
6 monthly allowable, so any overproduction on oil has  
7 been made up. Gas, though, is apparently increasing.  
8 This data is through June of 1991. I have platted GOR  
9 on all the plots as dots, and they typically are above  
10 the units for GOR, which are on the left-hand side of  
11 the plat. Standard cubic feet per barrel of oil  
12 ranged from 1,000 to 10,000.

13 Q Now, have you read the C-115's on Oryx's  
14 wells?

15 A Yes.

16 Q What do these forms tell you about the gas  
17 production from these wells?

18 A These forms tell me two things. One that  
19 Oryx has very good wells capable of exceeding oil  
20 allowables and gas allowables. That places them in a  
21 position to be similar to other wells in the field.  
22 Bird Creek wells, R.B. Operating wells, BTA wells, and  
23 Pogo wells that are capable of producing allowable oil  
24 rates.

25 The other thing that I can deduce from

1 looking at this is that one cannot derive sufficient  
2 conclusions from the Oryx data because of the limited  
3 amount that there is. Oil has been shown as sold.  
4 Gas has been either vented or flared with no volumes  
5 reported to the Commission.

6 Q When those volumes are not recorded, what  
7 impact would this have on, say, your ability to  
8 calculate gas/oil ratio?

9 A It is very difficult to report or even  
10 calculate a gas/oil ratio if you have no gas data or  
11 the data you have is questionable.

12 Q And if you could in fact read gas data,  
13 what would that do to the gas/oil ratios you have --

14 A It would show gas/oil ratios on three three  
15 Oryx wells exceeding the 2,000, and being closer to  
16 the 3- to 4,000 range, which is very similar to what  
17 we see in the other wells in the field.

18 Q What conclusions have you been able to  
19 reach from your study in this particular field?

20 A My conclusions are that it is a very  
21 complex reservoir. It is comprised of four major  
22 sands. That the sands within each sand such as the M1  
23 sand, it is comprised of small, thin, and lenticular  
24 sands that can be seen on core, Exhibit 4(a).

25 I can also deduce that because of the

1 nature of these sands being thin, lenticular, that  
2 they do not cover -- each individual sand does not  
3 cover a large area; that typically, a sand in one  
4 40-acre proration unit, a one foot of sand, say, is  
5 not present in another 40-acre unit.

6 Therefore, due to this geological  
7 deposition, and due to the fact core data indicates  
8 low porosity and low permeability, I feel that one  
9 well may indeed drain 40 acres, but would not drain  
10 any larger area than that.

11 Q Will Bird Creek call an additional  
12 engineering witness to discuss the simulation of work  
13 on this particular reservoir?

14 A Yes, we will.

15 Q Were Exhibits 1 through 7 and 4(a) either  
16 prepared by you or compiled by you?

17 A Yes.

18 MR. CARR: At this time we would move the  
19 admission of Bird Creek Exhibits 1 through 7 and 4(a).

20 CHAIRMAN LEMAY: Without objection 1  
21 through 7 and 4(a) will be admitted.

22 MR. CARR: That concludes my direct  
23 examination of Mr. Burks.

24 CHAIRMAN LEMAY: Mr. Kellahin?

25 MR. KELLAHIN: Thank you, Mr. Chairman.

## CROSS EXAMINATION

BY MR. KELLAHIN:

Q Mr. Burks, is there any engineering basis for picking 5,000 to one gas/oil ratio as opposed to some other ratio for the pool?

A Yes, sir, there is.

Q What is it?

A In the early life of our wells, we started off near a GOR of 2,000. It took just a few months' production before we began to exceed the GOR of 2,000. When one projected, maintained oil production at an allowable rate on the 10 allowable wells that we have, the GOR began to follow a trend that started an upward climb.

Based on the two oldest wells in the field, which are R.B. Operating wells, I platted the production of those wells. Again, those are in section 23. A plat of those wells indicated the GOR increased from a low 2,000 to nearly 4,000, and then leveled off and came back down as oil rates began to drop below the oil allowable limitation.

Q Have you determined whether or not the maximum gas/oil ratio for the pool -- for the life of the pool will be ceiling that 5,000 to one gas/oil ratio?

1           A       Could you say that again?

2           Q       Yes, sir. Is 5,000 to one gas/oil ratio  
3 going to be as high as you need in the pool?

4           A       Yes, sir, based on the data that we saw on  
5 the older R.B. Operating wells, which came on in '87  
6 and '88, we feel that 5,000 should serve our purpose.

7                   At some point in the life of the allowable  
8 wells, they will drop off that allowable rate. At  
9 that time the gas/oil ratio we expect will start to  
10 drop off of that 5,000 but remain rather high in the  
11 4- to 5,000 range throughout the life of the  
12 reservoir.

13          Q       At 5,000 to one your daily gas rate is 710  
14 MCF a day?

15          A       Yes, but the 5,000 GOR is not useful once  
16 the oil rates begin to drop off or once the gas rates  
17 begin to drop off the 710 MCFD.

18          Q       How long is the 710 gas rate useful for the  
19 wells in the pool?

20          A       I could not answer that at this time. Our  
21 modeling exhibits will show --

22          Q       At the February hearing you requested a  
23 temporary period of 12 months for the 5,000 to one  
24 gas/oil ratio.

25          A       Correct.

1 Q Is that still your request?

2 A Yes, sir, 12-month trial period.

3 Q What do you intend to have that you do not  
4 now have in terms of information at the end of the  
5 12-month period?

6 A Production data based on the higher GOR  
7 rates for the numerous wells that are currently  
8 curtailed.

9 Q Is it still your testimony as it was back  
10 in February that at 5,000 to one gas/oil ratio you are  
11 simply reducing your reserves faster than you would at  
12 2,000 to one gas/oil ratio?

13 A They would be produced a little faster.  
14 Along with that statement I also said at the 5,000 --  
15 excuse me, staying at the 2,000 would enable some  
16 operators to crowd other operators' leases and drain  
17 them while the one -- the first operator was held at  
18 an allowable gas rate.

19 Q For purposes of your production, increasing  
20 the gas/oil ratio from 2,000 to one to 5,000 to one  
21 would be a rate of acceleration of production for your  
22 wells, would it not?

23 A Yes, sir, it would. Increased oil rate;  
24 increased gas rate.

25 Q It does not demonstrate to you as a

1 reservoir engineer that increasing the gas/oil ratio  
2 is going to increase ultimate oil recovery from your  
3 wells?

4 A I mean to leave that answer to our next  
5 engineer.

6 Q In February it was your testimony that it  
7 would not. Is that not true?

8 A Rephrase that again, please.

9 Q In February it was your testimony that  
10 simply increasing the gas/oil ratio was not going to  
11 increase ultimate oil recovery for your wells.

12 A Would not significantly change ultimate  
13 recovery.

14 Q Can you quantify what you mean by  
15 significant?

16 A In the range of a few percent.

17 Q What percent to recovery of original oil in  
18 place do you anticipate for this reservoir?

19 A Based on modeling studies that we have done  
20 we are seeing recovery of approximately -- ultimate  
21 recovery of approximately 11 percent of original oil  
22 in place. That's an approximate number.

23 Q And your testimony in February, you were  
24 estimating a range of 20 to 25 percent --

25 A Yes, sir.

1 Q -- recovery of ultimate oil in place?

2 A Yes, sir.

3 Q What has caused you to change that opinion?

4 A First off, reservoir modeling has adjusted  
5 my opinion of that. Second off, we have had wells  
6 drilled off structure off near the edge of the field.  
7 When you apply the 20 percent recovery factor which we  
8 have used in the past based on volume metrics, we were  
9 coming up with hundreds of thousands of barrels of  
10 oil. But the wells near the edge of the field were  
11 not exhibiting that characteristic on production  
12 decline. They were exhibiting ultimate reserves of,  
13 say, 80- to 100,000 barrels of oil per well. So  
14 obviously recovery is dropped based on those two  
15 findings.

16 Q In February you presented us with a  
17 structure map on top of the C member.

18 A Which we now call M1 for the purpose of  
19 modeling, yes.

20 Q So the letter C translates to M1 when we  
21 get to the modeling?

22 A Yes, sir.

23 Q You didn't present a structure map today.

24 A One will be presented. I did not present  
25 it.

1 Q Did you prepare your own structure map?

2 A Yes, sir, I did.

3 Q And is that the structure map you used at  
4 the February hearing?

5 A It is very similar. The changes that have  
6 been made are an acquisition of additional logs in the  
7 field, an additional drilling performed by Bird Creek  
8 Resources.

9 Q Mr. Burks, are you familiar with Delaware  
10 Production in other pools besides this pool?

11 A Yes, sir, I am. I began my employment out  
12 of college in '83 with Texaco, Incorporated. Texaco  
13 had numerous Delaware fields of which several I'll be  
14 glad to name for you. I was placed over those fields  
15 as a reservoir and production engineer in charge of  
16 enhancing production and maintaining it on a  
17 consistent basis.

18 Q Have you utilized the device of water  
19 flooding any of those Delaware pools to enhance oil  
20 and water recovery from those --

21 A Yes, two floods Texaco had I have had  
22 responsibility of.

23 Q And in your assessment as a reservoir  
24 engineer was water flooding feasible for those  
25 Delaware pools?

1           A       It was feasible in one Delaware pool; it  
2 was not in the other. The formation had permeability.  
3 The one that was not had permeability variations that  
4 were not predictable at the start of the initiation of  
5 the flood, so recovery was poor.

6           Q       Describe for me your interpretation of the  
7 reservoir in terms of the drive mechanism and where  
8 this gas is coming from that is being produced by the  
9 high gas/oil ratio price.

10          A       The drive mechanism appears to be a  
11 solution gas drive reservoir. The gas is being  
12 liberated off of oil that is in place and also oil  
13 moving up the well bore to the surface, the liberation  
14 of gas due to the pressure drop.

15          Q       Do you have engineering calculations to  
16 support your conclusion that the wells that you have  
17 examined are not draining over 40 acres?

18          A       No, sir, I do not have those with me. My  
19 professional opinion says that they should not drain  
20 more than 40 acres. I have testified before the  
21 Commission Examiner over the past two years that I do  
22 not feel that it exceeds 40 acres. I have presented  
23 testimony in the past with calculations as to why.

24          Q       But you chose not to present those  
25 calculations to support that conclusion for today's

1 hearing.

2 A Our reservoir engineer will provide data on  
3 that.

4 Q What do you estimate to be the ultimate oil  
5 recovery from your wells?

6 A Percent of oil in place?

7 Q Either as a percent of oil in place or  
8 ultimate oil in terms of barrels.

9 A As a total for Bird Creek Resources'  
10 operated leases is what you're saying. Right? I can  
11 state again the average number that we are going with  
12 is approximately 11 percent of original oil in place.

13 Bird Creek is continuing to drill  
14 approximately once every three months, drill a new  
15 well trying to expand the reservoir. I have not done  
16 an updated reservoir calculation or reserve  
17 calculation for Bird Creek Resource-operated wells.

18 I have been doing some decline analyses of  
19 the total production from the field, which indicates  
20 total field recoveries based on current production.

21 Q What is your best estimate of a per-well  
22 recovery for your wells at the pool?

23 A It's too varied to give you an answer at  
24 this time. I have a well in section 14 that indicate  
25 250,000 barrels of oil. I have wells that we have

1 drilled out on the edge of a reservoir that indicate  
2 no more than 40,000 barrels of oil.

3 Q Do you have any pressure information by  
4 which we could prepare pressures among or between  
5 wells in the pool?

6 A Yes, I do.

7 Q You've chosen not to present the pressure  
8 information to the Commission today?

9 A Our reservoir engineer will present the  
10 data that we have. We have those numbers with us.

11 Q Is there an explanation within the  
12 reservoir and the distribution of the hydrocarbons  
13 within these sand members so that we could by  
14 selectively perforating these wells reduce the gas/oil  
15 ratio that is being produced by some of these wells?

16 A I don't feel that there is any method  
17 available where one could selectively perforate  
18 different sand members. I'm saying individual sand  
19 stringers; that the production of gas is based on  
20 several parameters. Each of the four sands that we  
21 have identified has different properties or parameters  
22 that control the oil and gas production produced from  
23 those individual sands.

24 Q Are the operators within the pool generally  
25 attempting to complete in each one of those sand

1 members?

2           A       Yes, they are. And in my discussion with  
3 operators in the field, there are primarily two  
4 methods of completing a well, and in all four sand  
5 members.

6           Q       Yes.

7           A       If all four sand members are so present.  
8 Some wells don't have the M2 and the L2 due to their  
9 thin nature. Most wells typically, though, have the  
10 M1 and L1 because of their thick nature.

11                   The two methods of completion are: the Bird  
12 Creek method has been perforated with sand that has  
13 porosity and adequate separation on the resistivity  
14 logs. The other method which has been practiced by  
15 Pogo, BTA, and R.B. Operating is to perforate in the  
16 middle, say, 20 or 30 holes in the middle of the  
17 100-foot interval and then apply a sand fracture using  
18 a technique called Limited Entry, which is at high  
19 rates and high pressures. Therefore, what you end up  
20 with in theory, and they have proven it, that you can  
21 perforate the middle of a zone 20 or 30 feet and with  
22 high enough rates on the frac job, open a higher 60 or  
23 80-foot interval.

24           Q       Is there a water component in the reservoir  
25 that affects the rate?

1           A       Is there a water component --

2           Q       You do not see a water drive or --

3           A       I do not see a water drive. On wells that  
4 I have analyzed including Bird Creek wells, we do not  
5 see presence of a water drive.

6           Q       What is the range of the permeability that  
7 you see in the reservoir?

8           A       In RGA Number 3, C ranges anywhere from  
9 zero, of course, which was the shales, to three  
10 millidarcies, sometimes some small sand stringers  
11 approach 40 to 50. The geometric average of our RGA  
12 Number 3 was determined to be 0.7 millidarcies by core  
13 lab. So there are a few one-foot sand stringers with  
14 high permeability of, say, on the order of three to  
15 ten millidarcies, but the majority average is .7  
16 millidarcies. That's a very tight reservoir.

17          Q       What other ranges of porosity do you find  
18 in the reservoir?

19          A       Using a 10 percent cutoff, that's one  
20 number you're looking for. The other porosities, I  
21 have seen some as high as 18 percent. In our wells,  
22 typically the highest porosity we see is 16 or 17,  
23 giving an average of about 14 in Bird Creek wells.

24          Q       Is there a substantial difference and  
25 result if you use 12 percent as versus 10 percent

1     porosity level?

2             A       You're only talking about roughly 1 percent  
3     difference in those two porosities.

4             MR. KELLAHIN:   Thank you.

5             CHAIRMAN LEMAY:   No additional questions of  
6     the witness?   Commissioner Weiss?

7                         CROSS EXAMINATION

8     BY MR. WEISS:

9             Q       The core there, do you think that's a  
10    representative of the stringers?

11            A       Yes, sir, it was.   The sole purpose was  
12    just bringing that piece, again, it was  
13    representative.   And flying on the airplane, it was a  
14    little heavy to bring a four or five foot core.

15            Q       Do you think that there are gas stringers  
16    in that zone?

17            A       I don't think there are gas stringers that  
18    are just 100 percent saturated with gas.   I feel the  
19    stringers are saturated with oil.

20            Q       So I guess that was the attorney's  
21    interpretation of your earlier statements that there  
22    are gas stringers.

23            A       At that time our observation was that there  
24    were gas stringers.   Data that we have been able to  
25    tabulate from other operators, core data, plus doing

1     some, oh, some correlations, we have determined that  
2     what I felt were gas stringers are oil stringers, but  
3     are either oil wet or the relative permeabilities to  
4     gas is so much higher than the oil, there is a  
5     preferential flow to gas. So from the surface it  
6     would appear as a gas stringer, but at the bottom --

7             Q       But you don't --

8             A       I don't feel that there is a 100 percent  
9     saturated gas stringer. All I said back then, my last  
10    testimony in February was that I feel there are  
11    stringers giving up 100 percent gas, and I still feel  
12    that way, but they are not 100 percent gas saturated.

13            Q       I think you mentioned that -- I wasn't sure  
14    when you said something about drainage affecting other  
15    wells, but yet it only affected 40 acres. You were  
16    concerned about offsets draining oil from -- your  
17    wells get -- what one well only drains 40 acres, I  
18    didn't get that.

19            A       I'll give you an example. On Exhibit 1,  
20    which is the lease ownership plat with the orange  
21    outline on it. In the northeast quarter of section 15  
22    there are two Bird Creek wells, a Chavez, and a  
23    Siebert. In the northeast quarter of section 15 there  
24    is a Chavez Number 1 and a Siebert Number 1.

25                    South of the Chavez is a well drilled by

1 R.C. Bennett called the Kidd Number 1. This is an  
2 orthodox location, but he has crowded Bird Creek  
3 properties. In that instance if he drains 40 acres he  
4 drains part of our 40 acres under the Chavez and the  
5 Siebert, and that's where I felt there could be offset  
6 drainage, where at orthodox locations, but still  
7 crowding the lease line at 330, 330.

8 MR. WEISS: I have no others questions.  
9 Thank you.

10 CROSS EXAMINATION

11 BY CHAIRMAN LEMAY:

12 Q Mr. Burks, your experience in the Texaco  
13 fields, have they been in the Ramsey sand, or have you  
14 had some experience with sand below the Ramsey?

15 A I've had experience in all sands. As far  
16 as water flooding they have typically been the Ramsey  
17 sands. For example, Mesa Delaware. Those are the  
18 Delaware floods I'm familiar with Brushy Canyon  
19 sandstone reservoirs such as the Lusk Delaware, which  
20 is north of halfway bar. It's been shut down.

21 Q Are you familiar with any water floods with  
22 sands below the ranch? Have there been any to your  
23 knowledge?

24 A There has been one Brushy Canyon flood,  
25 down south of the border into Texas. I can't recall

1 the name of that. I don't know what the success of  
2 that is. Our next witness has some experience in  
3 that.

4 Q The only other thing is the log you showed.  
5 Is that what they referred to as the microwave log or  
6 micro-oven log? There was one that came out for a  
7 while that had terminology like that, that  
8 differentiated the various sands. The FMS log.

9 A The FMS has a bore hole imaging tool.  
10 Schlumberger also has a tool, which is called an  
11 enhanced promulgation tool. It will also delineate  
12 those sands, the thickness of those sands due to its  
13 high resolution capabilities.

14 Q It will do the same thing as the FMS log?

15 A It's presentation would be like the high  
16 resolution resistivity logs that I showed on the  
17 Burkham Number 1. That's what its presentation would  
18 look like. Just showing you low resistivities  
19 indicating sand stringers, high resistivities  
20 indicating the shales in between the stringers.  
21 That's what the EPT presentation shows.

22 The FMS is, again, a bore hole imaging log  
23 through computation, again, draws a picture of what  
24 you're seeing, giving contrasting colors. The copy  
25 you have is in black and white. Those are actually

1 colors.

2 Q I guess what I was trying to get at, is  
3 this EPT log, my memory is that they used to use that  
4 also for staying away from zones within a sand that  
5 produce high waters?

6 A Right.

7 Q Is there some resolution that can  
8 differentiate those high waters within a sand?

9 A On an EPT, yes.

10 Q Is there any concentration of those that  
11 you've been able to ascertain within the field, or is  
12 that a random occurrence?

13 A It's just a random occurrence within the  
14 field. Throughout this field. I assume this answers  
15 your question I've never been able to predict where  
16 our next oil production well will be.

17 Q Does the water have greater probability  
18 than any of the other four sands, or is that again  
19 random?

20 A In my opinion based on looking at our Bird  
21 Creek logs and RB logs and other logs in the field in  
22 performing my isopach map and structure map, the L1  
23 sand typically tends to be a wetter sand.

24 Pogo has recently opened a well in just the  
25 L1 and has very high water rates that have previously

1 not been seen in the field before.

2 So the L1 in my opinion is probably the  
3 wettest of the four sands.

4 Q One more question. Your isopach map that  
5 looks like you've got 50 feet of net sand here without  
6 production limits necessarily being defined. Have you  
7 got a cut-off on what it takes to make a commercial  
8 well as far as number of feet over 10 percent?

9 A Well, what would be a better answer to your  
10 question would be a feet times H isopach map where I  
11 multiply porosity times thickness. Because what we've  
12 seen on the edge of the field in some places, we've  
13 got 60 feet of pay but 11 percent porosity. And we're  
14 right next to our cutoff. But just because you've got  
15 60 feet at 11 percent porosity doesn't mean you've got  
16 much of a well. That's an 830 barrel per day well.

17 Q So has it been your experience that the  
18 marginal nature of the field is a function of the side  
19 sands getting thinner and tighter and that being a  
20 function of maybe some having more water or something  
21 of that nature?

22 A Yes, sir. Typically, yes.

23 CHAIRMAN LEMAY: I have no further  
24 questions.

25 MR. CARR: At this time we would call Mr.

1 Vanorsdale.

2 DIRECT EXAMINATION

3 BY MR. CARR:

4 Q State your name for the record, please.

5 A Charles Vanorsdale.

6 Q Where do you reside?

7 A Midland, Texas.

8 Q By whom are you employed?

9 A I'm employed by T. Scott Hickman &  
10 Associates, a consulting firm.

11 Q And what is your relationship to Bird Creek  
12 Resources?

13 A We were retained to perform an independent  
14 evaluation of the field to simply address the topic  
15 of oil recovery sensitivity to gas withdrawal rates.

16 Q Have you previously testified before this  
17 Commission?

18 A No, I have not.

19 Q Can you briefly review your educational  
20 background?

21 A Yes. I received a Bachelor of Science  
22 degree in petroleum engineering from the University of  
23 Tulsa in 1979, and a Master's degree in management  
24 from the University of Tulsa in 1984. I'm a  
25 registered professional engineer in the states of

1 Oklahoma, Texas, and New Mexico.

2           Upon graduation I went to work for Getty  
3 Oil Company. After having worked for Getty I went to  
4 work for a consulting firm in Tulsa, Kepplinger &  
5 Associates. Subsequent to that I did consulting work  
6 on my own, and then was hired by one of my clients to  
7 serve as manager of engineering for a small  
8 independent in Tulsa. And then most recently before I  
9 moved down to Midland to go to work for Mr. Hickman, I  
10 worked as director of technical services for another  
11 small independent in Tulsa.

12           Q       How long have you been with Mr. Hickman?

13           A       A little over a year.

14           Q       Are you familiar with the application filed  
15 in this case by Bird Creek?

16           A       Yes, I am.

17           Q       Have you made a study of the East Loving  
18 Delaware pool?

19                   MR. CARR: We would tender Mr. Vanorsdale  
20 as an expert witness and petroleum engineer.

21                   CHAIRMAN LEMAY: His qualifications are  
22 accepted.

23           BY MR. CARR:

24           Q       Mr. Vanorsdale, what were you asked to do,  
25 part of your assignment, from Bird Creek?

1           A       We were asked to take a look at the data on  
2     the wells within the field for purposes of preparing a  
3     simulation study, a model to predict what the  
4     recoveries would -- how the recoveries would vary  
5     according to the gas withdrawal rates.

6           Q       What data have you had available to you in  
7     terms of the study you've been attempting to make?

8           A       We have been provided with a log production  
9     data, core analysis, special core analysis, pressure  
10    test data, anything and everything that was available  
11    and the companies felt that they could release without  
12    violating any confidentiality agreements. I must  
13    admit that we did receive data from Oryx, Pogo, Bird  
14    Creek, and R.B. Operating and Amoco.

15          Q       Have you prepared certain exhibits with  
16    presentation here today?

17          A       Yes.

18          Q       Could you identify what has been marked as  
19    Bird Creek Exhibit Number 8?

20          A       Yes. This is a base map which I have  
21    prepared. This shows three cross sections which I  
22    have prepared in my beginning stages of this study  
23    primarily to help me characterize the reservoir and  
24    identify the zones.

25          Q       Now, we have on this map traces for three

1 cross sections. Is that correct?

2 A That's correct.

3 Q How many cross sections do you propose to  
4 present here today?

5 A I'm only showing one, marked BE Prime.

6 Q Let's move from Exhibit 8 to Exhibit 9,  
7 which is that cross section. I'd ask you to review  
8 that for the Commission.

9 A This is a cross section running from the  
10 northwest part of the field to the southeast part of  
11 the field, generally going down structure.

12 Q Basically what does this show you?

13 A Primary purpose for this was to illustrate  
14 the continuity of the individual reservoirs M1 through  
15 L2. Also to indicate that each one of those sands  
16 does vary in thickness across the field.

17 One of the other purposes of preparing that  
18 cross section was to take a look at any relationship  
19 that may be obvious from a structure versus GOR  
20 standpoint.

21 Q Are the gas/oil ratios indicated on this  
22 exhibit?

23 A Yes, on these wells I have indicated the  
24 initial gas/oil ratios from the state tests and recent  
25 data taken from about two months ago, month and a half

1       ago.

2               Q       What does this information tell you?

3               A       There is no relationship between structure  
4       and GOR histories.

5               Q       All right. Let's move to Exhibit Number  
6       10. Structure map. Would you review that for the  
7       Commission please?

8               A       This is a structure map which I have  
9       prepared. I have been given structure maps by four of  
10      the operators in the field, which I then coalesced and  
11      updated with some new well information.

12              In addition to simply showing the structure  
13      of the field on top of the M1 sand, I've also  
14      highlighted four particular wells. The well which is  
15      surrounded by the diamond is the Carrasco 14-1, which  
16      was the well in my reservoir simulation.

17              The other three wells which are circled  
18      represent wells which I looked at the core analysis in  
19      some detail. Again, the core analysis was -- I looked  
20      at it in detail for the purposes of preparing that for  
21      my reservoir simulation.

22              Q       In terms of preparing your reservoir  
23      simulation, could you explain to the Commission  
24      exactly how you went about this? What did you decide  
25      to do?

1           A       First I needed to characterize the  
2 individual sands; find out what makes each one  
3 different if indeed they are different. So I had to  
4 take a look at relationships with regards to porosity  
5 and permeability with regard to the individual sands.  
6 Had to take a look at the wetability of each sand.  
7 Specifically whether or not one sand was more oil wet  
8 as opposed to water wet, which has a bearing on what  
9 fluids are being produced.

10                   Generally speaking, just the overall  
11 quality of individual reservoirs from a log  
12 standpoint, a core standpoint, and the PVT standpoint,  
13 primarily.

14           Q       And you had this made available to you?

15           A       I had all this data available.

16           Q       How did you decide to go about actually  
17 approaching the simulation?

18           A       Could you be more specific?

19           Q       How many wells did you use? What did you  
20 look at to structure this simulation?

21           A       We tried to incorporate as many wells as  
22 possible in the simulation study. Not particularly  
23 highlight one particular area of the field.

24                   Now, with regards to the core analysis, the  
25 three wells whihc I have selected here were selected

1 simply because they represented the best core samples.  
2 In other words, there were more samples per sand in  
3 these three wells.

4 Also I was able to delineate the top and  
5 bottom of each one of those four sands, whereas in  
6 some other wells which I had the cores I was not able  
7 to do that; therefore, could not differentiate one  
8 sand from another.

9 Q What is the significance of the Carrasco 14  
10 Number 1 well?

11 A The Carrasco 14-1 was selected for several  
12 reasons. It had log qualities which were fairly  
13 typical of most of the wells in the field with regards  
14 to porosity, resistivity, so on and so forth. It also  
15 had some extensive production and pressure history.  
16 This is one of the oldest wells in the field, as Mr.  
17 Burks has already mentioned.

18 The properties of this well, structurally I  
19 would place it essentially right in the middle of the  
20 field, and even from an aerial standpoint it is  
21 located essentially right in the middle of the field.

22 Q Mr. Vanorsdale, you selected the Carrasco  
23 14 Number 1 well for what purpose?

24 A Well, primarily it had the most data  
25 available to it which would lend itself towards the

1 simulation. We had pressure and adequate production  
2 data, what I would consider accurate production data  
3 to provide us with a reservoir model and match.

4 Q Is this what you picked as an average well?

5 A Yes.

6 Q Is this what you were basing your  
7 simulation on?

8 A Yes.

9 Q In your opinion, is basing a simulation on  
10 one well like this an appropriate way to make  
11 determinations about how the entire reservoir would  
12 perform?

13 A Yes, I believe so. This well has produced  
14 long enough to give us ideas what the reservoir  
15 character is like. I believe Mr. Burks has already  
16 mentioned this well is probably representative of all  
17 the wells in the field.

18 Q Let's go to Exhibit Number 11. Could you  
19 identify this for the Commission?

20 A Yes. One of the things that we need to  
21 take into consideration when we are looking at the  
22 wells is how reliable are the data in regards to  
23 estimating certain rock and fluid properties.

24 Exhibit Number 11 illustrates the  
25 relationship that was derived between the core

1 porosity as relayed in core analysis reports prepared  
2 to the core permeability. There is a gold line that  
3 has been drawn through these points, the points  
4 representing the data from three individual wells.

5 Down at the lower right-hand corner is an  
6 equation which relates the permeability to the core  
7 porosity. Also within that box is an R squared, which  
8 represents the goodness of fit. And the closer that  
9 goodness and fit is, the better the relationship. 73  
10 is a very good fit.

11 Q Let's go to the next graph on this exhibit.  
12 What does is that?

13 A Exhibit 11(a) represents a graph of core  
14 porosity versus log porosity. The purpose for  
15 developing this was to go to any well I selected which  
16 would have a log, and therefore log porosity, and then  
17 be able to relate that to a core porosity.

18 Now, in the event the well I was electing  
19 to study did not have a core analysis performed on it,  
20 I would be able to with these two exhibits develop a  
21 reasonable estimate as to what the average  
22 permeability would be for that particular sand.

23 I prepared these for each one of the four  
24 sands.

25 Q All right. Let's move on now to your

1 Exhibit Number 12. I'd ask you to identify that for  
2 the Commission and review it.

3 A Exhibit Number 12 represents on a per-sand  
4 basis, the results on average that I received from  
5 each of the cores that I studied in detail. They  
6 represent the geometric average permeability and the  
7 average porosity for each one of those four zones.

8 In addition to that, I have listed the  
9 Carrasco 14-1 and its porosity, and derive  
10 permeability from these relationships I have just  
11 shown on my Exhibits 11, and 11(a). It indicates the  
12 value of the Carrasco by zone as it relates to the  
13 values for the other three wells. You can see that  
14 the data for the Carrasco 14-1 falls within the range  
15 of the data for the other three wells.

16 Q So from the information on Exhibit Number  
17 11 you were able to determine porosity and  
18 permeability from the Carrasco Number 1 as set out on  
19 Exhibit Number 12.

20 A Yes.

21 Q Let's go to Exhibit Number 13. What is  
22 that?

23 A Exhibit 13 represents the input data for  
24 simulation on the Carrasco 14-1. It also indicates at  
25 the bottom of the page the data which was finally used

1 in the reservoir match on a per-sand basis.

2 Q Let's move to 14. What does this show?

3 A Exhibit Number 14 illustrates the actual  
4 model that I used at the Carrasco 14-1. Set up on a  
5 40-acre gridblock. It is a seven by seven by seven  
6 grid, and the dimensions on the individual reservoirs  
7 are somewhat representative, but just the vertical  
8 scale has been exaggerated on this.

9 This also illustrates the modeling of the  
10 hydraulically fract area right around the well bore as  
11 shown by the very thin gridblock, which runs through  
12 the well in the center of the model.

13 Q In the center at the top of the model is a  
14 black dot. That indicates the well bore?

15 A Yes, that is the Carrasco 14-1 well bore.

16 Q And the narrow lines that come off of that  
17 represent a fract?

18 A Yes.

19 Q Why is it important to include the fracture  
20 in your model?

21 A Well, around the well bore of a  
22 hydraulically fracked well, if you do not account for  
23 fairly rapid changes in pressure and fluid  
24 distribution changes, you will not obtain an accurate  
25 history match. And the whole purpose of performing

1 simulation is to be able to match actual production  
2 and pressure history in order to forecast that into  
3 the future. If you do not take into consideration the  
4 rapid changes that occur around the well bore, you  
5 will not be adequately forecasting the future.

6 Q All right. Let's move to the three graphs  
7 marked Exhibit 15. Would you identify those?

8 A Yes, the first one illustrates the match  
9 that I obtained from the simulation of the oil  
10 production rate versus time. The more spiked lines  
11 there represent the actual production data and the  
12 smoother fit represents my match. The actual  
13 production up through May of 1991 versus the projected  
14 match results were within 2 percent of the actual oil  
15 produced, which is an excellent fit.

16 Q Okay. The next page?

17 A The next page illustrates the reservoir  
18 pressure as matched by the simulation. Kind of hard  
19 to differentiate between the two. It matches very  
20 good. But I do have the actual match there. Probably  
21 a difference on the maximum of only about 40 pounds.

22 Q Finally the third page of this exhibit?

23 A The last and possibly the most important  
24 match was on gas/oil ratio. Gas/oil ratio here was  
25 matched adequately. As a matter of fact, the actual

1 gas production versus the simulated gas production up  
2 through the end of May was also within 2 percent. So  
3 I feel very confident that the match I received from  
4 my simulation would be more than sufficient to project  
5 into the future.

6 Q And so with this kind of a match you have  
7 confidence that you can project how the reservoir  
8 perform in the future. Is that what you said?

9 A Yes.

10 Q Now, at this point in time in your work you  
11 have the reservoir properties in your simulator.  
12 Correct?

13 A Yes.

14 Q And you have performed a history match to  
15 evaluate how accurately you can project a performance.  
16 Is that correct?

17 A That's correct.

18 Q Then what did you do at that time?

19 A The next step was to impose limitations on  
20 the amount of gas involved to find out what the  
21 significance would be on the ultimate recovery under  
22 different GOR allows. Then I basically went into the  
23 simulator as it had been set up with the matched  
24 responses and then imposed different GOR allows.

25 Q Now, let's go to what has been marked as

1 Exhibit 16. Can you identify that, please?

2 A Exhibit 16 represents the amount of, the  
3 percentage of oil in place recovered as a function of  
4 the gas/oil ratio allowable. There is very little  
5 difference going from even a 1,000 to one gas/oil  
6 ratio up to a 5,000 to one gas/oil ratio.

7 Q How much of a decline as we go out to the  
8 20 year reserves figure do you actually see?

9 A As you go from a 1,000 to one gas/oil ratio  
10 to a 5,000 to one gas/oil ratio, where those are  
11 reserved after 20 years of production, you go from  
12 10.58 percent to 10.32 percent illustrating a  
13 difference of approximately point 26 percent of the  
14 gas/oil in place. In other words, less than three  
15 tenths of a percent.

16 Q Mr. Vanorsdale, you're showing less than  
17 three tenths of a percent recovery on this exhibit.  
18 Is that correct?

19 A That's correct.

20 Q Do you believe that what will occur in this  
21 reservoir is actually less ultimate recovery as a  
22 result of the high gas/oil ratio?

23 A Excuse me?

24 Q Will a higher gas/oil ratio actually in  
25 your opinion result in a smaller ultimate recovery of

1 oil from this pool?

2 A Effectively not.

3 Q Why not?

4 A Basically the oil recovery seems to be  
5 insensitive to the gas/oil ratio.

6 Q Are there any other factors that will come  
7 to bear on this situation that actually can be  
8 recovered from this pool?

9 A One of the things that tends to be  
10 overlooked is the operational hazard. The wells out  
11 there are already experiencing difficulties with  
12 regards to paraffin, some corrosion, some scale, and  
13 so on and so forth.

14 It would be very unlikely that a well could  
15 continue for 20 years without some major problems.  
16 The implications there would be that you need to  
17 produce your oil as quickly as possible, otherwise you  
18 may not be able to produce your oil.

19 Q Do you have an opinion as to whether or not  
20 increasing the gas/oil ratio would result in a more  
21 efficient production from the -- in more efficient  
22 production from the reservoir?

23 A Yes, I believe that by increasing the  
24 gas/oil ratio you will more efficiently drain the  
25 reservoir in a more timely fashion. The possibility

1 also exists that given the liklihood of operational  
2 risks; you may actually produce more oil by increasing  
3 your GOR allowable.

4 Q Now, if we look at this exhibit, what kind  
5 of a recovery factor do we see?

6 A The recovery factor here is on the order of  
7 about 10 and a half percent.

8 Q What does this tell you about the  
9 efficiency of the reservoir drive mechanism?

10 A For a solution gas drive reservoir, which  
11 this is, this is a very inefficient solution gas drive  
12 reservoir. The drive mechanism is not very effective.

13 Q In your study do you see any evidence of  
14 the formation of a gas cap?

15 A No.

16 Q In your opinion, could there be a gas cap  
17 forming in this reservoir?

18 A No, I don't believe so.

19 Q And why not?

20 A The permeabilities of the formations are  
21 very low in the first place. In the second place  
22 there is the evidence of laminated shale within the  
23 sands, which acts to some extent as vertical  
24 permeability barriers.

25 I did perform a simulation in which I

1 tilted the reservoir seven degrees to see what the  
2 impact would be on gas migration. Although there was  
3 some gas migration, the overall response was just a  
4 mirror image of what we see here, actually a lower  
5 recovery as a percent of oil in place.

6 Q Now, as a consulting petroleum engineer  
7 you've been called on to perform reservoir simulations  
8 on a number of reservoirs, I assume.

9 A That's correct.

10 Q Based on your experience, has there been  
11 sufficient information available to you to perform a  
12 simulation on this reservoir?

13 A Yes.

14 Q Have you taken a look at pressures in this  
15 reservoir?

16 A Yes, I have.

17 Q And what have you reviewed?

18 A I have been given essentially all of the  
19 pressure data that was available for the wells in the  
20 field either through gradient pressure surveys or  
21 build-up surveys. And I have taken that data where I  
22 felt it was adequate. I have platted it up versus  
23 time and converted all of the pressures to a common  
24 subC data, the purpose being there to illustrate that  
25 if wells were all in common reservoir with pressure

1 communication, then the pressure should track with  
2 time regardless of when the well was completed. It  
3 should fall within a specific range.

4 MR. CARR: Now, may it please the  
5 Commission, the reason we have addressed this point is  
6 in response to cross examination by Mr. Kellahin. We  
7 do have an exhibit and a plat. We only have one copy.  
8 We'll mark it as Exhibit 18, and I presume there will  
9 be a brief break after this, and we can make copies  
10 available to Mr. Kellahin.

11 I'll be happy if he desires not to move its  
12 admission until he has a chance to see it, but it is  
13 in response to questions raised by him, and we're  
14 trying to get it out on the table, so if he has a  
15 witness that is fair game when it comes to  
16 cross-examination to that issue.

17 BY MR. CARR:

18 Q Mr. Vanorsdale, in your opinion, would  
19 approval of the application of the Bird Creek  
20 Resources result in the waste of hydrocarbons?

21 A No.

22 Q And why not?

23 A I believe that there will be very little  
24 difference overall in the amount of oil recovered by  
25 going from a 2,000 to 5,000 to one GOR, with the

1 exception of the time factor involved. As has been  
2 brought out before, if you were to stay in low GOR's  
3 it's going to take you longer to recover the same  
4 amount of oil. In the process of doing that you run  
5 the risks of operational hazards to prevent the  
6 ultimate recovery of that oil.

7 Q In your opinion will there be a problem of  
8 rights of any interest owner in the pool which will be  
9 impaired by the granting of this application?

10 A No, I do not believe so.

11 Q Have you reviewed the Oryx operated wells  
12 as part of this investigation?

13 A Yes, I have.

14 Q Do you have an opinion to whether or not  
15 the conclusions you have just announced will apply to  
16 those as well as other wells in the pool?

17 A I believe they would.

18 Q Why is that?

19 A The Oryx wells, as has already been brought  
20 out, would more than likely behave just as all of the  
21 other wells in the field if we actually knew what the  
22 gas production had been. From a GOR standpoint, we  
23 have no feel as to how these wells are doing.

24 Inasmuch as they vented a considerable  
25 amount of their gas, I must admit that one of the

1 reasons I would not choose any of the Oryx wells  
2 involved is because I didn't have sufficient data upon  
3 which to draw a map.

4 Q Do you believe that there is a situation or  
5 are situations in this reservoir where production of  
6 any well in the 5,000 to one GOR should have an  
7 adverse impact on the recovery of an off-setting well?

8 A No, I don't think so.

9 Q Were exhibits 1 through 16 prepared by you?

10 A Yes.

11 MR. CARR: At this time we would move the  
12 admission of Bird Creek Resources Exhibits 1 through  
13 16.

14 CHAIRMAN LEMAY: Without objection,  
15 exhibits 1 through 16 will be entered into the record.

16 MR. CARR: I will mark the Pressure Versus  
17 Time Curve as 18 and move its admission at the end of  
18 cross.

19 And there is one last thing I'd like to do,  
20 Mr. Examiner. We have received some letters of  
21 support from other operators in the pool. And I'd  
22 like to just offer them to be included in the case  
23 file. They are letters from BTA, Teledyne, R.B.  
24 Operating, Harken, Hallwood, and Ray Wesco. They are  
25 all here.

1                   That concludes my direct examination of Mr.  
2 Vanorsdale.

3                   CHAIRMAN LEMAY: Mr. Kellahin?

4                   MR. KELLAHIN: Mr. Chairman, we'll take  
5 exception to Exhibit 17. It's hearsay testimony, and  
6 I assume the Commission will do as it does usually  
7 with correspondence applied to a particular case;  
8 simply read it, put it in the case file, and it will  
9 not form a basis upon which to decide in this case.

10                  MR. CARR: I would also like the record to  
11 reflect I did not move its admission, and suggest you  
12 do just that. Put it in the case file.

13                  CHAIRMAN LEMAY: You're in agreement there.

14

15                               CROSS EXAMINATION

16                  BY MR. KELLAHIN:

17                  Q       Mr. Vanorsdale, if I understood you  
18 correctly, you have one well model upon which you have  
19 made your conclusions?

20                  A       Yes, that's correct.

21                  Q       And the well that you have matched, the  
22 history with your model is the Carrasco 14 Number 1  
23 well?

24                  A       Yes.

25                  Q       Did you attempt to simulate the performance

1 of two wells in the reservoir as opposed to a single  
2 well?

3 A Yes, I did.

4 Q With what result?

5 A I wasn't able to obtain a match.

6 Q You couldn't get a history match on the  
7 higher GOR well.

8 A I didn't have the time.

9 Q Did you attempt to simulate the performance  
10 of three wells in the reservoir?

11 A No, I did not.

12 Q How about four wells?

13 A No.

14 Q When we look at Exhibit Number -- let me  
15 ask you this about the model. We've got a one-well  
16 model. And in response to Mr. Carr's questions a  
17 while ago, you said you adjusted the model to put some  
18 structure in the model to see what would happen to the  
19 performance of the single well?

20 A Yes, I had took the model that I had and  
21 tilted it seven degrees.

22 Q If you don't have a second well to model in  
23 the simulation it's not going to be very useful to  
24 take a single well and simply tilt the structure of  
25 the model, is it?

1           A       I think so because you can detect what the  
2 gas saturation migration is going to do from block to  
3 block.

4           Q       When we look at your blocks, I think that  
5 is shown on Exhibit 14. Do you have a copy of that?

6           A       Yes. Exhibit 14.

7           Q       The M1 interval on the model is the top  
8 block?

9           A       Yes.

10          Q       In the model we'll assume within that block  
11 that there are no flow restrictions within that block.  
12 Right?

13          A       No.

14          Q       When you look at M1 and the shape and size  
15 of that block, are we using the same pressure within  
16 that block?

17          A       Essentially, yes. We're talking about a  
18 vertical distance of about 48 feet. I don't think it  
19 would be practical to go to any smaller grid size in  
20 order to model pressure response in a vertical  
21 direction.

22          Q       Mr. Burks has told us within the M1 block  
23 he has a lenticular reservoir that is separated by  
24 shale barriers?

25          A       Yes.

1 Q By looking at the right block?

2 A That's probably present in most of these  
3 sands.

4 Q But you didn't attempt to model or  
5 assimilate the characteristics of that block by  
6 breaking it apart further into separate blocks.

7 A No. That would have even resulted in less  
8 gas migration had I inserted any vertical barriers.

9 Q When we look at the four blocks, does the  
10 computer simulation input any flow restrictions  
11 between the blocks?

12 A There were barriers within the blocks, yes,  
13 but I have enabled to crossflow around the --

14 Q Say that again. I'm sorry.

15 A I have established as is shown here on  
16 Exhibit 14 barriers between the sands themselves, but  
17 I have enabled in a simulation, flow, crossflow at the  
18 well bore.

19 Q I'm sorry, you have enabled the model to  
20 crossflow between the barriers?

21 A To permit fluid crossflow between the  
22 members at the well bore.

23 Q So these are not absolute barriers between  
24 the four blocks?

25 A No, and they shouldn't be considering that

1 the well has been fracked.

2 Q If I look at Exhibit 13, those are your  
3 input parameters for your simulation?

4 A Yes.

5 Q The original oil-in-place number for 40  
6 acres, you've got 1949 stock tank barrels of oil?

7 A Yes.

8 Q Where does that number come from?

9 A That was derived from a simulation. The  
10 computer calculates the oil in place.

11 Q If I take Exhibit 16 then, and I take the  
12 original oil-in-place number --

13 A Okay.

14 Q -- and you have told me that at 2,000 to  
15 one gas/oil ratio I'm going to get 10.58 percent of  
16 the original oil in place out of that 40-acre tract?

17 A Yes.

18 Q So if I make that calculation, come up  
19 with, what, 208,000?

20 A Should be about 200,000 barrels of oil.  
21 This well has already produced approximately 90,000  
22 barrels of oil.

23 Q And then if we move out to the 5,000 to one  
24 gas/oil ratio, the percentage of recovery drops to  
25 10.32 percent?

1           A       Yes.

2           Q       And if we take 10.32 percent of the oil in  
3 place, it's going to get us what, maybe 195,000?

4           A       Yes, I think probably on the order between  
5 five- and 7,000 barrels.

6           Q       So somewhere between five- and 7,000 bears  
7 of oil are going to be left in the reservoir per  
8 40-acre tract based upon your simulation, and if we  
9 change the gas/oil ratio from 2,000 to one to 5,000 to  
10 one?

11          A       Using a simplified assumption that the well  
12 will continue to produce for 20 years.

13          Q       How many 40-acre tracts are currently  
14 producing?

15          A       I don't know.

16          Q       Let me ask you to turn to Exhibits 15, Mr.  
17 Vanorsdale.

18                   I'm sorry. I've gotten ahead of myself.  
19 There was one question on 13 on reservoir simulation  
20 input. We talked about the oil in place. When we  
21 look about the individual reservoir data down in the  
22 bottom portion of the display and we look at the  
23 columns --

24          A       Yes.

25          Q       -- look over at column L1. And last row of

1       that column is an initial solution gas/oil ratio.

2           A       Yes.

3           Q       You get 875. And that's, what, gas/oil  
4       ratio -- solution gas/oil ratio for that zone?

5           A       Yes.

6           Q       Why is that substantially different than  
7       the other three which are identical?

8           A       That is a function of several different  
9       things. For one thing, that may very well represent a  
10      bubble point pressure for that particular reservoir.  
11      So that would not necessarily be alarming.

12                    Another thing, in a history match there are  
13      several variables which are exactly that. There is  
14      some degree of leeway. I could possibly have obtained  
15      a similar match with a slight adjustment of that  
16      value. Possibly in a higher direction. The same may  
17      be true of the other solutions of the gas/oil ratio.

18           Q       To get a history match on the Carrasco 14-1  
19      well that satisfied you, what are the parameters that  
20      you're adjusting to make that match?

21           A       Primarily relatively permeability data.  
22      That is oil and water relative permeability, and oil  
23      and gas relative permeability.

24           Q       Can you tell us what the final relative  
25      permeability was used in order to get a match that

1 satisfied you?

2 A Well, it would have to be presented in  
3 tabular form because it varies as a function of the  
4 oil saturation.

5 Q Let's turn to the match if we look on  
6 Exhibit 15. The first part of the match is, you're  
7 trying to get the simulation to match oil production?

8 A Yes, that's correct.

9 Q That's what's on the first page here.

10 A Yes.

11 Q The simulation is identified by the arrow  
12 that says match, and that is the line that remains  
13 flat. And then by the beginning of 1991 starts to  
14 decline?

15 A That's correct.

16 Q And the actual is the jagged peak display  
17 portion of the exhibit.

18 A Yes, sir.

19 Q Where did you get the actual production in  
20 oil upon which to history match your model?

21 A That was provided by R.B. Operating and  
22 Bird Creek.

23 Q Can we turn to page 2? What are you  
24 matching on this page?

25 A This is a reservoir pressure. And this has

1       been converted to a subC datum of 3100 feet.

2           Q       And in the last page you're trying to also  
3       match the gas/oil ratio that is calculated based upon  
4       the production from the well?

5           A       Yes, that's correct.

6           Q       Does it make a substantial difference in  
7       your conclusion if the oil production that you're  
8       matching has been curtailed and what you're matching  
9       is curtailed oil production?

10          A       No, not really.

11          Q       Curtailed oil production in order to  
12       satisfy you that the gas or the oil allowable would be  
13       a volume less than the performance abilities of the  
14       well, would it not?

15          A       Yes.

16          Q       So what you are projecting if this  
17       production is matching curtailed production reported  
18       from the well, is simply that, curtailed production.

19          A       Until it reaches a point at which it can no  
20       longer meet that curtailed amount, which is what is  
21       illustrated at the beginning of 1991. That represents  
22       a position within the reservoir energy that the well  
23       could no longer meet that allowable.

24          Q       Where on page 1 of Exhibit 15 do you show  
25       what the allowable level is for the well?

1           A       Exhibit 15?

2           Q       Uh-huh.

3           A       The allowable would represent that flat  
4 line.

5           Q       When you simulate the performance of the  
6 well, did you input a maximum rate that represented  
7 the maximum allowable for that well using a 2,000 to  
8 one gas/oil ratio?

9           A       Are you talking about a gas allowable, or  
10 the oil -- are you talking about the 142 barrels per  
11 day or --

12          Q       No, I'm talking about the 284. That's the  
13 controlling number. Is it not?

14          A       It's supposed to be, yes. But for this  
15 match, this well went above that gas/oil ratio, so I  
16 hadn't compensated for that in order to accurately  
17 represent what was going on in the reservoir.

18          Q       I'm sorry. It's still not clear to me what  
19 you have matched with the simulation.

20          A       Okay. I have restricted the oil production  
21 rate. But because they exceeded the GOR of 2,000 to  
22 one, which as I understand is on a temporary basis all  
23 right as long as over the year's period of time it's  
24 cleared up, I went ahead and had no restrictions on  
25 that GOR. If you were to -- as a matter of fact, I

1 did this in the initial run -- if you were to impose a  
2 GOR of 2,000 to one, the match wouldn't have been as  
3 good.

4 Q Looking at your model in summary, we have a  
5 one-well simulation of the performance of this single  
6 well in the pool. Right?

7 A Yes.

8 Q And you have not taken account of structure  
9 in making that model. It's neutral as to structure.

10 A I wouldn't say that; the models that I have  
11 prepared. One of them was at a seven degree dip.

12 Q I understand. But the actual conclusions  
13 that are represented on Exhibit 16 assume no  
14 structural component in the calculations.

15 A That's true.

16 Q It also assumes there is no free gas  
17 movement within the structure?

18 A It doesn't assume that. That's the results  
19 of the simulation.

20 MR. KELLAHIN: Thank you.

21 CHAIRMAN LEMAY: Additional questions of  
22 the witness?

23 MR. CARR: May it please the Commission, at  
24 this time I would like to have the witness identify  
25 Exhibit 18, and then move its admission.

1 BY MR. CARR:

2 Q Mr. Vanorsdale, could you identify for the  
3 record what has been marked as Bird Creek Exhibit 18?

4 A Yes, Exhibit 18 illustrates the typical  
5 initial bottomhole pressure data for wells as they  
6 come on line. So in that regard I'm comparing  
7 pressure versus time.

8 In a reservoir that was in complete  
9 communication, in other words, there is a depletion  
10 effect to some extent on all wells, the reservoir  
11 pressure would decline whether or not a particular  
12 location was actually in the process of being  
13 produced. So that when you drill a well there, there  
14 has been some depletion in the reservoir; therefore,  
15 the reservoir pressure at that location would be very  
16 similar to reservoir pressure in the other wells that  
17 have been produced for a period of time.

18 If there is some discrepancy in that, that  
19 would indicate there is not communication.

20 Q This is the plat that shows the absence of  
21 that discrepancy?

22 A Yes.

23 Q Was this exhibit prepared by you?

24 A Yes, it was.

25 MR. CARR: I move the admission of Bird

1 Creek Exhibit 18.

2 CHAIRMAN LEMAY: Without objection 18 will  
3 be entered into the record.

4 MR. CARR: That concludes my examination of  
5 this witness.

6 CHAIRMAN LEMAY: Any cross on Exhibit 18?

7 MR. KELLAHIN: No, sir.

8 CHAIRMAN LEMAY: Additional questions of  
9 the witness? Mr. Weiss?

10 CROSS EXAMINATION

11 BY MR. WEISS:

12 Q Could you have gotten the same match  
13 without -- with the grid without any blocks in it?  
14 Just a box?

15 A No. You need quite a few grids in order to  
16 actual simulate the pressure and fluid in distribution  
17 within the reservoir. I first started to model this  
18 with fewer grids and wasn't coming up with very good  
19 match. You really need to have as many small grids as  
20 possible in order to represent that distribution  
21 through the reservoir.

22 Q The problem was when you had fewer grids  
23 was matching what?

24 A Matching everything.

25 Q The production didn't match. Looks to me

1       like you could with just a box.

2           A       You have very abrupt changes in pressure  
3       fluid saturations as you go from one block to another  
4       when the blocks are very large.   When you have many  
5       small blocks there is very little change within each  
6       one.   So it more accurately represents flow of  
7       pressure of fluids within the reservoir.

8           Q       Well, what we see here, this could be done  
9       with one block.

10          A       No.

11                 MR. KELLAHIN:   That was Exhibit 15, Mr.  
12       Weiss, is that correct?

13                 MR. WEISS:   Yes, it was.

14       BY MR. WEISS:

15           Q       And the reservoir pressures were measured  
16       -- how were they measured?   There is a lot of  
17       fluctuation in tight reservoirs.   Did you attempt to  
18       calculate D bar or is this the pressure?

19           A       For the static gradients they were run --  
20       most of the static gradients run for a period of seven  
21       days.   So seven days is an adequate period of time  
22       within which to obtain a reasonable reservoir pressure  
23       even in a tight formation.   We also had seven-day  
24       build-up tests as well as static gradient tests.

25                 COMMISSIONER WEISS:   No further questions.

1 CHAIRMAN LEMAY: Any other questions?

2 (No response.)

3 CHAIRMAN LEMAY: You may be excused. Does  
4 that conclude your --

5 MR. CARR: That concludes our presentation.

6 CHAIRMAN LEMAY: Let's take a 15-minute  
7 break.

8 (Recess taken.)

9 MR. KELLAHIN: Mr. Chairman, I would like  
10 to call as my first witness Ms. Bonnie Wilson.

11 DIRECT EXAMINATION

12 BY MS. KELLAHIN:

13 Q Ms. Wilson, for the record, would you  
14 please state your name and occupation?

15 A Bonnie Wilson. I'm a reservoir engineer  
16 for Oryx Energy.

17 Q Have you on prior occasions testified  
18 before the Oil Conservation Division and the  
19 Commission as a reservoir engineer?

20 A Yes, I have.

21 Q And did you testify before examiner  
22 Catanach back in February in a hearing in this case?

23 A Yes, I did.

24 Q In preparing for your testimony today, have  
25 you modeled the performance of wells in the East

1 Loving Delaware pool in Eddy County, New Mexico?

2 A Yes, I have.

3 Q Have you updated your information since the  
4 last hearing so that your information is accurate and  
5 current?

6 A Yes.

7 Q In addition, has Oryx run well sensitivity  
8 tests on their production to determine whether or not  
9 in actual well bore conditions there would be  
10 escalating gas/oil ratios at higher producing GOR?

11 A Yes. We ran such a test on Pardue Farms  
12 Number 1.

13 MR. KELLAHIN: We Tender Ms. Wilson as an  
14 expert reservoir engineer.

15 CHAIRMAN LEMAY: Her qualifications are  
16 acceptable.

17 THE WITNESS: Thank you.

18 BY MR. KELLAHIN:

19 Q What is your conclusion, Ms. Wilson, about  
20 the appropriate gas/oil ratio for this pool?

21 A At this point in time I believe that the  
22 2,000 to one are allowable. It may not be the  
23 optimum, but I think it is sufficient to produce the  
24 most oil recovery that we can from the field.

25 Q What is the most optimum gas/oil ratio for

1 the pool?

2 A It would be very low. Maybe even less than  
3 1,000, but you reach a point of economic returns where  
4 if you can't sell oil or gas from your wells by  
5 holding back your rates, then you can't drill your  
6 wells, so it becomes a balance between economics and  
7 loss of reserves.

8 Q Are those equities balanced at the  
9 statewide 2,000 to one gas/oil ratio that's been the  
10 gas/oil ratio for this pool from inception of its  
11 first production until now?

12 A Yes.

13 Q What in your opinion occurs if the  
14 Commission adopts a gas/oil ratio as the applicant  
15 requests and places it at 5,000 to one?

16 A Changing the GOR allowable to 5,000 would  
17 change the New Mexico gas rate to 710 MCF, and this  
18 would allow wells of high GOR's to produce high gas  
19 rates and it would result in depletion of reservoir  
20 energy and a loss of recovery.

21 Q Have you estimated what the ultimate loss  
22 in oil recovery is on a pool-wide basis if we go from  
23 2,000 to one to 5,000 to one gas/oil ratio?

24 A My estimate of the loss in primary recovery  
25 is 763,000 barrels of oil. That's roughly at \$20 a

1 barrel. That's worth about 15 million dollars.

2 Q You've studied this reservoir and its  
3 performance and production for a considerable period  
4 of time. Describe for us in a conclusion statement  
5 how this well -- how the wells in the pool are  
6 operating and the character and description of the  
7 reservoir.

8 A We have GOR's across the field that vary  
9 from 900 to over 10,000. That's the problem; these  
10 varying GOR's. There are specific reasons why the  
11 wells produce at different GOR's.

12 The large amount of gas in this high GOR  
13 wells is coming from somewhere, and in this reservoir  
14 it's gas that has been resolved from this solution. I  
15 think we all agree it's a very complex reservoir.

16 There are four distinct sands. Anywhere  
17 from two to four of those sands are in the individual  
18 wells. Some only -- some wells only have two sands,  
19 some wells have three or four. All the wells have  
20 been fractured in the field.

21 So now all of these sands even if they were  
22 separate are now in communication, well beyond the  
23 well bore. If our fractlinks are correct, we have  
24 propped fracts with infinite conductivity.

25 I believe that this reservoir is in

1 pressure communication between all of these sands. I  
2 believe initially the reservoir was very near its  
3 bubble point. It may have been slightly above of or  
4 slightly below.

5 There may have been a few very small  
6 initial gas caps that may not have been maybe to what  
7 I believe to be secondary gas caps or localized gas  
8 caps.

9 The way I view this reservoir is I view it  
10 like a maze. There is a lot of dead-end alleys, but  
11 they are all in pressure communication. It just might  
12 take quite a while for that communication to show up.

13 I believe that the high GOR's are a  
14 function of three factors: permeability, depletion,  
15 and reservoir structure.

16 Q When you look at a description of the  
17 reservoir and look at these four main sand members of  
18 the primary producing interval and pool, there are  
19 indications of shale between those members, are there  
20 not?

21 A Yes.

22 Q Within each sand member there are also  
23 occasional indications of shale. Are there not?

24 A I don't see shale barriers or indications  
25 of shale within sand members.

1           Q       Within a given sand member, do you as a  
2       reservoir engineer conclude that that sand member is  
3       anything other than pressure communicated within that  
4       sand member itself?

5           A       Vertically within the sand members, yes, I  
6       believe that within a sand member that that sand  
7       member is in pressure communication.

8           Q       And among the four individual sand members,  
9       what do you conclude about the communication among  
10      those four members?

11          A       Since we have propped fractures that  
12      communicate the sands, they're on pressure  
13      communication also.

14          Q       Describe for us the method that you chose  
15      to go about simulation of the performance of the  
16      reservoir so that you could accurately forecast what  
17      would be the ultimate impact if the gas/oil ratio was  
18      changed from 2,000 to 5,000 to one.

19          A       I built a simulator that included four  
20      wells in a structural position; a high GOR well  
21      structure, a low GOR well structure, two different  
22      wells so I could model what would be gas migration to  
23      the higher structure position.

24          Q       Why did you not choose to do what Mr.  
25      Vanorsdale did, and that is to take a single well such

1 as the Carrasco 14-1 and model the performance of that  
2 single well?

3 A You can't investigate where the depletion  
4 of the reservoir energy is going to do, but between  
5 two wells with one well model, you need at least two  
6 wells.

7 Q If you were to take a single well model and  
8 put some structure into the model, what would that  
9 tell you about the ultimate recoveries from the single  
10 well?

11 A Very little. You need a well-up structure  
12 to produce at a higher GOR to produce the higher GOR  
13 energy.

14 Q The model you have selected includes four  
15 wells?

16 A Yes.

17 Q Describe for us the kinds of  
18 characteristics that caused you to select each of the  
19 wells that went into the model. Is there a structural  
20 relationship to each of those four wells?

21 A I chose a high structural well, two wells  
22 that were medium structure, and then the lower  
23 structure well. The high well would have high  
24 producing GOR and the lower well would have a lower  
25 producing GOR.

1           Q       Let's turn to what is marked as Exhibit  
2       Number 1. Does this represent your work product?

3           A       Yes.

4           Q       What are your conclusions based upon your  
5       reservoir simulation using the four-well model?

6           A       I refer you to the back page, first to look  
7       at Conclusions, page 9.

8           Q       Okay.

9           A       These show the six model forecasts that I  
10       made; two at 1,000 GOR, two at a limited GOR of 2,000,  
11       two at a GOR of 5,000. I ran the forecasts two  
12       different ways. The top curve shows what happens when  
13       you lay the wells flat and incorporate no dip and you  
14       don't consider the fact that there may have been gas  
15       cap wells obstructure. The lower curve, which I will  
16       show with a history match, shows what happens to your  
17       recovery, how drastically your recovery is decreased  
18       when you do add dip and you do consider high GOR  
19       wells.

20          Q       Do you have a copy of Mr. Vanorsdale's  
21       conclusion summary display?

22          A       Yes.

23          Q       That shows his ultimate projection. When  
24       we look at your top line, and that's the assumption of  
25       no dip and no gas cap, how does that compare to Mr.

1 Vanorsdale's conclusions?

2 A I believe they are quite similar. I'm  
3 showing that if you don't consider dip or a gas cap,  
4 then you reduce your recovery from 12.8 percent to  
5 12.6 percent, which is basically negligible over the  
6 life of the field. That's what Mr. Vanorsdale stated  
7 about his estimates. You can see his reserves quite  
8 flat too; little measurable difference from the 2,000  
9 to the 5,000.

10 Q When we look under the assumption of no dip  
11 and no gas cap, there is still a change in ultimate  
12 gas recovery between the 2,000 to one and the 5,000 to  
13 one. The 5,000 to one gas/oil ratio will get you less  
14 ultimate oil recovery?

15 A Yes, it will be less.

16 Q Why have you chosen to input a dip and a  
17 gas cap into the simulation of the reservoir?

18 A First of all, I drilled wells out there  
19 that have very high initial GOR's. Some wells when  
20 they were drilled have GOR's of 7,000 initially. And  
21 then the secondary is the fact that there is a degree  
22 of dip to this reservoir. There is a structural.  
23 We've mapped it and I've included it in the model.

24 Q In your opinion, which is the simulation  
25 method that most accurately reflects the actual

1 conditions of the reservoir and the performance of the  
2 wells in the reservoir?

3 A The four-well model including dip and the  
4 gas cap would more accurately represent what is going  
5 on in the rest of them.

6 Q Using that forecast at 2,000 to one gas/oil  
7 ratio, what is your percentage of ultimate oil  
8 recovery?

9 A At 2,000 to one is 12.2 percent of oil in  
10 place.

11 Q When we look at the 5,000 and one gas/oil  
12 ratio, what is your percentage of oil in place  
13 recovery?

14 A At 5,000 to one it is 10.8 percent recovery  
15 of your oil in place. That's an 11 percent reduction.  
16 So you've lost 11 percent of your primary production  
17 from your well.

18 Q Have you determined what in your opinion is  
19 the original oil-in-place number?

20 A Yes.

21 Q When you take that oil-in-place number and  
22 run the calculation, what is the ultimate oil left in  
23 the reservoir that will not be recovered if we  
24 increase the gas/oil ratio as the ultimate request?  
25 That's the 7,000 --

1           A       663,000, yes.

2           Q       Let's go back then to the beginning of page  
3 1 of Exhibit 1 and have you take us through each of  
4 the displays and demonstrate to us how you have  
5 tailored the model to fit the history of the  
6 performance of the wells that you have chosen. And  
7 the reliability and confidence that you have that you  
8 can now accurately forecast the performance of the  
9 pool with this model.

10          A       Page 1 simply shows my model grid. Each  
11 black dot shows one of your four wells. There are  
12 four wells there. Each well has 40 acres of drainage  
13 assigned to it. Each well is five layers thick, an  
14 average thickness of 50 feet across the field. And  
15 there's one degree of dip in a mile.

16          Q       One degree of dip per mile is it?

17          A       Yes. One degree of dip.

18          Q       And that's the structural component?

19          A       Yes.

20          Q       What is the significance of the shaded  
21 area?

22          A       This shows the area that you have in the  
23 model built in as an initial gas cap. It's a small  
24 volume, but I was unable to get GOR's as high as these  
25 structural wells were making without inserting a small

1 gas cap.

2 Q What is your field evidence available to  
3 you to demonstrate in your opinion that there was an  
4 initial gas cap in the reservoir?

5 A I will show the high GOR wells that show  
6 the high -- their productive characteristics.

7 Q Page 2 is the reservoir simulation input  
8 data?

9 A Yes. There are three pieces of data that  
10 you need in your simulator; one is your reservoir  
11 geometry, the other is your rock properties, and then  
12 the third one is your fluid properties. These are a  
13 listing of the rock and fluid properties. I used 16  
14 percent porosity average, 15 feet. Irreducible water  
15 saturations of 26 to 30 percent, and these are based  
16 on actual relative permeability data.

17 We ran oil, gas, and oil/ Water level  
18 permeability data, and I input that data directly into  
19 this model and did not change it.

20 The oil properties, PVT data is included as  
21 Exhibit A, I believe.

22 Q We'll come to that. The PVT data used in  
23 the simulation is attached to Exhibit 8 that's in the  
24 exhibit package?

25 A Yes. There's a summary of that PVT data

1 here on the left side of the package.

2 Q Let's turn then to page 3 of Exhibit 1 and  
3 have you identify what you have described initially.

4 A Page 3 and page 4 are my history matches.  
5 I've history-matched two different cross sections  
6 across this field. You can see that the Teledyne  
7 Number 2, which is on the left-hand side, is a high  
8 GOR well. The plat on top is the gas/oil ratio, and  
9 the plat on the bottom is the oil production.

10 Q You're applying the same methodology that  
11 Mr. Vanorsdale did when he was matching gas/oil ratios  
12 and production.

13 A Yes. When you have a model, you check the  
14 accuracy of your model. You first compare your  
15 predictions, your early time predictions to the data  
16 to see how accurate your model is forecasting compared  
17 to your data. And from there you forecast it out  
18 further.

19 I have some GOR maps that will show you  
20 these cross sections and why I chose these wells. I  
21 built the model generically. I was not trying to  
22 absolutely history-match any individual distinct well.  
23 I was trying to model a process that I hoped to show  
24 on this independent GOR map what is occurring.

25 Q Let's take a moment so that we can compare

1 the location of your wells on the cross section of  
2 Exhibit 3, to those on one of your other displays.  
3 And perhaps it's best to go to Exhibit Number 3 to do  
4 that.

5 A Yes.

6 Q Let's do that for a moment. Let's go to  
7 Exhibit 3 and have you identify and describe for me  
8 what that is.

9 A There are four distinct layers in this  
10 reservoir. This is only the top layer; one of four.  
11 It is an isopach map showing porosity greater than 14  
12 percent, but it is probably the majority. Definitely  
13 more than half the production is coming from this  
14 layer, so that's why I chose to look at this layer.

15 Q This layer that you've marked "A Sand"  
16 corresponds to what nomenclature used by Bird Creek in  
17 their presentation?

18 A Corresponds to the M1 sand that Bird Creek  
19 used in their presentation.

20 Q Describe what you've done.

21 A We platted GOR's under this map. And every  
22 well that was producing has a GOR underneath it. Now,  
23 the only ones that I have colored are wells that have  
24 more than 10 feet of pay in the sand. If they have  
25 less than 10 feet of pay, I assume that the major

1 production for that well was coming from another sand.  
2 So the ones I've colored are the ones that show  
3 greater than 10 feet from the upper sand. That's why  
4 I've colored all of the dots.

5 What I have outlined are the three  
6 different areas of the field. These three different  
7 areas roughly correspond to three thicks in this sand.  
8 One sand in the south, there are two thicks that  
9 appear to be connected in the middle, and one thick in  
10 the north.

11 The area in the south has all very high GOR  
12 wells. The red dots indicate the GOR is greater than  
13 4,000. It is an area that has been opened, and is  
14 less productive. Most of those wells are not  
15 allowable wells, and they seem have high GOR's. They  
16 are also the oldest part of the field. I believe the  
17 fact that they are older and less productive means  
18 they are tighter. That is why these wells have a  
19 higher GOR.

20 The area that I'm trying to history-match  
21 in my model is closer to the middle area of the field.  
22 In general you see yellow dots which indicate low GOR  
23 to the right, blue dots towards the middle, and red  
24 dots to the northwest indicating a higher GOR.

25 So you can see how the GOR is grading

1 across this area. Now, it's not perfect. It's an  
2 extremely complex reservoir, and there are three other  
3 sands here that have to be included, but I'm trying to  
4 understand the structural relationship and why certain  
5 wells have higher GOR's than other wells.

6 Q The color code at the bottom of the display  
7 shows the range of the gas/oil ratios used to identify  
8 those wells?

9 A Yes.

10 Q Is there a significant structural component  
11 that's related to the gas/oil ratio?

12 A Yes, if you go to the Exhibit Number 4,  
13 I've taken the same areas and the same dots. I've  
14 laid them over on a structure map.

15 If you look at the middle area, in general  
16 the wells with the higher GOR's are shown high on the  
17 structure.

18 Q When we return now to page 3 of Exhibit 1,  
19 the wells on this page 3 with the wells on page 4 are  
20 going to correspond to the line of wells connected on  
21 the structure map that is shown on Exhibits 3 and 4?

22 A Yes. If you look at section 14, there are  
23 two cross sections shown on section 14. One goes from  
24 the Teledyne Number 2 to the Teledyne Number 1 to the  
25 Carrasco 14 Number 2 to the Carrasco 14 Number 3.

1 That's page 3 of the model output. And in the other  
2 exhibit it goes from the width of the tract RGA to the  
3 Reid.

4 But those are the wells that I'm showing a  
5 history match against. Again, I was not trying to  
6 absolutely match specifically an exact well. If I  
7 went to that much detail to match a single well, then  
8 I would no longer have something that was  
9 representative of a reservoir. I wanted something  
10 that was generic enough that it would be  
11 representative of in general what the reservoir was  
12 doing.

13 Q Your line of cross section for the wells in  
14 which you matched is perpendicular to the structure.  
15 Is it not?

16 A Yes.

17 Q So you've taken into account in the  
18 modeling the actual structure within this portion of  
19 the pod of the reservoir?

20 A Yes.

21 Q What does the match tell you? Are you  
22 satisfied with the match?

23 A I think it's reliable. It's not excellent,  
24 but I think it's going to give you a lot of results  
25 that tell me that my model is working sufficiently

1 enough for me to forecast and believe in my results.

2 If I look specifically at the Teledyne  
3 Number 2, my GOR's match pretty well on that well. My  
4 oil rights are a little lower. But if you look at the  
5 next cross section, the width of Number 1, its GOR is  
6 up around 10,000. I'm falling a little bit short on  
7 that well, but my oil production looks pretty good.

8 So if I would fix the oil production for  
9 Teledyne Number 2, then I ruin the match on the Witt  
10 Number 1. Again, I'm trying to average what I'm  
11 seeing in various wells rather than picking out a  
12 specific well.

13 Q Within the context of trying to determine  
14 the difference, if any, between 2,000 and to 5,000  
15 gas/oil ratio, are you satisfied that you have  
16 sufficient history on these wells in which to make a  
17 reliable forecast of the magnitude of difference in  
18 recoveries if we change the gas/oil ratio?

19 A Yes.

20 Q Identify and describe then the second cross  
21 section on page 4.

22 A The second cross section is just from the  
23 Witt to the fracture of the RGA3.

24 Q I think you have satisfied yourself that  
25 you have sufficient history in which to accurately

1 match your simulation. Have you attempted to adjust  
2 parameters to accurately reflect the heterogeneous  
3 character of the reservoir?

4 A No. In history matching, the only thing  
5 that I altered during the history matching was that  
6 production began in this field in 1987, and most of  
7 these wells didn't begin production at that point, so  
8 I produced the model for relatively about a year to  
9 allow for a depletion of the reservoir prior to these  
10 wells coming on. So I had to add the gas cap and the  
11 only -- I played with the permeability a little bit.  
12 I settled on three millidarcies, which appears to  
13 match pretty well.

14 Q My point is, you have selected reservoir  
15 parameters that are specific to reservoir data.

16 A Yes.

17 Q Does it matter in your simulation that in  
18 the early producing life of some of the Oryx wells  
19 there may be a question about whether or not we have  
20 accurately reported all the gas production from those  
21 wells?

22 A I don't have any Oryx wells in these two  
23 cross sections, so it would not be related.

24 Q When we get to page 5, the display says,  
25 Upper Well Model Forecast. What does make mean?

1           A       Once you have obtained the correct history  
2 match, then the forecaster is rematched. These are  
3 17-year forecasts. The next four pages are forecasts  
4 for the four wells.

5                   In the upper left-hand corner, you have oil  
6 production. In the upper right-hand corner it shows  
7 the gas production. In the lower left-hand corner I  
8 have platted cumulative oil production. And in the  
9 lower right-hand corner we have reservoir pressure.

10           Q       What is the conclusion?

11           A       There are two things that are very  
12 important to notice and compare about the upper well  
13 and the next well beneath it. I think what is most  
14 important -- I'm looking at the lower left-hand corner  
15 -- the cumulative oil production. You can see that  
16 the red curve is the 5,000 to one GOR curve, and you  
17 can see that is showing a cumulative production  
18 slightly more than that light blue curve, which is the  
19 2,000 to one GOR production.

20                   So an upper well, a high GOR well in the  
21 five- to 10,000 range is going to very slightly  
22 benefit from raising this allowable.

23                   The next point to make is in the upper  
24 right-hand corner, you can see that, again, the red  
25 curve shows the 5,000 GOR well. You can see that this

1 well increases up to 710 MCF of gas per day where it  
2 goes flat for about two years, and then it can no  
3 longer produce that maximum rate of 710 MCF gas per  
4 day after that.

5           You can see the blue curve shows how many  
6 years -- the light blue curve shows how many years  
7 that well would limit at the maximum rate of 284 if  
8 you retained the 2,000 to one GOR.

9           Q       This well in the upper portion of the  
10 structure in the reservoir then receives some short  
11 time small benefit from increasing the gas/oil ratio?

12           A       Yes, but it's at the detriment of the next  
13 three lower wells, and that's what the next three  
14 curves show, the next three pages.

15           Q       Show us that. What is the detrimental  
16 effect then on the other three wells lower in the  
17 model?

18           A       On page 6 in the lower left-hand corner the  
19 red curve shows that that well would produce 100,000  
20 barrels of oil that would raise the GOR limit to  
21 5,000.

22                   The light blue curve shows that that well  
23 would produce over 125,000 barrels of oil if we leave  
24 the GOR limit at 2,000. That's more than 25,000  
25 barrels of oil production for this well. If you look

1 at the upper right-hand corner, you can see that this  
2 well never benefits from a 5,000 to one GOR. It can  
3 never produce 710 CFM of gas per day.

4 The further away that you get from these  
5 high GOR wells as you move down structure, this  
6 becomes less severe, the further away you get. But if  
7 you're neighboring one of these wells, the pressure  
8 depletion is going to affect you this much.

9 Q Page 7.

10 A Page 7 you can see that the difference  
11 between the red and the light blue curve in the lower  
12 left-hand corner is showing less of a loss, but it  
13 still is a significant loss in recovering. And you  
14 can see in the upper right-hand corner that, again,  
15 this well never benefits from a maximum gas rate of  
16 710 CFM of gas per day.

17 Q Finally, the last well at the lowest  
18 structural point.

19 A It is still being harmed even though it is  
20 much less of a harmful situation from the lowest  
21 wells.

22 Q Apart from reservoir simulation, have you  
23 done any conventional material balance calculations?

24 A Before I began the simulator I actually did  
25 a material balance to help me understand how the well

1 is working. That is Exhibit Number 2.

2 Q What is the purpose of this particular of  
3 this material balance calculation? What are you  
4 trying to find out?

5 A This is the material balance calculation  
6 for a solution gas drive reservoir. The second page  
7 shows the results of that.

8 Q Can you take a material balance calculation  
9 and determine recovery factors as a function of  
10 cumulative GOR?

11 A The recovery factor is inversely  
12 proportional for a GOR for a solution gas drive  
13 reservoir. I have put the specific PVT data into this  
14 formula so I can plot the actual curve for this  
15 reservoir, and that's what is shown on the second  
16 page.

17 You can see that as GOR's go up, your  
18 recovery factors go down. Now, we can't control the  
19 actual GOR that a single well produces at. And this  
20 is important because it explains the difference  
21 between the two models. If you look at one well, you  
22 cannot change the GOR of that one well. Your rock  
23 properties control that. Your PVT controls that.  
24 Your reservoir geometry controls that single well.

25 But if you look at an entire field and not

1 just a single well, and you have high gas rates updip  
2 and high oil rates downdip, by limiting how much  
3 energy you pull out updip, how much gas you pull out  
4 updip and pulling out more oil downdip, you can shift  
5 your field GOR down this curve, and you can actually  
6 increase your recovery.

7 Q Let's go to the Exhibit Number 3 again.

8 Having explained to us on three the area  
9 that you have simulated within the reservoir, go on  
10 and complete your explanation and discussion about  
11 this isopach.

12 First of all, looking at the three areas,  
13 relate the three areas to us in terms of thickness.

14 A The three areas represent the three  
15 thicknesses in the reservoir that I see in this top  
16 layer of sand.

17 Q Give us a description of each of the areas  
18 and how they are similar and dissimilar.

19 A The lower sand appears to be -- the lower  
20 thick appears to have wells that don't produce at high  
21 rates or as high of rates as the wells in the other  
22 two areas. And I'm interpreting this to believe that  
23 this part of the reservoir may be tighter in  
24 permeability.

25 The other two areas seem to have wells that

1 are similar in productivity characteristics. These  
2 are very good wells and these produce at high rates.  
3 And the other two areas seem to have very similar  
4 productive characteristics.

5 What is different different about them is  
6 their age and development. This innerarea has been  
7 developed first, and the northwest area is currently  
8 being developed. That's why I have the dotted line to  
9 the west. We don't know the extent of it yet, and we  
10 haven't drilled the highest updip wells in this area  
11 yet.

12 Q Do you find pressure communication between  
13 the two areas?

14 A In this sand there may or may not have been  
15 pressure communication, but you have to remember there  
16 are three or sands there, and we have fractured and  
17 propped at every well bore these sands. And even  
18 though this sand may not communicate from one well to  
19 another between these two areas, if you drop down to  
20 our C sand or what Burks was calling their lower 1  
21 sand, then there is no permeability barrier between  
22 these two pods. So it would be a pressure  
23 communication now.

24 Q If we're looking at the A sand only and  
25 comparing the northwest pod to the central pod, right

1 along that common boundary, if you look at the north  
2 pod you have low gas/oil ratio wells.

3 A Yes.

4 Q If you move to the right of the pod you  
5 have high gas/oil ratio wells. What is the  
6 explanation?

7 A Which wells?

8 Q The second pod is the center pod. Along  
9 the common boundary between the two pods. Are you  
10 with me?

11 A No.

12 Q All right. The first pod is the northeast  
13 -- I'm sorry the northwest pod.

14 A Okay.

15 Q Do you see that?

16 A Yes.

17 Q Along its southeastern boundary are some  
18 low gas/oil ratio wells.

19 A Okay.

20 Q Move across the boundary line that you've  
21 interpreted to the southeast and you're now in close  
22 proximity to high gas/oil wells.

23 A Right.

24 Q What is the explanation?

25 A That's what I'm trying to show here, is

1 that there may be a permeability barrier in this upper  
2 sand or a flow barrier that is preventing gas  
3 migration at this point. But that doesn't mean that  
4 there is not pressure communication occurring through  
5 the lower zone. It means the gas has hit the cap;  
6 that it can't get past. Yet the pressure is  
7 communicated through the lower sands.

8 Q Let me have you turn now to Exhibit 4 which  
9 is the structure map again and have you complete your  
10 explanation about the structure map and the  
11 conclusions you derive from the structure map.

12 A Again, in the lower pod there doesn't seem  
13 to be a structural correlation. The wells there  
14 produce quite low rates and consistently high GOR.

15 In the center pod, I think that there is a  
16 distinct grading and GOR from downstructure to  
17 upstructure. The highest structural wells are the  
18 Witt, Teledyne -- and I can't remember the name on the  
19 other red well that shows the dot on it.

20 There are exceptions to this. Again, there  
21 are three other sands that I'm not looking at the  
22 structure of those first three sands or the  
23 permeability of the other three sands that may explain  
24 some of the anomalies, but I think in general it is a  
25 good correlation from low to high GOR's that match the

1 structure within that area.

2 Now, within the area northwest, the new  
3 pod, those wells may not have been drilled long enough  
4 to start seeing this gradient, plus we certainly don't  
5 have -- haven't figured out the northwestern range  
6 yet. That's why I would be expecting to see our  
7 highest GOR wells there that haven't been drilled yet.

8 Q Let me ask you to turn to Exhibit 5.

9 That summarizes your conclusions about the  
10 magnitude of oil left in the reservoir if we increased  
11 the gas/oil ratio.

12 A Using my forecast, if I incorporated the  
13 dip and the gas cap. I predict that your recovery of  
14 oil in place would be 12.1 percent. And that  
15 corresponded to the 2,000 to one GOR allowable. By  
16 raising that GOR allowable to 5,000 to one, that would  
17 correspond to a recovery of 10.8. Applying those  
18 recoveries to a reservoir volume in the original oil  
19 in place results in 763,000 barrels potential loss for  
20 this field.

21 Q Ms. Wilson, can we temporary increase the  
22 gas/oil ratio to 5,000 to one for a 12-month period  
23 and if production demonstrates that said that's a  
24 mistake, can we return to the 2,000 to one gas/oil  
25 ratio and recapture then the ultimate oil recovery in

1 the reservoir?

2 A No.

3 Q Why not?

4 A You're going to do your damage now. Your  
5 pressure depletion will have already occurred in the  
6 next year. By changing it now it will result in  
7 pressure depletion. If you want to change the field  
8 rules, you need to wait until the majority of your oil  
9 production has been produced and then change the field  
10 rules to allow for wells that are marginally economic  
11 to produce the higher GOR's.

12 Q Have you caused to be conducted on an Oryx  
13 well a rate sensitivity test to see what would happen  
14 in field conditions if you changed the gas/oil ratio  
15 on a specific well?

16 A I have indeed prepared number 6.

17 Q Identify the well and describe what was  
18 done to obtain the data.

19 A This is the Pardue Farms Number 1. These  
20 are the actual well tests on the field. We try to do  
21 them -- there are a few days missing. We find that if  
22 you don't flow the rates constant for a period of a  
23 week that you do not get stabilized rates. It's very  
24 difficult to get stabilized rates within that period  
25 because they are hitting and flowing. They flow slugs

1 of gas. Slugs of oil and slugs of gas.

2 But you can see that in general where the  
3 oil production was higher, and that was in April, our  
4 GOR's averaged for that period in the 3500 GOR range  
5 and our oil production was 195 barrels of oil per day  
6 for that period. And then --

7 Q Is that a reliable average?

8 A Yes.

9 Q Using that period of time, are you  
10 satisfied as a reservoir engineer that you adequately  
11 flowed the wells to get a reliable indication of the  
12 performance of gas and the oil within that well?

13 A Yes.

14 Q Contrast that then to the August test.

15 A In August we were holding our rates back  
16 lower. For one reason, we wanted to see this lower  
17 rate to see what the GOR's were going to be doing. I  
18 started out with a high rate and moved to a lower rate  
19 to prevent any depletion that might be masking. If  
20 you look at it backwards and start at a lower rate and  
21 go to a high rate, a depletion can make your GOR's go  
22 up.

23 So you want to start at a high rate and  
24 move to a lower rate. That's why we did it at a high  
25 rate and then low rate. We averaged 123 barrels of

1 oil per day. You can see how the GOR went down. It  
2 was 2,300 average.

3 So this indicates to me that there is rate  
4 sensitivity.

5 Q Have you looked at the production of any  
6 other well to see if it is sensitive as to rate and  
7 gas/oil ratios?

8 A The Teledyne Number 2 --

9 Q That's shown on Exhibit Number 7?

10 A Shown on Exhibit Number 7.

11 Q Describe the source of the data.

12 A This data came from the state records.

13 Q What have you tabulated?

14 A I've tabulated monthly oil and gas  
15 production in the average GOR for that month. The  
16 operator has been reducing those rates, producing at a  
17 lower rate to make up his own production. What I've  
18 tried to do is separate out what I saw as the two  
19 areas; the area of high oil rates, and the area of  
20 lower oil rates. And then I averaged the oil rates  
21 and the corresponding GOR's, and I saw that when I  
22 produced the 90 barrels of oil per day the GOR's were  
23 in excess of 6,000. And when they cut that oil rate  
24 in half, down to 55 barrels of oil per day, the GOR's  
25 dropped down to 3,000.

1 Q What is your conclusion?

2 A My conclusion, it is rate-sensitive to oil  
3 production rates.

4 MR. KELLAHIN: That concludes my  
5 examination of Ms. Wilson. We move the introduction  
6 of her exhibits, 1 through 7.

7 CHAIRMAN LEMAY: If there is no objection,  
8 Exhibits 1 through 7 will be entered into the record.

9 CROSS EXAMINATION

10 BY MR. CARR:

11 Q Ms. Wilson did I understand your testimony  
12 when you look at this reservoir do you see a  
13 homogeneous reservoir in all four zones, or do you see  
14 four separate zones in the reservoir?

15 A I see four separate zones.

16 Q And yet within each of those do you see any  
17 further separations and separation into separate  
18 lenses or stringers?

19 A I don't see any distinct separate lenses or  
20 stringers.

21 Q And you see communication vertically  
22 through how much of the structure?

23 A Vertically?

24 Q Yes.

25 A From my pressure build-up analysis -- I

1       only have one -- I calculated a fracture half-length  
2       of 30 feet. 30 feet out into the reservoir on either  
3       side of my well bore we have a propped fract. 30 feet  
4       into the reservoir we do have a 30 foot fract that is  
5       infinite conductivity between these layers.

6               Mr. Burks has testified that his fracture  
7       half-lengths were over 100 feet. But he has 100 feet  
8       on some of his wells.

9           Q       And is that infinite conductivity within  
10       that fracture?

11          A       Yes.

12          Q       That would in your opinion communicate the  
13       zones, one, two, three and four?

14          A       Yes.

15          Q       So what you're saying is the vertical  
16       communication from -- I don't know what you call it,  
17       A, B, C and D, and we call them M1, M2, L1, L2 you're  
18       seeing a vertical communication throughout out that  
19       zone. Is that how I understand your testimony?

20          A       Yes.

21          Q       Now, when you were -- what you're talking  
22       about is basically the completion technique being  
23       employed by altering the reservoir; therefore, you've  
24       got one zone. Is that right? Or a zone that is in  
25       communication top to bottom.

1           A       The completion technique has allowable  
2 pressure communication between all of these sand  
3 lenses.

4           Q       We can go to Exhibit Number 1. This is the  
5 basic model that you've been working from. Is that  
6 correct?

7           A       Yes.

8           Q       And you are basing this on the assumption,  
9 again, that we have this vertical communication.

10          A       Yes.

11          Q       And as you have testified, to get the match  
12 that you needed, you inserted a gas cap.

13          A       Yes.

14          Q       Without that you couldn't get the match?

15          A       That's correct.

16          Q       You also made some other adjustments, did  
17 you not, in the input data to get the match?

18          A       Varying permeability.

19          Q       And what permeability did you use?

20          A       I used a varying permeability between the  
21 layers; permeability between one layer, permeability  
22 between two and another layer, permeability of four  
23 and another layer, permeability of eight and another  
24 layer, permeability of 16 and another later.

25                 I felt like the permeabilities varied

1       within the range of the core that I was looking at.

2           Q       And even with the changes in permeability  
3       you couldn't get your match without the inclusion of  
4       the gas cap. Is that what you're telling us?

5           A       That's correct.

6           Q       Now, if we continued to model this model in  
7       the theory, it seems to me that what you would get is  
8       higher gas/oil ratio wells on the structure. Is that  
9       what you're trying to tell us?

10          A       Yes.

11          Q       Now, we go to the second page of this  
12       exhibit. We've got -- these are the input factors, is  
13       that right, into your model?

14          A       Yes.

15          Q       And you have used a porosity of 16 percent?

16          A       Yes.

17          Q       Where did you get that?

18          A       From our geologist.

19          Q       You relied on it. Do you know what that  
20       was based on?

21          A       It's an average porosity from the logs. I  
22       assume, the logs that he had.

23          Q       Do you know that?

24          A       No. He'll be on the stand, and you can ask  
25       him.

1           Q       Using that porosity, you got a net pay of  
2       50 feet. Is that right?

3           A       An average impact, 50 feet, yes.

4           Q       If you had used a lower porosity you would  
5       have gotten more in terms of the --

6           A       If I had used a lower porosity.

7           Q       Then you would have gotten --

8           A       Obtained a larger, yes.

9           Q       Okay. Now, we've got the permeability  
10       factor down at the end of 3.2 millidarcies. Did you  
11       get that from your geologist?

12          A       No, that was obtained from log data. That  
13       3.2 millidarcies is the log average of the one, two,  
14       four, eight, and 16 millidarcies.

15          Q       Did you use any core data or integrate any  
16       of that into this calculation?

17          A       The core data that I used to obtain that  
18       range was from the RGA Number 3.

19          Q       If we drop down, we have the oil  
20       properties. Are you assuming there is one type of oil  
21       in terms of its chemical makeup in all zones?

22          A       Yes.

23          Q       If that's the case, why are some of the  
24       lower zones wet? They are, are they not?

25          A       Wet? We have capillary pressure effects

1 and our relative permeability data indicates that  
2 different layers have certain capillary pressure  
3 properties that would allow larger or smaller  
4 transition zones, but the oil is all the same.

5 Q And you see no chemical change in the oil  
6 as you go from one zone to the other.

7 A No, I don't.

8 Q We get to the next page of your exhibit and  
9 we've got certain matches that you made to determine  
10 the reliability of the model.

11 A Yes.

12 Q And if I look at the match for the Teledyne  
13 Number 2, that's your match on the gas/oil ratio.

14 A You have to recall that I assume you're  
15 talking about the lower GOR points around 3,000.

16 Q Yes.

17 A I think this well is curtailed. Its rates  
18 were cut back to half of what it had before. And due  
19 to the rates of the reservoir, the GOR would fall.

20 Now, my forecast, and this is a forecast  
21 compared to actual data, did not cut back those rates.  
22 It kept producing that well at 90 barrels of oil per  
23 day rather than cutting it back to 45 barrels per day.  
24 So my model is going to show a GOR increasing.

25 Q You indicated you were satisfied with this

1 match?

2 A Yes.

3 Q How accurate is it? Do you have a high  
4 degree of confidence with this kind of pressure or  
5 GOR?

6 A I have a very high degree of confidence.  
7 My management does, based on this data.

8 Q If we take a look at your forecast on these  
9 individuals that you come up with after the match you  
10 have shown in this exhibit.

11 A Yes.

12 Q Are you modeling just the individual zones  
13 here? What are we looking at when we look at the  
14 upper well? Are we looking at all the four zones?

15 A You're looking at all four.

16 Q So what you've done in each of these cases,  
17 you put all four zones together.

18 A Yes.

19 Q And we haven't individually broken down  
20 particular zones of the model.

21 A But I have the model built in the file.  
22 Layers of permeability, barriers between those layers.  
23 So there is some vertical -- not barriers, but  
24 vertical permeability is higher. And this gas is  
25 going to have to move up through the tighter

1 permeability between those layers to get to the next  
2 layer. So there is a holdback. It's not a barrier,  
3 it's a dam. And the gas has to spill over the dam  
4 before it can get to the next layer.

5 Q Are you assuming the same properties in all  
6 four of those zones?

7 A Vertical permeability, yes.

8 Q But each of the zones has the same  
9 reservoir properties as you move up and down?

10 A Except for the absolute permeability in the  
11 XY direction.

12 Q And in your actual modeling have you  
13 included the fracture? Have you taken that into  
14 account?

15 A The way that I incorporated the fracture  
16 into the model was by increasing the permeability  
17 right around the well bore. Increasing the well  
18 index, the productivity of the well right around the  
19 well bore to account for the increased flow rather  
20 than building a fracture into the model.

21 Q Now, when we go to the -- let's go to  
22 Exhibit 3. Take a look at your isopach. Are we  
23 talking about all the zones here, or are we talking  
24 about just your A zone?

25 A Exhibit 3 is the isopach, or the A zone.

1 The field represents somewhere between 60 to 80  
2 percent of the productive capacity of the wells.

3 Q So when we look at the gas well ratio shown  
4 on this map, are we looking at just one of the four  
5 zones?

6 A Yes.

7 Q You would agree with me that there are  
8 other zones that would impact these numbers.

9 A Yes.

10 Q And they are not as strong and perhaps not  
11 as significant now, but at another time we might see  
12 some change in the way the wells are performed?

13 A It's possible.

14 Q You've drawn these pods. What is the basis  
15 for the boundaries between these pods?

16 A In general, I looked at two things;  
17 production characteristics, and the geology. And I  
18 tried to make the productive characteristics and the  
19 geology merge. Oil is producing a certain way and  
20 there is a reason why, and I believe there is a  
21 geological reason why. So I try to make the areas of  
22 productive characteristics match the three different  
23 areas. It doesn't match exactly in all areas, but in  
24 general it matches.

25 Q And you've assumed some of the lines where

1 the various pods led up against one another.

2 A Yes.

3 Q And you indicated there might be a flow  
4 barrier there. Did you see any evidence of a flow  
5 barrier?

6 A I think the evidence is the fact that you  
7 have a very high GOR well next to a very low GOR well.  
8 There is some reason why that's occurring.

9 Q What we have here, you would agree with me,  
10 is by mapping one zone you have low structural wells  
11 down to the south and the east.

12 A Yes.

13 Q And they have high GOR.

14 A Yes.

15 Q And then you have -- up at the northwest  
16 you have structurally high wells with low GOR.

17 A Yes.

18 Q And you agree we have a very complex  
19 reservoir here.

20 A Yes.

21 Q And if the flow barriers are wrong, it  
22 could be that there are other factors that explain the  
23 difference between the GOR.

24 A I think the GOR's are controlled by  
25 structure, permeability, and depletion. And I'm

1       trying to resolve those three by drawing these three  
2       areas.

3           Q       By drawing these three areas you can make  
4       this data fail where we have had to go to three  
5       separate pods to explain this complex system.

6           A       I don't think you have explained the high  
7       GOR wells with the previous testimony that's been  
8       presented. I haven't seen an explanation of high GOR  
9       wells. That's what I'm trying to explain here with  
10      this map.

11          Q       And you're seeing barriers here and you're  
12      seeing one homogeneous reservoir with these barriers  
13      to explain --

14          A       I've seen vertical communication, and yet  
15      earlier across the fill I have seen some flow  
16      barriers. But, again, these flow barriers are  
17      probably individual sands so that there is pressure  
18      communication elsewhere. So there is pressure  
19      communication. It's like a maze. It's all in  
20      communication.

21          Q       Do you see small lenticular sands of  
22      limited area to an extent?

23          A       No.

24          Q       So you don't see the reservoir as we have  
25      portrayed it?

1           A       No.

2           Q       Instead you're seeing these flow barriers  
3 as you have stated earlier.

4           A       Yes.

5           Q       When we look at your rate sensitivity test,  
6 these are basically -- they basically show rate  
7 acceleration in terms of what, the oil production? Is  
8 that what you start with?

9           A       What are you looking at?

10          Q       I'm looking at your Exhibit Number 6.

11          A       Okay. What they are showing is if you  
12 produce the wells at higher rates, you're going to  
13 produce -- you have higher GOR's. You're going to  
14 deplete reservoir energy much faster.

15          Q       It shows, however, that if you produce a  
16 higher rate you also produce your oil at a faster  
17 rate. Does it not?

18          A       Well, yes.

19          Q       And this Exhibit alone doesn't tell you  
20 everything.

21          A       No.

22                   MR. CARR: That's all I have.

23                   CHAIRMAN LEMAY: Additional questions of  
24 the witness? Mr. Weiss?

25                   CROSS EXAMINATION

1 BY MR. WEISS:

2 Q On the build-ups, were there any evidence  
3 that the reservoir is actually fractured?

4 A No. The build-up was dominated by the  
5 linear flow. We had do a flow analysis.

6 Q How long did the simulation take?

7 A The initial simulation I did four months  
8 ago for the previous hearing. I had started building  
9 it, but I really only spent about a week on it.  
10 Again, I spent about a week on this update since I got  
11 my -- we were planning on simulating, and so we had  
12 pulled relative permeability and PVT samples, and I  
13 got all the permeability data in.

14 Q That's not included in here, I presume.

15 A I can get that for you.

16 Q Do you think the rate sensitivity could be  
17 a result of gas coning.

18 A Gas coning. I haven't considered that  
19 option. The reservoir is timed. I haven't  
20 investigated it. I haven't investigated it. It could  
21 be a possibility.

22 MR. WEISS: That's all my questions. Thank  
23 you.

24 CHAIRMAN LEMAY: Mr. Kellahin?

25 MR. KELLAHIN: Just a point for

1 clarification.

2 REDIRECT EXAMINATION

3 BY MR. KELLAHIN:

4 Q Let's go back to 6 or 7. Either one.  
5 Let's use 6. Mr. Carr was asking you whether or not  
6 this was simply an indication of rate of acceleration.

7 Let me look at this display with you.

8 A Okay.

9 Q On the Pardue Farms Number 1 well, if you  
10 look at the average and we've got an oil per day rate  
11 of 195 barrels.

12 A Yes.

13 Q And it's going to take 693 MCF of gas for  
14 that quantity of oil. Right?

15 A Yes.

16 Q That's what you've averaged?

17 A Yes.

18 Q And you contrast that to the August  
19 sensitivity test. At which rate are you using more  
20 gas per barrel of oil to cover?

21 A Well, obviously at the higher oil rate  
22 you're using more gas per barrel of recovery. And you  
23 take that in conjunction with the material balance  
24 calculations, if you take this exhibit in conjunction  
25 with the material balance calculation, then you would

1       assume that because you are using up more reservoir  
2       energy, then you would lower your recovery. You would  
3       have to take the two together to draw that conclusion.

4           Q       Conversely, when you produce at a lower  
5       rate you're more efficiently utilizing the gas  
6       production that goes with the oil.

7           A       Yes.

8           Q       So this is not simply a rated acceleration  
9       is it?

10          A       No, it would also result in a loss of  
11       recovery as well as acceleration.

12          Q       At a higher rate we're wasting the gas  
13       drive.

14          A       Yes.

15                   MR. KELLAHIN: No further questions.

16                   CHAIRMAN LEMAY: You may be excused. You  
17       may call your next witness.

18                   MR. KELLAHIN: Mr. Chairman, I'd like to  
19       call Gregg Jacobson. Mr. Jacobson is a petroleum  
20       engineer.

21                               DIRECT EXAMINATION

22       BY MR. KELLAHIN:

23           Q       Mr. Jacobson, would you state your name and  
24       occupation?

25           A       Gregg Jacobson. I'm a reservoir engineer

1 employed by Oryx Energy, Oklahoma City office.

2 Q Are you also a registered petroleum  
3 engineer?

4 A Registered professional engineer in the  
5 state of Texas.

6 Q Summarize for us your educational and  
7 employment experience.

8 A I graduated from Texas A&M University in  
9 '83 with a Bachelor of Science in petroleum  
10 engineering. Upon graduation I was employed by Sun  
11 Exploration and Production Company in their Abilene  
12 office. Since that time I've worked for Sun, which is  
13 now Oryx, in their Abilene office, the Midland  
14 regional office, as well as the Oklahoma City region.  
15 I've been responsible for properties in central Texas,  
16 west Texas, as well as New Mexico.

17 Q Describe for us your specific involvement  
18 in studying the East Loving Delaware pool of Eddy  
19 County, New Mexico.

20 A What I've tried to take a look at is beyond  
21 the straight technical scientific aspects. How can we  
22 best explain what is happening in the reservoir and  
23 why it's happening.

24 Q And based upon that study, have you reached  
25 certain conclusions about why and what is happening in

1 the reservoir?

2 A Yes, sir I have.

3 MR. KELLAHIN: We tender Mr. Jacobson as an  
4 expert petroleum engineering.

5 CHAIRMAN LEMAY: His qualifications are  
6 accepted.

7 BY MR. KELLAHIN:

8 Q Mr. Jacobson, tell us what and why.

9 A If I can direct your attention to Exhibit  
10 8. Exhibit 8 lists among other data, the initial  
11 reservoir pressures in two of the wells in the field.  
12 Initial pressure in the Carrasco 14-1 of 2892 PSI is  
13 very close to what we believe to be the original field  
14 line initial reservoir pressure of slightly over 2,000  
15 PSI.

16 When we completed our Pardue Farms Number 1  
17 nearly one year later, the initial pressure that we  
18 found in that well was only 2375 PSIG. Several  
19 hundred pounds less than the original reservoir  
20 pressure.

21 The Pardue Number 1 was a 40-acre offset  
22 producing wells to the south and to the east. This  
23 pressure completion indicates to us that drainage is  
24 at least greater than 40 acres, otherwise we would  
25 have been pressure depleted. And that the reservoir

1 depletion in adjacent wells can and will affect the  
2 recovery in 40-acre offsets.

3 Q As a reservoir engineer can you take any  
4 comfort in Bird Creek's contention that we can  
5 increase the gas/oil ratio for the high gas/oil ratio  
6 wells and not affect the offsetting wells?

7 A No, sir. As I'll show later, by increasing  
8 the gas/oil ratio and producing wells you're basically  
9 doubling the reservoir voidage for the same amount of  
10 oil, and therefore it's an inefficient use of  
11 reservoir energy. The reservoir only has a certain  
12 amount of energy if it is a true solution gas drive  
13 reservoir. If we waste that energy by preferentially  
14 producing gas, we leave oil in the ground.

15 Q Mr. Burks has told us earlier today that he  
16 had thought this was a solution gas drive reservoir.

17 A That's correct.

18 Q And if it is, what do you do about the  
19 gas/oil ratio?

20 A In a true solution gas drive reservoir you  
21 will try to minimize the amount of free gas production  
22 in order to maintain reservoir pressure and maximize  
23 your ultimate recovery.

24 Q Have you tabulated where these wells that  
25 have the capacity to produce in excess of the gas rate

1 that applies at 2,000 to one, that's a daily gas rate  
2 of 284 MCF a day.

3 A Yes. Exhibit 9 is a plat showing the  
4 location of the wells currently capable of producing  
5 in excess of 284 MCF per day. As Bird Creek  
6 previously testified, three of the Oryx operated wells  
7 are capable of producing in excess of that rate, but  
8 we feel that this would not be a prudent thing to do  
9 even though we are capable of producing that excess  
10 rate, because we would be preferentially producing  
11 gas. Because as we have shown from our step rate  
12 tests, producing oil at a higher rate results in  
13 excess evolution of the free gas, and results in an  
14 ineffecient use of the reservoir energy.

15 Also on this plat you can see that although  
16 there are a significant number of wells that are  
17 capable of producing in excess of 284 MCF per day,  
18 there are a significant number of wells that are not  
19 capable.

20 Also directing your attention back to our  
21 Exhibit 3, for these same wells that all are capable  
22 of producing excess volumes, the GOR on these  
23 particular wells varies from well to well, so the  
24 relative depletion in these wells will vary  
25 significantly as well.

1           Q       Mr. Burks expressed a concern that if the  
2 high gas/oil ratio wells are gas curtailed that he is  
3 placed at a disadvantage in the reservoir to those  
4 wells that have lower gas/oil ratio. Do you agree  
5 with that?

6           A       No, I don't. I think that reflects an  
7 attitude of we've got to get all of ours before the  
8 next guy offset to us produces his or produces some of  
9 ours. It indicates to me that he's concerned about  
10 drainage from well to well.

11          Q       Let me direct your attention to Exhibit  
12 Number 10. You prepared that display?

13          A       Yes, sir. Exhibit Number 10 is a  
14 calculation of the maximum reservoir voidage at an  
15 assumed pressure of 2,000 PSIA for both the current  
16 field rules, 2000 to one GOR limit, as as well as the  
17 5,000 to one GOR limit. And the bottom line of the  
18 slide is that the total voidage for a top line of the  
19 well at 284 MCF per day is 373 reservoir barrels per  
20 day. By increasing the gas/oil ratio allowable to  
21 5,000, which would result in a gas rate of 710 MCF per  
22 day, the total voidage is then increased to 741  
23 barrels per day.

24                       So for two similar wells offset from each  
25 other, they are both capable of producing top

1 allowable oil rates, 142 barrels a day. The one well  
2 with the high gas/oil ratio would basically be  
3 depleting the reservoir twice as fast as the adjacent  
4 well.

5 And the GOR is a function as we've seen of  
6 structure, of relative permeability of the rock  
7 characteristics, as well as the relative rate of  
8 completion; therefore, allowing excessive GOR's is  
9 going to hurt some wells and help some others.

10 From our exhibits we can demonstrate that  
11 the wells are affected by offset depletion; that the  
12 rate of depletion has increased substantially with  
13 higher GOR's, and that the GOR is a function itself of  
14 the producing oil rate.

15 From our step rate tests, as you produce at  
16 a higher oil rate your gas/oil ratio increases;  
17 therefore, you're producing at a less efficient rate.  
18 And with all this data we can conclude that increasing  
19 the gas allowable will result in an inefficient use of  
20 the reservoir energy and will result in significant  
21 volumes of oil left behind in the reservoir.

22 Q What's your reservoir explanation to the  
23 proximity in relationship of the high gas/oil ratio to  
24 the low gas/oil ratio wells?

25 A In what area of the field?

1           Q       Well, in any area that you choose.

2           A       Well, like I said earlier, the gas/oil  
3 ratio is certainly -- we've seen that it is a function  
4 of structure or can be demonstrated to be a function  
5 of structure, but it's also -- it is affected by the  
6 relative permeability characteristics within that well  
7 as well as the quality of the stimulation within that  
8 well.

9                   In discussions with operators within the  
10 field, they've noted to us that some of the higher GOR  
11 wells are wells that had a less effective stimulation.

12          Q       Mr. Burks was critical of the way we had  
13 accounted for and recorded the gas production on  
14 certain of your wells and pool. Have you also gone  
15 back and looked at the data concerning those wells and  
16 how that production was reported?

17          A       There's no doubt that we did have a  
18 problem. We were not selling our gas, and we had a  
19 flare permit. As far as I'm aware, we did report  
20 volumes to the state. I'm not sure that those volumes  
21 weren't reflected in the C-115's, but as far as I know  
22 we did report volumes.

23                   The subsequent step rate test that we took,  
24 we performed that test after we had the wells hooked  
25 up. So it wasn't during a period of flaring; it was a

1 periods of gas sales. So the flaring, period, doesn't  
2 affect any of the data that we have presented here  
3 today.

4 Q Let me direct your attention to Bird  
5 Creek's Exhibit 18. They had some pressure data that  
6 they were showing.

7 A Bird Creek's Exhibit 18 was presented as  
8 the initial reservoir pressure in several of those  
9 wells. And the point was made that because of the  
10 dissimilarity or the distribution of pressure across  
11 the field, that these wells couldn't be in pressure  
12 communication.

13 Well, theoretically, the only way for all  
14 the wells to lay along the lines drawn for the  
15 Carrasco 14-1 would be if the reservoir had virtually  
16 infinite permeability. And we have already discussed  
17 and it's been testified to that this is a relatively  
18 tight reservoir; you wouldn't expect to see pressure  
19 distribution to be equal across the field at any one  
20 given time.

21 One interesting point in relation back to  
22 our Exhibit 3 where we have the three little pods,  
23 well, the wells on Exhibit 18 that have the lower  
24 reservoir pressure are in the lower pod that we  
25 projected as being more depleted. And this pressure

1 data sports that.

2 The wells above the line; Urquidez 3,  
3 Urquidez 2, and the Federal 10-1 are all in our pod to  
4 the north which we felt was less depleted. And this  
5 pressure data supports that contention as well.

6 All the wells that we feel are in the  
7 middle pod, the Donaldson, the Carrasco 14-2, and the  
8 Carrasco 14-1 all have similar pressures as well. So  
9 in my mind this pressure data supports our  
10 interpretation of the three pods.

11 Q To expedite your testimony, Mr. Jacobson, I  
12 don't have Bird Creek's specific exhibits before me,  
13 but I'll ask you to go through their exhibit package  
14 and if there is any of their exhibits with regards to  
15 Mr. Burks' presentation that you would like to make  
16 specific rebuttal comments to, I'd like you to do that  
17 at this time.

18 A I've only got a few comments, particularly  
19 on Bird Creek's Exhibit 6, which is the package of  
20 structural information.

21 If you'll note on the first cross section,  
22 C to C prime, that for all the four wells, you've got  
23 listed an oil rate as well as a gas rate and the  
24 corresponding GOR, if you will note that the GOR is  
25 lower in the wells that are not producing greater than

1 284 MCF per day. In other words, the legal wells, the  
2 wells producing less than the maximum rate have the  
3 lower GOR, which seems to indicate to me a certain  
4 degree of rate sensitivity. The wells that are being  
5 blown down the quickest have the higher GOR.

6 In addition, the next subsequent cross  
7 section, D to D prime, all of these wells have much  
8 higher than the field average GOR, and all these wells  
9 are currently producing in excess of the current field  
10 allowable of 284 MCF.

11 So this data as well indicates to me that  
12 there is a degree of rate sensitivity that if you  
13 produce the wells at the higher gas rates you're going  
14 to get a much higher GOR. It's a much less efficient  
15 production method.

16 Q Anything else?

17 A No, sir,

18 MR. KELLAHIN: Mr. Chairman, we would move  
19 the introduction to Mr. Jacobson's Exhibits 8, 9, and  
20 10.

21 CHAIRMAN LEMAY: Without objection,  
22 Exhibits 8, 9, and 10 will be entered. Mr. Carr?

23 CROSS EXAMINATION

24 BY MR. CARR:

25 Q Mr. Jacobson just a couple of questions.

1 If I look at your Exhibit 9, I believe you indicated  
2 that you found evidence of drainage in this reservoir  
3 because of the initial pressure in Pardue Farms Number  
4 1 well.

5 A That's correct.

6 Q And it was lower than the initial pressure  
7 of some offsetting wells. And that it was drilled  
8 after some of these other wells had produced for some  
9 period of time.

10 A That's correct.

11 Q How long was the pressure build-up test on  
12 the Pardue Farm Number 1? Do you know?

13 A I believe it was 72 hours.

14 Q Do you know how long the pressure build-up  
15 test might have been on any of the offsetting wells?

16 A From the previous testimony they said that  
17 there had been pressures after seven days.

18 Q So if in a fact if you had a longer  
19 pressure build-up on the Pardue Farm Number 1, you  
20 might have actually encountered a higher pressure  
21 there. Is that possible?

22 A No, sir, we extrapolated the pressure and  
23 that's the number that's demonstrated there.

24 Q Now, if I -- so you believe that just the  
25 fact that because you a shorter test that gave you the

1 initial pressure doesn't distort your conclusion.

2 A No, sir.

3 Q If we take your Exhibit 9 and compare that  
4 exhibit to, say, Exhibit Number 3 or 4 that was  
5 offered by Bonnie Wilson, she has indicated a flow  
6 barrier between pods between the northwest pod and the  
7 central pod. That actually runs between the Pardue  
8 Farms Number 1 and the 40-acre offset to the west and  
9 the 40-acre offset to the southwest. Does it not?

10 A Yes, it does, but not to the 40-acre offset  
11 to the immediate south.

12 Q So based on your evidence you're not  
13 concerned then about the potential drainage from the  
14 wells now to the east or toward the southeast.

15 A No, sir, that's not correct, because all  
16 the wells have been fractured. Each of the four  
17 layers are in pressure communication and can drain  
18 each other.

19 Q The 30-foot fractures on those well bores  
20 which have been continuously producing now may  
21 reach -- somehow communicate across the flow barrier  
22 that Ms. Wilson states?

23 A Not necessarily the flow barrier, no, sir.  
24 The individual pressure communications near the well  
25 bore. In one subsequent pressure point on Bird

1 Creek's Exhibit 18, if you platted our 2375 initial  
2 reservoir pressure in September of 1990, it falls  
3 almost exactly on Bird Creek's depletion line, which  
4 would indicate that it's a similar reservoir -- or  
5 it's in pressure communication. Excuse me.

6 MR. CARR: That's all.

7 CHAIRMAN LEMAY: Additional questions of  
8 the witness? Mr. Weiss?

9 MR. WEISS: No. I have no questions.

10 CHAIRMAN LEMAY: You may be excused. Thank  
11 you.

12 MR. KELLAHIN: Mr. Chairman, I'd like to  
13 call Mr. Bob Sidlowe. Mr. Sidlowe is a geologist with  
14 Oryx.

15 DIRECT EXAMINATION

16 BY MR. KELLAHIN:

17 Q For the record, sir, would you please state  
18 your name and occupation?

19 A Robert Sidlowe with Oryx Energy. I'm a  
20 geologist.

21 Q Mr. Sidlowe, in February of this year did  
22 you testify before Examiner Catanach and make your  
23 geologic presentations to him in this case?

24 A Yes, I did.

25 Q Have you substantially altered, refined, or

1 changed your presentation before Examiner Catanach in  
2 preparing your exhibits today?

3 A Nothing substantially has changed. I've  
4 updated my maps, et cetera.

5 MR. KELLAHIN: We tender Sidlowe as an  
6 expert in the petroleum field.

7 CHAIRMAN LEMAY: His qualifications are  
8 acceptable.

9 BY MR. KELLAHIN:

10 Q Let's turn to Exhibit 11, Mr. Sidlowe.  
11 Would you identify and describe what this is?

12 A Exhibit 11 is a structural map, Top of  
13 Brushy Canyon Pay Sand itself. Has a conture area of  
14 20 feet. Covers the entire field. We see a basic dip  
15 in the southeast direction with some localized noses,  
16 structural highs trending in a northwest to southeast  
17 direction. Oryx Acres is colored there in yellow.

18 I also want to point out the cross section  
19 lines, B to B prime, north/south cross section, and a  
20 dip section, A to A prime, which we'll be referring to  
21 later.

22 And I also want to point out that the  
23 localized high there just southeast of Oryx Acres on  
24 Teledyne Number 2.

25 Q Let's have you identify and describe the

1 cross section A to A prime. That is marked as Exhibit  
2 Number 12.

3 A These are colorful.

4 Q Yes, sir. What do they show us?

5 A Basically here it shows four different sand  
6 members divided by anywhere from four to six feet of  
7 shale. These shale breaks determine individual sand  
8 depositional vents. The very lowest was sand here and  
9 is discontinuous across the east-west dip section. It  
10 is only present in the Oryx Energy Pardue Farms  
11 Number 1.

12 You can see here that what I'm labeling A,  
13 B, C, and D from top to bottom, the A and C sands are  
14 the most prevalent. And together A and C account for  
15 90 percent of the net pay in the area. And the A sand  
16 probably accounts for probably 70 percent of net pay.  
17 The A sand here is the prevalent one. We're looking  
18 at in it field.

19 Perforations are marked on the cross  
20 section. I also want to point out I'll be referring  
21 to this a little bit later. If you look at the  
22 difference on the porosity curves on the right between  
23 the Oryx Energy Pardue Farms Number 1 going to the  
24 Teledyne Number 2 and back to the Teledyne Number 1,  
25 you'll see a marked decrease in porosity in the Bird

1 Creek Teledyne Number 2. That corresponds to the thin  
2 which Ms. Wilson previously testified to.

3 Q Let's look at the north-south cross  
4 section. That's Exhibit 13.

5 A This is, again, is a rather large cross  
6 section. It does cover the entire field. Once again,  
7 you'll see four prevalent sands are continuous across  
8 the field, except for, again, that bottom most D sand.  
9 D sands are easy to correlate; go all the way across  
10 the field.

11 I agree with the geology that Mr. Burks  
12 previously testified about. The majority of these  
13 sands in the Delaware are probably deposited as  
14 channel-type sands. And that's indicative, if you  
15 look over on the far southern portion of the RB Oper  
16 Brantley Gas Com Number 1, you'll see a definite  
17 channel-type deposit with that cutting shown. That's  
18 the -- I guess, that's basically what I wanted to show  
19 in this cross section.

20 Q Have you individually mapped each of the  
21 four sand members and prepared an isopach?

22 A Yes, sir, I have. I tried to look at each  
23 sands we referred to.

24 Q Let's start with the lowest sand member  
25 first. That's Exhibit 14. That will be the D sand.

1           A       D sand corresponds to the previously L2  
2 sand. This the very first sand being deposited in the  
3 area. I have that mapped as a channel-type sand.  
4 This map is a channel-type sand, whether it's density  
5 currents turbidity-type currents. This is what you're  
6 looking at as far as the initial stages of the  
7 sedimentation in the area. This sand is a minor  
8 player in the overall picture in the net pay of the  
9 field.

10          Q       Let's move up the to C sand, isopach,  
11 Exhibit 15. Identify and describe that display.

12          A       This is an isopach net pay in the C sand.  
13 A little higher sedimentation rate. Again, a  
14 channel-type deposit. The contour over here is a  
15 five-foot. You can see how it continually goes  
16 basically in the north-south direction across the  
17 field. I show the sand pinching out to the west and  
18 also pinching out to the east. Shows a basic  
19 thickening towards the south.

20          Q       Okay. And then finally as we move up into  
21 the top sand being investigated, is the isopach on A  
22 sand.

23          A       Isopach on B sand.

24          Q       On the B sand?

25          A       Okay. You want to go right to the top?

1 Q I'm sorry. Did I miss one?

2 A Yes, sir. Exhibit Number --

3 Q 16 is the B sand.

4 A Right. This is, again, a very thin sand  
5 and a minor player in the field. I believe this is  
6 a -- represents the time of a very low sedimentation  
7 rate. This sand was deposited in this area, probably  
8 reworked with some kind of current.

9 Q Let's go to the A sand isopach. That's  
10 Exhibit 17.

11 A Okay. Exhibit 17 is an isopach of the  
12 uppermost A sand. M1. The contour over here is 10  
13 foot. That shows some definite northeast to southwest  
14 trending thicks and thins as you will have the net  
15 porosity.

16 I want to point out the fact that the  
17 geology here as far as the possible flow barrier, the  
18 flow restriction to the various southeast corner on  
19 section 10, I believe this geology in the isopach of  
20 the A sand along with the structure not shown gives a  
21 reasonable explanation to the production  
22 characteristics we have seen in the field.

23 Q Let's have you summarize your major  
24 geologic conclusions with regards to your entire  
25 geologic investigation.

1           First of all, you have identified four sand  
2 members that contribute A in the pool.

3           A       That's correct. Of the four major sands,  
4 two of those are roughly 90 percent of the net pay in  
5 the field, the A and C. I --

6           Q       When you look at the A sand member, that  
7 contributes approximately what percentage of the net  
8 pay or porosity in the production?

9           A       I estimated about 70 percent.

10          Q       Are you able to map to your satisfaction  
11 the continuity of the A sand and the C sand?

12          A       Yes, sir I can. I've also looked at one  
13 core in the area, and I do not see individual shale  
14 barriers within the A sand itself.

15          Q       You don't see permeability barriers or  
16 shale barriers within the A or the C sand?

17          A       No, sir, I don't.

18          Q       What do you see?

19          A       I see a very fine grain sandstone with  
20 disbursed shale intermittently. I believe that's  
21 pretty much what Bird Creek was referring to -- was  
22 shale layers. I can show you the piece of that core  
23 and relate to what I see. I forgot to bring it up  
24 here to the stand.

25          Q       Certainly. Let me hand you the core sample

1 that was used by Bird Creek in their presentation.

2 A I thought it was relatively interesting  
3 that they picked a zone to refer to their RGA Number  
4 3, Exhibit Number 2.

5 The depth here is 6123. And according to  
6 the log of that well, this interval here that they are  
7 showing is not within the pay sands. It's taken  
8 within a very shalelike interval in that log from that  
9 well.

10 What I basically see here is a highly  
11 disbursed shale within this dirty sand that you can  
12 refer to on the log on RGA Number 3.

13 Q Within the A and C sand you see various  
14 porosity ranges?

15 A Yes, you do. You see various porosity and  
16 permeability changes. And that basically is a  
17 function of the amount of shale.

18 Q Are there any specific geologic conclusions  
19 or geologic evidence that Mr. Burks has relied upon  
20 that you wish rebut in your testimony at this point?

21 A Well, Mr. Burks' testimony seemed to refer  
22 to one-inch to two-inch thick sands that were  
23 deposited in the shale areas between. I have not seen  
24 that. Like I said, I believe the shale was disbursed  
25 throughout the sand. He referred in previous

1 literature and included that in his exhibit. I  
2 believe what they're referring to in the literature is  
3 a very wide scale. When they talk about shale  
4 laminations, they are talking about the five and  
5 six-foot shale laminations, and not something that is  
6 millimeters thick.

7 Q In your geologic conclusions can you  
8 support the conclusions Ms. Wilson has made and Mr.  
9 Jacobson has made in the terms of sand continuity of  
10 the A sand member from well to well?

11 A Sure I can. I think the geologists  
12 supports the reservoir characteristics, the production  
13 characteristics we've seen, and I believe the  
14 continuity has been demonstrated clearly. And I  
15 believe the production from one well would be  
16 affected -- will be affecting the offsets of that  
17 well.

18 MR. KELLAHIN: That concludes my  
19 examination of Mr. Sidlowe. We move the introduction  
20 of his exhibits. I believe they are Exhibits 11  
21 through 17.

22 CHAIRMAN LEMAY: If there are no objections  
23 they will be entered.

24 CROSS EXAMINATION

25 BY MR. CARR:

1           Q       Mr. Sidlowe, very briefly.

2                    When I look at your cross sections, what is  
3 the green designed to show?

4           A       The green is designed to show the limits of  
5 the A sand.

6           Q       As I look at this it goes across the  
7 reservoir, correct?

8           A       Correct.

9           Q       I don't see any barriers shown on this.

10          A       No, not on the A sand. There is some flow  
11 restriction like I pointed out on the Teledyne Number  
12 2.

13          Q       But it is still a continuous sand bottom.

14          A       I agree.

15          Q       Now, when you were talking about this  
16 particular portion of the core, you were relating it  
17 to a -- what depth?

18          A       Says 61.3. Maybe you can tell me which  
19 ones -- which is the top and which is the bottom.

20          Q       It might all be within 61.3. Correct?

21          A       Correct.

22          Q       Were you relating it -- when you were  
23 explaining, you saw this wear in the sand row shales?

24          A       I see this in a very, very dirty sand that  
25 is not included in either of these four.

1           Q       You're looking at a log that displays this  
2 form?

3           A       Yes, sir, I have that in front of me.

4           Q       Are you aware that this was given at a core  
5 depth which is different from the log depth?

6           A       It could quite possibly be that.

7           MR. CARR: That's all I have.

8           CHAIRMAN LEMAY: Additional questions of  
9 the witness?

10                   (No response.)

11           CHAIRMAN LEMAY: Just a quick question.

12

13

14                   CROSS EXAMINATION

15           BY CHAIRMAN LEMAY:

16           Q       Did you run any samples on these sands at  
17 all, Mr. Sidlowe?

18           A       I usually have mud loggers on this these  
19 wells. The samples are run by -- I've seen a few of  
20 them. It's a very fine sandstone. From my experience  
21 I always hate to call it a fine grain sand. It's  
22 pretty fine.

23           Q       On completion, have you followed any of  
24 these wells after they have been completed in terms of  
25 productive characteristics?

1           A       Yes, sir. Somewhat, sure. I'm always  
2 interested in what wells do.

3           Q       Have you been on any of the wells at  
4 completion?

5           A       No, not at completion. No.

6           Q       You don't know if they produce a lot of  
7 freesand after treatment then, do you?

8           A       No, sir I don't.

9           Q       One other thing. That top sand, the A  
10 sand, have you got any geological model to run a  
11 environmental deposition on it?

12          A       I believe it is the same channel-type  
13 deposit; however, I'm also assuming the later  
14 reworking of that sandstone was in the same basic  
15 direction we saw initialized in the B sand.

16          Q       I think your cross sections show no limit  
17 to the sand.

18          A       Okay. Yeah, the A sand, as far as the  
19 deposition of the A sand we have not found a limit to  
20 it. However, if you look on both the A and A prime  
21 cross section and the B and B prime cross section, you  
22 show a definite thinning of the entire Brushy Pay  
23 interval to the north and to the west. And you also  
24 see a decreased porosity in that same direction. So I  
25 think we are quickly approaching the field limits.

1           Q       I guess my question really is, what is the  
2 trapping mechanism in this field in your estimation?

3           A       I believe it's basically stratigraphic with  
4 some structural control.

5           Q       Structural control meaning downdip --

6           A       Some of the downdip wells seem to be more  
7 work productive. But I believe it is mostly  
8 stratigraphic with an updip permeability with a  
9 porosity pinchout.

10          Q       But as yet the downdip limits, you could  
11 not define the trapping mechanism there?

12          A       I have not yet defined the downdip limits  
13 of this field, no

14               CHAIRMAN LEMAY: Additional questions of  
15 the witness?

16               (No response.)

17               CHAIRMAN LEMAY: He maybe excused. Do you  
18 want to sum this up verbally?

19               MR. KELLAHIN: Let me add something Mr.  
20 Chairman. Mr. Weiss inquired about the capillary  
21 pressure tests and special corerelative permeability  
22 test. We have that documentation. And subsequent to  
23 the hearing I'll mark these as Exhibits 19 and 20 to  
24 our presentation, and I'll hand you a set now and  
25 supplement the record. We're here at your pleasure.

1 I'll be happy to tell you what you already know. The  
2 hour is late; if you've had enough, I've had enough.

3 CHAIRMAN LEMAY: I would think the record  
4 could speak for statistics. However, we'll keep the  
5 record open for a couple of weeks.

6 MR. CARR: May it please the Commission, I  
7 think that would be an effective way to do this. I'd  
8 like to set a date because whatever date you set will  
9 be the date I will be --

10 CHAIRMAN LEMAY: Two weeks?

11 MR. CARR: We'll have a written summation  
12 for you.

13 CHAIRMAN LEMAY: The record will be kept  
14 open for two weeks.

15 MR. KELLAHIN: Thank you.

16 CHAIRMAN LEMAY: Any other additional  
17 questions?

18 MR. STOVALL: I believe there are other  
19 people present who may want to make a statement.

20 CHAIRMAN LEMAY: I was going to cover  
21 statements. That was the last item on my agenda here.

22 MR. FOSHAG: Mr. Chairman, my name is  
23 William Foshag.

24 CHAIRMAN LEMAY: Would you spell your name  
25 for the court reporter?

1 MR. FOSHAG: Sure. It's F-o-s-h-a-g.

2 I'm a reservoir engineer with Pogo. Pogo  
3 supports Bird Creek's application for special pool  
4 rules for the East Loving Delaware pool in Eddy  
5 County.

6 We believe the study by T. Scott Hickman &  
7 Associates petitioned by Pogo, Bird Creek, R.B.  
8 Operating Company, Oryx, and Amoco as presented here  
9 today by Bird Creek fairly represents the production  
10 we are currently seeing in the field as well as the  
11 production we anticipate if granted the special rules.

12 Based on the results of T. Scott Hickman &  
13 Associates' work, it is Pogo's opinion that increasing  
14 the GOR limits from 2,000 to 5,000 will not adversely  
15 affect oil or gas recovery in the East Loving Delaware  
16 pool.

17 Thank you.

18 CHAIRMAN LEMAY: Thank you very much, sir.  
19 Mr. Khalsa, do you want to say anything for the  
20 record?

21 MR. KHALSA: No, Mr. Chairman.

22 CHAIRMAN LEMAY: Any other statements for  
23 the record?

24 (No response.)

25 CHAIRMAN LEMAY: If not, we'll take this

1 case under advisement. Thank you, ladies and  
2 gentlemen.

3 (Hearing Concluded: 5:40 p.m.)  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 STATE OF NEW MEXICO )


2 COUNTY OF SANTA FE )

3 I, PATRICK M. MALONE, RPR-CP-CSR, and  
4 Notary Public, DO HEREBY CERTIFY that I did report in  
5 Stenographic shorthand the questions and answers set  
6 forth herein, and the foregoing is a true and correct  
7 transcription of the proceeding had upon the taking of  
8 this deposition.

9 I FURTHER CERTIFY that I am neither  
10 employed by nor related to any of the parties or  
11 attorneys in this case, and that I have no interest  
12 whatsoever in the final disposition of this case in  
13 any Court.

14 I FURTHER CERTIFY that I have retained the  
15 original copy of this deposition to seal and deliver  
16 to The Oil Conservation Division.

17  
18 WITNESS MY HAND AND SEAL  
19 this 28th day of September, 1991.

20  
21   
22 Court Reporter & Notary Public  
23 Certificate No. 412

24 My Commission expires 2/1/93  
25