

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10308

5
6 IN THE MATTER OF:

7
8 The Application of Case 10308 being
9 reopened pursuant to the provisions
10 of Division Order No. R-9514, which
11 order established temporary special
12 pool rules and regulations for the
13 South Lone Wolf-Devonian Pool in
14 Chaves County, including a provision
15 for 160-acre spacing units.

16
17 BEFORE:

18 MICHAEL E. STOGNER

19 Hearing Examiner

20 State Land Office Building

21 May 14, 1992

22 REPORTED BY:

23 DEBBIE VESTAL

24 Certified Shorthand Reporter
25 for the State of New Mexico

ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel

State Land Office Building

Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.

Post Office Box 2208

Santa Fe, New Mexico 87504-2208

BY: WILLIAM F. CARR, ESQ.

1 EXAMINER STOGNER: This hearing will
2 come to order for Docket No. 14-92. I'm Michael
3 E. Stogner, appointed hearing officer for today's
4 cases. Please note today's date, May 14, 1992.
5 I'll take these out of order, and I'll call the
6 first case, No. 10308, which is reopened. In the
7 matter -- I'm sorry. I'm taking your job.

8 MR. STOVALL: In the matter of Case
9 10308 being reopened pursuant to the provisions
10 of Division Order No. R-9514, which order
11 established temporary special pool rules and
12 regulations for the South Lone Wolf-Devonian Pool
13 in Chaves County, including a provision for
14 160-acre spacing units.

15 EXAMINER STOGNER: Call for appearances
16 in this matter.

17 MR. CARR: May it please the Examiner,
18 my name is William F. Carr with the Santa Fe law
19 firm, Campbell, Carr, Berge & Sheridan. In the
20 original hearing in this case, I represented
21 Stevens Operating Corporation. When the case
22 appeared on the docket, I contacted Stevens who
23 advised me that they had no further interest in
24 it, but perhaps McClellan Oil Corporation did.

25 They contacted McClellan who advised

1 them that maybe Terra Energy had an interest in
2 this case. I contacted Terra Energy. They
3 advised me they did not have any interest in
4 maintaining the temporary rules and that it could
5 revert in their opinion to statewide 40-acre
6 spacing.

7 So for that reason we do not intend to
8 present any testimony. I assume at this time the
9 rules can revert to standard statewide rules.

10 EXAMINER STOGNER: Any other
11 appearances in this matter? If not, this case
12 will be taken under advisement.

13 [And the proceedings were concluded.]

14
15
16
17
18 I do hereby certify that the foregoing is
19 a complete record of the proceedings in
20 the Examiner hearing of Case No. 10308.
21 heard by me on May 14, 191992.

22 Michael E. Stogner, Examiner
23 Oil Conservation Division
24
25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me;
10 that I caused my notes to be transcribed under my
11 personal supervision; and that the foregoing is a
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a
14 relative or employee of any of the parties or
15 attorneys involved in this matter and that I have
16 no personal interest in the final disposition of
17 this matter.

18 WITNESS MY HAND AND SEAL May 14, 1992.
19
20

21 
22 _____
23 DEBBIE VESTAL, RPR
24 NEW MEXICO CSR NO. 3
25

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION

4 IN THE MATTER OF THE HEARING)
5 CALLED BY THE OIL CONSERVATION)
6 DIVISION FOR THE PURPOSE OF)
7 CONSIDERING:) CASE NO. 10308
8 APPLICATION OF STEVENS OPERATING)
9 CORPORATION FOR POOL CREATION,)
SPECIAL POOL RULES AND A DISCOVERY)
ALLOWABLE, CHAVEZ COUNTY,)
NEW MEXICO)

10

11 REPORTER'S TRANSCRIPT OF PROCEEDINGS

12 EXAMINER HEARING

13 BEFORE: DAVID R. CATANACH, Hearing Examiner
14 May 16, 1991
15 11:35 a.m.
Santa Fe, New Mexico

16 This matter came on for hearing before the Oil
17 Conservation Division on May 16, 1991, at 11:35 a.m.
18 at Oil Conservation Division Conference Room, State Land
19 Office Building, 310 Old Santa Fe Trail, Santa Fe, New
20 Mexico, before Paula Wegeforth, Certified Court Reporter
21 No. 264, for the State of New Mexico.

22

23

24 FOR: OIL CONSERVATION BY: PAULA WEGEFORTH
25 DIVISION Certified Court Reporter
CSR No. 264

I N D E X

May 16, 1991
Examiner Hearing

CASE NO. 10308

APPEARANCES

PAGE
3

APPLICANT'S WITNESSES:

JACK AHLEN

Direct Examination by Mr. Carr	5
Examination by Examiner Catanach	19
Examination by Mr. Stovall	23
Cross-Examination by Mr. Kellahin	26

GREG VUJOVICH

Direct Examination by Mr. Carr	30
Examination by Examiner Catanach	41
Cross-Examination by Mr. Kellahin	42
Examination by Mr. Stovall	44
Further Examination by Examiner Catanach	48

DON STEVENS

Direct Examination by Mr. Carr	51
Examination by Examiner Catanach	53
Examination by Mr. Stovall	55

REPORTER'S CERTIFICATE

60

* * *

E X H I B I T S

ADMTD

APPLICANT'S EXHIBIT

1 through 5	18
6 and 7	19
8 through 10	41

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
General Counsel
Oil Conservation Commission
State Land Office Building
310 Old Santa Fe Trail
Santa Fe, New Mexico 87501

FOR THE APPLICANT: CAMPBELL & BLACK, P.A.
Attorneys at Law
BY: WILLIAM F. CARR, ESQ.
110 North Guadalupe
Santa Fe, New Mexico 87501

FOR MARATHON OIL COMPANY: KELLAHIN, KELLAHIN & AUBREY
Attorneys at Law
BY: W. THOMAS KELLAHIN, ESQ.
Santa Fe, New Mexico 87501

* * *

1 EXAMINER CATANACH: At this time call Case 10308.

2 MR. STOVALL: Application of Stevens Operating
3 Corporation for pool creation, special pool rules and a
4 discovery allowable, Chavez County, New Mexico.

5 EXAMINER CATANACH: Are there appearances in this
6 case?

7 MR. CARR: May it please the examiner, my name is
8 William F. Carr with the law firm Campbell & Black, P.A.,
9 of Santa Fe. I represent Stevens Operating Corporation,
10 and I have two witnesses.

11 EXAMINER CATANACH: Other appearances?

12 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of the
13 Santa Fe law firm of Kellahin, Kellahin & Aubrey appearing
14 on behalf of Marathon Oil Company.

15 EXAMINER CATANACH: Will the witnesses please stand
16 and be sworn in?

17 (Whereupon the witnesses were duly sworn.)

18 MR. CARR: May it please the examiner, initially I'd
19 like to point out that the application in the notice of
20 this case provided that the well would be 1990 from the
21 east line instead of 990 from the east line. Since the
22 well is at a standard location and its location is not
23 relevant to questions concerning pool creation, the special
24 rules or the discovery allowable, we called this to the
25 division's attention, and it was agreed that no

1 readvertisement would be necessary.

2 My first witness is Mr. Ahlen.

3 JACK AHLEN,
4 the Witness herein, having been first duly sworn, was
5 examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. CARR:

8 Q. Would you state your full name for the record,
9 please?

10 A. Jack Ahlen.

11 Q. Where do you reside?

12 A. Roswell.

13 Q. By whom are you employed and in what capacity?

14 A. Stevens Operating Corporation as a consulting
15 geologist.

16 Q. Have you previously testified before this
17 division and had your credentials as a geologist accepted
18 and made a matter of record?

19 A. Yes, sir, I have.

20 Q. Are you familiar with the application filed in
21 this case on behalf of Stevens Operating Corporation?

22 A. I am.

23 Q. And are you familiar with the subject area in
24 the Devonian formation in particular in this case?

25 A. Yes, I am.

1 MR. CARR: Are the witness' qualifications acceptable?

2 EXAMINER CATANACH: They are.

3 Q. (By Mr. Carr) Mr. Allen, would you briefly
4 summarize what Stevens seeks with this application?

5 A. First, we seek the establishment of a new pool
6 in the Devonian formation. Secondly, we -- the new pool to
7 consist of the northeast quarter of Section 28 of
8 Township 13 south, Range 29 east.

9 We seek the promulgation of special rules within
10 the pool, including provisions for a 160-acre spacing unit,
11 designating well location requirements such that wells are
12 drilled no closer than 330 feet to the outer boundary of
13 the spacing unit, and we seek an assignment of discovery
14 allowable for this well.

15 Q. Mr. Ahlen, does Stevens request that the pool
16 rules be of a temporary nature, for a one-year period of
17 time?

18 A. Yes, that is an additional request.

19 Q. Have you prepared certain exhibits for
20 presentation in this case?

21 A. Yes, I have.

22 Q. Would you identify what has been marked as
23 Stevens Exhibit No. 1? Identify this and review it for
24 Mr. Catanach.

25 A. Exhibit No. 1 is a land map prepared from the

1 Midland Map Company map. It's essentially a xerox with a
2 few minor alterations.

3 Q. The alterations are to make it accurately
4 reflect current ownership?

5 A. Yes, sir.

6 Q. Okay.

7 A. The plat shows the location of our discovery
8 well in the northeast quarter of Section 28, Township 13
9 south, Range 29 east. The proration unit is marked by the
10 dark lines, being the northeast quarter of Section 28.

11 The map also shows a circle with a one-mile
12 radius. If you will note, there are no other wells within
13 that one-mile radius that are producing wells.

14 It also shows offsetting operators, namely,
15 McClellan Oil Company, Marathon Oil Company and Amoco Oil
16 Company, which is within a mile of the proration unit.

17 Q. Is the proposed well at a standard location for
18 40-acre oil well spacing?

19 A. Yes, sir, it is.

20 Q. You've indicated there are no wells within a
21 mile of the subject well. Are there --

22 A. Producing wells.

23 Q. Okay. Are there any wells within a mile of the
24 boundary of the proposed new pool?

25 A. No.

1 Q. Are there temporarily abandoned or plugged wells
2 within that area?

3 A. Yes, there are.

4 Q. Would you identify those?

5 A. In Section 27 there's the McClellan No. 9 North
6 King Camp unit, which is a plugged and abandoned well,
7 total depth of 1,748 feet.

8 Within the Section 28 there is the Pure Federal,
9 total depth of 1,685 feet.

10 There is also a plugged and abandoned well in
11 Section 22, the Pan American North King Camp No. 1 Federal
12 Unit, which was drilled to a total depth of 9,311 feet,
13 which well total -- the total depth of the well was within
14 the Mississippian formation.

15 Q. Now, you identified three leasehold operators in
16 the area: McClellan, Marathon and Amoco. Are those the
17 only leasehold operators within a mile of the proposed
18 pool?

19 A. Other than Stevens Operating Corporation, yes,
20 sir.

21 Q. Are there any unleased mineral owners within a
22 mile of the pool?

23 A. No, sir.

24 Q. Could you move to what has been marked as
25 Stevens No. 2 and identify that, please?

1 A. Stevens Exhibit No. 2 is a portion of the
2 electric log that was run by Stevens Operating Corporation
3 on April 10th, 1991. On the top or to the left of the
4 exhibit is the header for the well, showing the various
5 information present on a header.

6 The lower part or the right part of the log,
7 depending upon how you're looking at the sheet, is a copy
8 of the lower 200 feet of the well.

9 I also need to say that this is a composite log.
10 I have xeroxed the compensated neutron lithodensity gamma
11 ray log and then superimposed upon that a tracing of the
12 cased-hole gamma ray neutron log that was run after casing
13 was run. It has been composited on this log in order to
14 see the top of the Devonian formation with both the
15 radioactivity log as well as the neutron log.

16 You'll note that the top of the Devonian
17 formation is at a depth of 9,838 feet with a sub-sea datum
18 of 6,019 feet. We have actually penetrated into the
19 Devonian formation ten feet. Of that ten feet, the bottom
20 six feet is the porous part of the Devonian formation, so
21 we have six feet of porous reservoir rock present in this
22 well that we have penetrated.

23 Our five-and-a-half-inch casing is set at a
24 depth of 9,843 feet, so essentially we have five feet of
25 open hole in the bottom of the well.

1 We -- you'll note that the cased-hole gamma ray
2 log shows the top of the Devonian formation, whereas the
3 open-hole log does not since the gamma ray logging device
4 is located a considerable distance up on the log string,
5 and that's why we wanted to utilize the cased-hole log for
6 that purpose.

7 The cased-hole log is also utilized to determine
8 the porosity in the Devonian formation. I have noted on
9 the log that the maximum measured porosity is approximately
10 13 percent on the spike. We are utilizing an average of
11 ten percent porosity to give us reservoir characteristics.
12 It is probably a more accurate average value for the
13 porosity.

14 We have completed this hole and reported an
15 initial potential while swabbing on a two-hour swab test of
16 561 barrels of oil per day.

17 Q. Was this before acidizing the well?

18 A. Natural. Yes, sir, before acidizing.

19 Q. Now, you're going to be producing through the
20 open hole; is that correct?

21 A. That is correct.

22 Q. Have you prepared a cross section for
23 presentation here today?

24 A. I have not.

25 Q. Why not?

1 A. Because most of the wells in the immediate
2 vicinity have not penetrated to the Devonian formation, and
3 the closest is -- closest Devonian penetration is to the
4 south in the North King Camp Pool.

5 Q. How far away is that? Several miles?

6 A. About three miles.

7 Q. Let's move to Stevens Exhibit No. 3. Would you
8 identify that and review it, please?

9 A. Stevens Exhibit No. 3 is a structure contour map
10 on the top of the Devonian formation. The structure
11 contours are controlled by the subsurface data, as well as
12 a number of seismic profiles which Stevens has purchased
13 and/or surveyed in the area. The geophysical survey
14 seismic lines are marked on this map as the dashed lines.

15 The wells that have been drilled in the area to
16 the Devonian formation or close to the Devonian formations
17 each have a datum next to the well site.

18 You will note that the map shows my
19 interpretation of the structure in Sections 28, 27, 22 and
20 21 that is producing; also my interpretation of the
21 configuration of the North King Camp.

22 Q. That's down on the --

23 A. To the extreme south on the map in Section 9.

24 Q. And --

25 A. There is a saddle of significant magnitude

1 between the two oil pools separating them and segregating
2 the two oil pools from each other.

3 Q. From a geologic point of view, do you believe
4 you have encountered a similar pool to the North King
5 Camp-Devonian Pool?

6 A. This is extremely similar.

7 Q. Are you getting any water on the discovery well?

8 A. Yes, sir, we are.

9 Q. How does that compare to your experience with
10 the North King Camp?

11 A. North King Camp well -- the McAlpine well, the
12 discovery well, is also producing water in that pool. That
13 also has a low GOR, as we do in our location.

14 Q. Have you been able to establish an oil-water
15 contact to any of these pools?

16 A. We know that the oil-water contact is
17 approximately minus 6,000 feet in the North King Camp. We
18 have not been able to establish an oil-water contact in
19 this pool.

20 Q. Let's move to Exhibit No. 4. Would you identify
21 that, please?

22 A. Exhibit No. 4 is an illustration that has been
23 reproduced from the Symposium of Oil and Gas Fields of
24 Southeastern -- of Southeastern New Mexico published by the
25 Roswell Geological Society. This map was made by Mr. P.D.

1 Hinrichs of Texaco, Incorporated, and utilized in the
2 guidebook that was published in August of 1960.

3 Q. Why have you included this structure map in your
4 exhibit packet?

5 A. Because it's a -- the structure anomaly here is
6 quite similar to the structure in the North King Camp Pool,
7 as well as our new discovery.

8 Q. How close to the new discovery is this Little
9 Lucky Lake field?

10 A. About eight miles away.

11 Q. Has a comparison been prepared for the three
12 fields for which you've shown the structural anomaly?

13 A. Yes, it has.

14 Q. Is that what has been marked as Stevens Exhibit
15 No. 5?

16 A. Yes, sir.

17 Q. Would you review that comparison for the
18 examiner?

19 A. This is a comparison between Little Lucky Lake,
20 Devonian, North King Camp-Devonian and our proposed
21 McClellan-Devonian Pool. It shows the location of each of
22 those pools by section, township and range; also shows the
23 date of discovery, the number of wells in those pools.

24 The important thing is the formation. The
25 Devonian formation in each of the three pools is a vuggy

1 dolomite that is probably quite highly fractured.

2 The depths are very similar in the McClellan
3 proposed pool. We're at 9,800 feet. The North King Camp
4 is 9,700 feet. We're a thousand feet deeper in the Little
5 Lucky Lake at 10,900 feet.

6 The gravity of the oils are similar. They are a
7 high-gravity, sweet crude. The colors are somewhat
8 distinct from each other in that our crude is a gold green.
9 The North King Camp is a brown, and at Little Lucky Lake
10 it's a light-golden green.

11 Now, there is a distinction in the gravity
12 between the North King Camp and McClellan Devonian of 48
13 degrees gravity oil versus 54 degrees of gravity oil,
14 suggesting that there's different -- a different pool.

15 The reserves of the Little Lucky Lake and the
16 McClellan Devonian are quite similar at North King Camp.
17 There appears to be considerable more oil potential.

18 The drive type is water in all three pools.

19 Gas-oil ratio is similar in North King Camp and
20 McClellan Devonian. However, at Little Lucky Lake the GOR
21 is significantly higher.

22 The flow rates are all similar, and the OCD
23 spacing at North King Camp and Little Lucky Lake is 160
24 acres. We propose 160-acre spacing at the McClellan
25 Devonian.

1 Q. Mr. Ahlen, did you testify that the variations
2 in gravity suggest separate reservoirs or separate common
3 sources of supply?

4 A. I approached that, but I did not specifically
5 state that. But I think they are distinct enough from each
6 other so that they do represent different accumulations.

7 Q. What about the variations in color? Does that
8 also suggest the same?

9 A. That also suggests a different reservoir.

10 Q. What conclusions have you been able to reach
11 from your geological review of this area?

12 A. That this is essentially -- there are three
13 essentially similar pools in this particular area, unique
14 and distinct from each other, separate pools, with -- all
15 with a good water drive; and that the requirement is that
16 you need to be at the top of a structure really to
17 adequately drain these reservoirs.

18 Stevens Operating Corporation is presently
19 arranging a 3-D seismic program in the area, which -- to
20 analyze the structure in the immediate vicinity to better
21 formulate an opinion as to where to drill the best -- the
22 best sited wells.

23 Q. In your opinion, are provisions in the temporary
24 rules for 330 feet setback appropriate at this time?

25 A. Yes, I think so. This would give an operator

1 the opportunity to seek the best location for each
2 individual well and not be limited by being required to be
3 too far away from the proration unit boundaries.

4 And this is an advantage to competing operators
5 as well as it is to the Stevens Operating Company. We
6 would not like to promulgate rules similar to those of
7 North King Camp which requires exceptions to the rules.

8 Q. And this kind of a requirement would provide
9 flexibility so people aren't just spaced out of a pool?

10 A. That is correct.

11 Q. What about the 160-acre spacing requirement?
12 From your geological review, do you have an opinion on
13 whether or not that's appropriate?

14 A. I would think 160 acres would adequately drain
15 the reservoir.

16 Q. I'd like to ask you to go back to Stevens
17 Exhibit No. 1.

18 A. Yes, sir.

19 Q. There is a lease in the north half of the
20 northwest quarter of Section 22. Are you familiar with
21 that?

22 A. Yes, I am. North half of the northwest quarter?

23 Q. That's correct, 22.

24 What is the status of that lease?

25 A. That lease is a State of New Mexico lease which

1 expires June 1st, 1991.

2 Q. What is Mr. Stevens' interest in this property?

3 A. Mr. Stevens has a farmout of that 80 acres from
4 the operator.

5 Q. And what plans are there currently for the
6 development of that acreage?

7 A. Mr. Stevens plans on reentering the Pan American
8 North King Camp Federal Unit No. 1, which is located in the
9 southeast quarter of the northwest quarter of Section 22.
10 He plans to drill that well to the top of the Devonian
11 formation and test it to see if it is oil productive.

12 Q. And in that case, what acreage would you
13 anticipate would be, at least, proposed for dedication to
14 that well?

15 A. We would propose that the acreage that is
16 expiring in the north half of the northwest quarter be
17 dedicated to that well and the proration unit of that well.

18 Q. And so you'd have a proration unit comprised of
19 the northwest quarter of Section 22?

20 A. Yes, sir.

21 Q. When must the reentry be commenced?

22 A. It must be commenced prior to the expiration
23 date of that lease. Mr. Stevens proposes to reenter that
24 well prior to May 31st, which is just a few days from
25 today.

1 Q. Do you request that the order be expedited to
2 the fullest extent possible?

3 A. Yes, sir, please.

4 Q. Would you identify what has been marked Stevens
5 Exhibit No. 6?

6 A. This is a letter from McClellan Oil Corporation
7 supporting our application.

8 Q. You indicated that there were two other
9 leasehold owners in the area other than Stevens --
10 McClellan, Stevens, and the others being Amoco and
11 Marathon.

12 Is Exhibit No. 7 an affidavit with letters
13 attached providing notice of this hearing to both Marathon
14 and to Amoco?

15 A. Yes, it is.

16 Q. Were Exhibits 1 through 5 prepared by you?

17 A. Yes.

18 MR. CARR: At this time, Mr. Catanach, I would move
19 the admission of Stevens 1 through 5.

20 EXAMINER CATANACH: Exhibits 1 through 5 will be
21 admitted into evidence.

22 (Whereupon Applicant's Exhibits 1 through 5 were
23 admitted into evidence.)

24 MR. CARR: I would also move the admission of
25 Exhibits 6 and 7, which are the letter from Mr. McClellan

1 and my notice affidavit.

2 EXAMINER CATANACH: And Exhibits 6 and 7 will also be
3 admitted.

4 (Whereupon Applicant's Exhibits 6 and 7 were admitted
5 into evidence.)

6 MR. CARR: That concludes my direct examination of
7 Mr. Ahlen.

8 EXAMINATION

9 BY EXAMINER CATANACH:

10 Q. Mr. Ahlen, what geologic evidence leads you to
11 the conclusion that these are separate reservoirs, these
12 three reservoirs are in fact separated?

13 A. My experience in the area in mapping similar
14 Devonian accumulations within Chavez and Lea Counties.

15 The fact that most oil fields in this area are
16 very small. They consist of one, two, three or four wells.

17 The fact that we are already producing water in
18 this particular well suggests that it might be relatively
19 small-sized. The fact -- and the seismic data lead me to
20 that conclusion.

21 And the difference in the gravity of the oil and
22 the difference in the color of the oils make it appear as
23 though they are separate reservoirs, separate and unique
24 from each other.

25 Q. Have you or anyone else looked at reservoir

1 pressures to determine the similarities or differences in
2 those?

3 A. Yes, sir. Since these -- since the Devonian
4 formation is a regional aquifer, I would expect that the
5 North King Camp and the proposed McClellan Devonian Pool
6 will have similar bottomhole pressures.

7 Q. Initial bottomhole pressures?

8 A. Yes, sir.

9 Q. How about the -- would the new discovery well --
10 wouldn't that necessarily have a higher bottomhole pressure
11 than would wells in the North King Camp because of
12 depletion in that pool?

13 A. There might be some depletion in that, but it is
14 a very dynamic water drive that we're dealing with in the
15 Devonian formation, and we're looking at a thousand feet of
16 reservoir space and fluid drive to help drive the oil to
17 the formation.

18 So there's very little depletion in the North
19 King Camp still.

20 Q. Mr. Ahlen, you stated that you believed one well
21 would drain 160 acres in this pool. What is that based on?

22 A. The water drive.

23 Q. Do you have any evidence? I'm sure there's not
24 sufficient production history at this point to make that
25 determination. Are you --

1 A. Right.

2 Q. -- talking about analogies to other pools?

3 A. Yes, sir.

4 Q. What are the wells' setback requirements in the
5 North King Camp Devonian?

6 A. 660.

7 Q. How about the South Lucky Lake-Devonian Pool?

8 A. I do not know.

9 MR. STOVALL: Mr. Ahlen, the North King Camp also has
10 a distance-between-well requirement, does it not?

11 THE WITNESS: That was later applied.

12 Q. (By Examiner Catanach) Do you know if the
13 160-acre spacing for the North King Camp -- are those
14 permanent rules?

15 A. I think they are still temporary.

16 Q. Temporary?

17 A. They were initially temporary rules.

18 MR. STOVALL: Well, let's let the record reflect that
19 what has happened in that case is that the temporary rules
20 were adopted. Mr. Stevens drilled a well at an unorthodox
21 location -- or Stevens Operating did.

22 There's a considerable battle which is still in
23 the Supreme Court regarding that location and the
24 allowables assigned. But effectively the commission order
25 with respect to the unorthodox location superceded the

1 temporary rules, and they have never come for rehearing.

2 Although the case has been on the docket, I
3 think it's just been continued indefinitely, I believe,
4 because the commission order superceded it, effectively.

5 Would you agree, Mr. Carr?

6 MR. CARR: And I believe they are going to stay
7 temporary until our battle in the Supreme Court is resolved
8 in favor of Mr. Stevens.

9 MR. STOVALL: So --

10 THE WITNESS: I would request the 330-acre space from
11 the -- from the -- the setback is an attempt to ameliorate
12 some of those circumstances that caused the disagreement in
13 the North King Camp rule, and we encourage offsetting
14 operators to take maximum advantage of that to secure the
15 oil that they deserve and is theirs in the pool.

16 Q. (By Examiner Catanach) Mr. Ahlen, a 330-foot
17 setback -- is it your opinion that that's going to
18 sufficiently drain a 160-acre proration unit?

19 A. Depends upon what the structural configuration
20 is in that -- at that particular location, and we don't
21 know what that is yet until the seismic data has been
22 thoroughly analyzed, first shot and then analyzed.

23 We don't know where the highest spots in the
24 pool will be until we go through that procedure, and so the
25 330 setback would allow an operator maximum flexibility to

1 achieve the best draining location.

2 MR. STOVALL: That's not necessarily true, actually,
3 is it, Mr. Ahlen, based on North King Camp Devonian?

4 THE WITNESS: Say again. I didn't understand your
5 question.

6 MR. STOVALL: You may even have to get closer than 330
7 to get to the top of the structure based on North King
8 Camp; is that correct?

9 THE WITNESS: That's why the commission provides for
10 appeals and unorthodox locations.

11 MR. STOVALL: Let me follow up, if I may,
12 Mr. Examiner.

13 Having become intimately familiar with the North
14 King Camp Devonian, I almost feel like a geological expert
15 of that pool.

16 EXAMINATION

17 BY MR. STOVALL:

18 Q. Is not the experience there -- was there not
19 evidence, essentially uncontroverted, that the well in the
20 top of the structure could really drain the whole pool and
21 that even 160 might be too small?

22 A. Yes. Well, that's if -- I'm not an engineering
23 expert, but I think most engineers will say that a single
24 well in a single structure can drain the whole structure if
25 given enough time. But economic circumstances suggest that

1 you do it more rapidly than that, especially if you have a
2 billion barrels of oil to drain.

3 Q. Do you think you have a billion barrels in
4 there? Have you got enough information here to make that
5 kind of conclusion?

6 A. It was just an example.

7 Q. I guess the follow-up question to that is: Do
8 you see -- based upon the information which is available to
9 you right now, do you see enough similarities between this
10 and the King Camp to believe that in fact a well at the top
11 of the structure really can effectively drain the
12 reservoir?

13 Have you got any close enough sense?

14 A. I don't have any proof. I don't have any proof,
15 but we still -- you still need to protect correlative
16 rights. If another operator has acreage within boundaries
17 of the pool, they still need the opportunity to acquire
18 those reserves.

19 Q. Your concern, as far as the date of this order,
20 has to do with -- I guess it's what's called the Sabine
21 lease, is that it, in Section 22? "Sabine," however you
22 pronounce that.

23 A. Yes, sir.

24 Q. And I assume -- is the basis for requesting the
25 order that that would be within one mile of the pool

1 boundaries and therefore be subject to the pool rules?

2 A. Yes, sir.

3 Q. Looking at Exhibit 3, your structure map, it
4 appears that you're drawing another saddle in there. Is
5 that --

6 A. That is correct.

7 Q. -- likely to conclude that that is the same pool
8 still?

9 A. We don't know until we run the seismic.

10 As you'll notice, there's very little control in
11 that direction. We do have a suggestion of a saddle on
12 that north-south line, but what happens half a mile or a
13 quarter of a mile to the east of that is still very
14 subjective.

15 Q. But you're just going to operate off the
16 presumption until the end of the rules that if it's within
17 a mile, it's the same pool and --

18 A. Yes, sir.

19 You'll also note that the datum, the estimated
20 datum, for that well in Section 22 is very near the datum
21 of our production in the discovery well, and that also adds
22 encouragement to our cause.

23 MR. STOVALL: I don't have any further questions.

24 EXAMINER CATANACH: The witness may be excused.

25 MR. KELLAHIN: May I ask a few questions?

1 EXAMINER CATANACH: Oh, surely.

2 MR. STOVALL: Oh, Mr. Kellahin.

3 MR. KELLAHIN: Thank you. Okay.

4 CROSS-EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Ahlen, in the North King Camp Devonian,
7 while there was some difference of opinion about the asmyth
8 for that fault, there was good geologic and seismic
9 evidence to establish the existence of a fault on the
10 eastern boundary of that reservoir, if I --

11 A. On the eastern boundary?

12 Q. I'm sorry, on the western boundary.

13 A. On the western boundary, yes.

14 Q. The reservoir was east of --

15 A. The placement -- the exact placement of that
16 fault was questionable, and that's why it took two attempts
17 to get to the top of the structure.

18 Q. Do you see any indications now from the current
19 available data that the reservoir for this new pool has a
20 western boundary that's fault controlled?

21 A. There is deepening of the dip on the west side,
22 but the -- the asmyth of that steep dip is difficult to
23 estimate at this time.

24 Q. You don't see any evidence thus far in
25 Section 28 that you can establish by faulting that there is

1 a western boundary to the new reservoir?

2 A. Not really. I have contoured it as steep dip.

3 Q. And that was the basis for my question, is
4 whether or not that contour was based upon your estimate of
5 a fault in the reservoir in that approximate location of,
6 say, the minus 6,200 contour line?

7 A. I did not put a fault there.

8 Q. When we look at the land map, Exhibit 1, and
9 look at Section 28 --

10 A. Yes.

11 Q. -- will the discovery well satisfy Mr. Stevens'
12 requirements for Section 28 lease with the exception of the
13 Marathon acreage?

14 A. I don't understand the question.

15 Q. In Section 28 --

16 A. Yes.

17 Q. -- with the exclusion of the Marathon 80
18 acres --

19 A. Uh-huh.

20 Q. -- is that all the same lease?

21 A. Yes.

22 Q. So Mr. Stevens has the ability under that single
23 lease to dedicate 320s, 160s, 80s, or whatever, within that
24 lease to the discovery well?

25 A. We're asking for 180s, yes, sir -- 160, excuse

1 me.

2 Q. When we look in 27, is that the same lease?

3 It says "McClellan" in 27. Are you dealing with
4 the same lease?

5 A. I don't know. I presume so, but these -- this
6 is a farmout from Mr. McClellan, this particular operation.

7 Now, Mr. McClellan still holds rights in
8 Section -- the south half of Section 22.

9 Q. It would appear that Mr. Stevens has the good
10 fortune to control the amount of acreage dedicated to the
11 well in order to keep wells from being drilled too close.

12 in other words, he controls enough acreage
13 within that single lease to keep an offsetting well from
14 crowding him on 40 acres, for example.

15 A. Except that our purpose here is to allow maximum
16 flexibility so -- if another operator might drill as close
17 as 330 to their proration unit.

18 Q. When we look at the Exhibit 5 and talk about the
19 reserves, there's half a million barrels of oil estimated
20 average for the new McClellan Devonian Pool?

21 A. That's what might be called a "well wag
22 estimate."

23 Q. Based upon volumetrics?

24 A. Just a guess and experience in other wells in
25 the area.

1 Q. Is this intended to be a recoverable oil member?

2 A. Yes, sir. Yes, sir.

3 Q. Is it calculated based upon a fixed number of
4 acres assigned in the calculation?

5 A. No. No, it's just a guess grabbed out of the
6 sky. Pie in the sky.

7 Q. In the North King Camp Devonian we have some
8 reserve calculations that were based upon reservoir shape
9 and an oil-water contact?

10 A. That is correct.

11 Q. But the basis for this reservoir reserve
12 calculation is -- you're not able now to make it very
13 specific?

14 A. In the first place, we've only drilled ten feet
15 into the Devonian, of which six feet was a drilling brake.
16 We don't know how much more pay there is below the bottom
17 of our hole. That's one of the primary concerns.

18 And then the actual spacial -- the geometry of
19 the reservoir is still to be determined.

20 MR. KELLAHIN: Thank you, Mr. Examiner.

21 EXAMINER CATANACH: Anything further?

22 This witness may be excused.

23 MR. CARR: At this time I call Mr. Vujovich.

24 * * * * *

25 * * * * *

1 MARTIN GREGORY VUJOVICH,
2 the Witness herein, having been first duly sworn, was
3 examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. CARR:

6 Q. Would you state your full name for the record,
7 please?

8 A. My name is Martin Gregory Vujovich, spelled
9 V-u-j-o-v-i-c-h.

10 Q. Where do you reside?

11 A. I reside in Roswell, New Mexico.

12 Q. By whom are you employed and in what capacity?

13 A. I am the operations manager of Comanche Gas
14 Gathering, and my capacity there is to manage natural gas
15 gathering pipeline.

16 We also offer consulting petroleum engineering
17 services and pursue additional oil and gas exploration
18 activities.

19 Q. What is your relation to Stevens Operating
20 Corporation in this case?

21 A. I am a consulting petroleum engineer.

22 Q. Have you previously testified before the
23 New Mexico Oil Conservation Division?

24 A. No, I have not.

25 Q. Could you review your educational background and

1 briefly summarize your work experience?

2 A. I graduated in 1983 with a bachelor's of science
3 in petroleum engineering from the Montana School of Mineral
4 Science and Technology. I then went to work for Fina Oil
5 and Chemical Company in Tyler, Texas, as a petroleum
6 engineer, and my duties there included drilling,
7 completion, production, reservoir studies and reserve
8 estimates.

9 I subsequently went to work for them in the
10 natural gas division in Dallas for a brief period of time
11 and approximately nine months ago became employed by the
12 natural gas gathering in Roswell.

13 Q. In all of your jobs since graduation, have you
14 been employed in basically a petroleum engineering
15 capacity?

16 A. Yes, that is correct. I have also received
17 professional registration as a petroleum engineer in the
18 State of Texas. I have testified in front of the oil and
19 gas boards or commissions in the States of Arkansas,
20 Alabama, Mississippi and previously testified in front of
21 the EID in the State of New Mexico.

22 Q. Are you familiar with the application filed in
23 this case on behalf of Stevens Operating Corporation?

24 A. Yes, I am.

25 Q. Have you made a study of the information on the

1 Devonian formation in this area and in particular the
2 information available on the McClellan No. 1 well?

3 A. Yes, I have.

4 MR. CARR: We tender Mr. Vujovich as an expert witness
5 in petroleum engineering.

6 EXAMINER CATANACH: He is so qualified.

7 Q. (By Mr. Carr) Would you refer to what has been
8 marked as Stevens Exhibit No. 8? Identify this and review
9 it for Mr. Catanach.

10 A. Exhibit 8 are two selected sheets from a drill
11 stem test performed on the subject well on April 9th, 1991,
12 shortly after reaching TD. Sheet No. 1 indicates that we
13 have good quality data and an excellent oil recovery with
14 indications of a high-productivity oil reservoir.

15 On Sheet No. 2, in the calculation section I
16 would ask you to note the first line of calculations. We
17 extrapolated initial shut-in pressure, as indicated at
18 3,959 p.s.i., and down lower in the sheet the flow capacity
19 is indicated at 19.4 darcy feet.

20 These two pieces of data indicate near normal
21 pressure, probable contact with the water aquifer and
22 extremely high flow capacity.

23 Q. And, Mr. Vujovich, this is pre-stimulation data,
24 correct?

25 A. This is correct.

1 Q. And basically what this shows is high
2 permeability and a good flow capacity?

3 A. High permeability, good flow capacity and high
4 oil productivity.

5 Q. Let's move to Exhibit No. 9. Could you identify
6 this, please?

7 A. Exhibit No. 9 is the daily production history of
8 the subject well beginning on April 10th with the drill
9 stem test recovery. Later, on April 18th the well was
10 completed and flowed for approximately one week under
11 natural conditions.

12 On the 26th of April the well was acidized with
13 a very small acid stimulation, 84 gallons of acid,
14 responded quite well, and produced at a rate of four to 500
15 barrels of oil per day since that point in time.

16 You will notice that the well has also produced
17 water since the initial production dates, and that water
18 during the time period after acidizing, while being
19 measured, was approximately 33 percent water cut.

20 The gas rate initial indications during the
21 drill stem test and on the second day of production appear
22 higher than what we have seen subsequently. The gas is too
23 small to measure, and based on that and the testimony given
24 on the neighboring fields, we estimate that the gas-oil
25 ratio here is approximately 35 standard cubic feet per

1 barrel.

2 Also, please note in the fourth column the
3 changes in choke size. While attempting to regulate the
4 well and reduce the oil production rate, a number of
5 different chokes and back pressures have been applied.
6 Back pressure because of the low GOR has been unsuccessful
7 in being a mechanically feasible option, and choke sizes
8 continue to be a problem. If you bring the choke size down
9 small enough, the choke plugs up and you lose production.

10 Even with today's verbal reports, the well was
11 restricted from a seventeen to a
12 sixteen-and-sixty-fourths-inch choke. The choke became
13 plugged overnight, and the production rate dropped from 496
14 barrels of oil per day to 380 barrels of oil per day.

15 You will note that the last couple weeks of
16 production -- excuse me -- the last ten days or so of water
17 production has not been available. The mechanical
18 facilities to handle the water production are still being
19 constructed, and the water is being injected into a pit
20 subject to approval by the federal BLM --

21 Q. Let's move --

22 A. -- during the testing period.

23 Q. Let's move now to Exhibit No. 10. What is
24 Exhibit No. 10?

25 A. Exhibit No. 10 is a compilation of data.

1 Q. That's at the top of the exhibit?

2 A. Yes, sir.

3 Q. Why don't you just run through those for the
4 examiner?

5 A. The initial reservoir pressure as indicated on
6 the drill stem test was 3,959 p.s.i. This yields a
7 pressure gradient at this depth of .403, which infers
8 contact with water -- aquifer in a near normal pressure
9 gradient.

10 The initial potential on swab rate was 561
11 barrels of oil per day, which has been substantiated since
12 the stimulation of the well.

13 The reservoir drive mechanism inferred by the
14 water production rate and the pressure gradient is
15 anticipated to be a water drive.

16 The oil gravity and the oil density as well as
17 the water density have both been measured from fluid
18 samples taken from the well. Using that data and the
19 average water cut during the time period when water
20 production data was available, you can calculate an average
21 hydrostatic gradient in the tubing of .363. This will yield
22 a bottomhole flowing pressure. Combined with that gradient
23 and the surface average flowing pressure of 175 p.s.i., you
24 can calculate that the average bottomhole flowing pressure
25 must be at least 74 -- excuse me -- 3,748 p.s.i. plus the

1 effects of friction.

2 This would indicate that we are capable of
3 producing over 500 barrels of oil per day with a pressure
4 drawdown on the reservoir of approximately 200 p.s.i. Ones
5 again, an excellent indication of the formation's ability
6 to produce.

7 Using that production information and the flow
8 capacity -- not only indicated on the drill stem test, but
9 also calculated on a basic Darcy equation -- using these
10 flowing bottomhole pressures and the fluid production
11 rates, yields an extremely high flow capacity.

12 Using that data, coupled with the fluid samples
13 and chart estimates and an SBE nomograph, the recovery
14 efficient from this reservoir is anticipated to be very
15 high, exceeding 40 percent.

16 Q. Could you review the conclusions that you've
17 reached as a result of your engineering study on this well
18 in this reservoir?

19 A. Based upon this data, I think that we can
20 conclude that it is an extremely high-productivity rate
21 reservoir, shown not only by the DST subsequent production
22 data. We have excellent flow capacity, indicated again by
23 production data and the DST. This also is indicative that
24 limited reservoir depletion is required for high flow
25 rates. We can anticipate that the reservoir will continue

1 to produce for a long period of time with very little
2 pressure drawdown.

3 Using that data and the fluid samples and the
4 low GOR, we can anticipate that no evolution of solution
5 gas will occur in the reservoir.

6 The bubble point anticipated from the crude
7 sample wells we've been able to obtain is something less
8 than 150 p.s.i. This would also coincide pretty well with
9 what we have seen on the surface. We don't have gas
10 breaking out at the choke. We don't have gas breaking out
11 from the separator. The only place that gas appears to be
12 at all is a minor amount at the tanks.

13 So again, we can conclude that this is a
14 water-drive reservoir with normal initial pressures, and
15 ultimate recovery will be extremely dependent upon
16 structural position. Again, this is important because if
17 there is no evolution of solution gas in the reservoir,
18 that gas will not migrate to the top of the structure, and
19 those structural added positions will contain a solid oil
20 column.

21 Q. Are you prepared to make recommendations to the
22 examiner concerning rules for the development of this pool?

23 A. I am. I would recommend that we create field
24 rules which allow for minimum well density requirements and
25 high per-well allowables in order to prevent waste and

1 excessive well density while protecting correlative rights.

2 The ability of this well to drain an area of 160
3 acres -- I think as you have indicated from the field data
4 to the south, a peak located opposite the structural well
5 may be indeed able to drain a much larger area. However,
6 in comparison with the production data that we see now in
7 the first well, it may not be mechanically or economically
8 feasible to have a well density any higher than 160 acres
9 and still maintain maximum oil recovery from the reservoir.

10 Item 2: I believe that it is necessary to
11 create field rules which will allow the maximum flexibility
12 in selecting these optimal structural locations. The
13 reason for this is to avoid the waste of any updip attic
14 oil while still maintaining a proper setback from the
15 boundaries of the proration unit to protect the correlative
16 rights of all parties.

17 We also suggest that, if required, a minimum
18 distance be required for setoff from the internal
19 quarter-quarter boundary lines within those proration
20 units, again to allow the selection of the most
21 advantageous structural drilling position.

22 And third, because the data at this point in
23 time -- there's only a single well, I would recommend that
24 these rules be promulgated for an initial period of one
25 year to allow for review of additional data as it becomes

1 available.

2 Q. Mr. Vujovich, you indicate in your conclusions,
3 in Conclusion No. 5, that no secondary gas cap formation is
4 anticipated. What is the significance of that?

5 A. Again, the significance of that point is that if
6 no gas evolves in the reservoir, the gas will not be
7 present nor able to migrate to the peak structural
8 position.

9 As the case commonly is in solution gas-drive
10 reservoirs where peak optimal structural position is not as
11 critical to the ultimate recovery of oil from the
12 reservoir, in this reservoir, where you will have no gas
13 cap, no secondary gas cap, the peak structural position
14 will be the most efficient manner to drill and drain the
15 most reserves possible from the reservoir.

16 Q. Is structural position the key to efficiently
17 developing the reservoir?

18 A. Yes, it is.

19 Q. I believe you've testified to this, but what is
20 your recommendation for spacing for this pool?

21 A. My recommendation, based on the precedents set
22 on the neighboring wells and the engineering data that I've
23 been able to ascertain, is 160 acres per well.

24 Q. And what is your opinion concerning the 330-foot
25 setback?

1 A. I would recommend that you use a 330 setback.
2 This will allow flexibility in selecting updip structural
3 positions, protect the correlative rights, and I believe
4 this would be the most efficient manner to develop the
5 reservoir.

6 Q. Do you have an opinion on whether or not the
7 McClellan No. 1 well is in fact in a separate source of
8 supply?

9 A. All the data as indicated in the exhibit
10 presented by Mr. Ahlen would indicate that this is a
11 separate and distinct reservoir.

12 Q. Now, Stevens is requesting a discovery
13 allowable. Do you know what that allowable would actually
14 be in barrels?

15 A. My understanding is the discovery allowable is
16 based on the calculation of five barrels per foot of depth,
17 approximately 49,000 barrels, to be allotted over a
18 two-year period.

19 Q. In your opinion, could the discovery well, the
20 McClellan No. 1, actually make the discovery allowable?

21 A. It would be indicated by the production data and
22 also the -- excuse me -- the production summary that by
23 very small changes in the choke size that this well would
24 be quite capable of producing up to the normal 160-acre
25 allowable plus the discovery allowable.

1 Q. In your opinion, will granting this application
2 be in the best interests of conservation, the prevention of
3 waste and the protection of correlative rights?

4 A. Yes, it will.

5 Q. Were Exhibits 8 through 10 prepared by you?

6 A. Yes, they were.

7 MR. CARR: At this time, Mr. Catanach, I would move
8 the admission of Stevens' Exhibits 8 through 10.

9 EXAMINER CATANACH: Exhibits 8 through 10 will be
10 admitted into evidence.

11 (Whereupon Applicant's Exhibits 8 through 10 were
12 admitted into evidence.)

13 MR. CARR: And that concludes my examination of
14 Mr. Vujovich.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Vujovich, what is the allowable for a
18 160-acre well?

19 A. My understanding is that it's 515 barrels of oil
20 per day. Is that correct?

21 MR. STOVALL: Everybody's nodding their head. That
22 must be the right answer.

23 Q. (By Examiner Catanach) Sounds close. What is
24 your -- what does the flow capacity indicate?

25 A. The term "flow capacity" indicates the

1 transmission ability of the reservoir. It's an indication
2 of the thickness and the permeability of the reservoir
3 rock.

4 Q. And that's calculated from --

5 A. The data is calculated by a series of
6 calculations done on standard DST reports.

7 Also, the most simple way to arrive at it, based
8 on the production information, is simply to take the
9 production rate, and using the known viscosities of fluids
10 of reservoir conditions and the anticipated bottomhole
11 pressure drop -- so you have the terms of differential
12 pressure, viscosity and flow rate, and using those pieces
13 of data, you can calculate from Mr. Darcy's equation the
14 flow capacity of the well.

15 EXAMINER CATANACH: I believe that's all I have.

16 Mr. Kellahin?

17 MR. KELLAHIN: Thank you, Mr. Examiner.

18 CROSS-EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Have you determined recoverable reserves for the
21 discovery well?

22 A. No, we have not. However, in your previous
23 questions of Mr. Ahlen, I would like to note 500,000
24 barrels of oil can be substantiated on a performance or
25 decline curve analysis using current production rate flat

1 for a period of one to two years and then declining it at a
2 rate of 20 to 30 percent per year.

3 Q. Does current production information give you
4 enough data points from which to extrapolate a decline?

5 A. It's very difficult at this point in time
6 because of the testing.

7 Q. It's too early?

8 A. Yes, it is. So hence the request for a one-year
9 period to review the field rules.

10 Q. How does the data summarized on Exhibit 10
11 compare to the reservoir description for the North King
12 Camp Devonian?

13 A. My understanding of the North King Camp is that,
14 as far as the reservoir rock itself is concerned, that they
15 are very similar. Also, the reservoir fluids appear to be
16 very similar. They have very high measured permeability.
17 They have fairly high oil gravity, normal water density;
18 all those combined to give you favorable mobility in the
19 reservoir, and favorable mobility combined with the high
20 permeability should lead to high ultimate recovery
21 efficiency from the reservoirs.

22 Q. Do you see any data in the McClellan Pool as a
23 reservoir engineer to cause you to believe that it's
24 separated from the North King Camp Devonian?

25 A. I have not reviewed the pressure information on

1 the North King Camp field to compare with the McClellan
2 well, so that piece of data is as of yet unexamined.

3 The productive capacity indicates that they are
4 fairly similar. However, the reservoir fluid samples
5 appear to be quite different, so from that aspect I would
6 conclude, based on the regional geology and the fluid
7 samples taken at surface, that these are most likely
8 separate and distinct reservoirs.

9 Q. Even in the absence, then, of a reservoir
10 pressure comparison you're comfortable to reach that
11 conclusion based upon the characteristics of the fluid
12 samples?

13 A. Yes, I am. The initial reservoir pressures
14 would be a function of the degree of contact with the
15 Devonian aquifer, and as such -- to make conclusions based
16 solely upon that piece of evidence I think would be
17 inappropriate.

18 MR. KELLAHIN: Thank you, Mr. Examiner.

19 MR. STOVALL: I've got some questions.

20 EXAMINER CATANACH: Absolutely.

21 EXAMINATION

22 BY MR. STOVALL:

23 Q. You're requesting the 330-foot setback from the
24 outside boundaries of the proration units in order, if I
25 understand your and Mr. Ahlen's testimony, to get maximum

1 flexibility in selecting a location to attempt to find the
2 top of the structure; is that correct?

3 A. That's correct.

4 Q. If two wells are drilled each at 330, they are
5 660 feet apart. Is there any interference potential there
6 that could interfere?

7 A. Of course there is interference potential, but
8 that may be the only equitable way to protect correlative
9 rights.

10 However, that situation, I believe, is fairly
11 unlikely under the current geologic analysis simply because
12 if you have a normal feature and a slope going up in a
13 single direction, the people with tracts, let's say, to the
14 south are going to move as close as they can to the north
15 line. The people in the adjoining tracts next to them are
16 also going to move likewise in the same direction, in which
17 case the wells most likely would then be spaced the full
18 160-acre distance apart or nearly a quarter mile apart.

19 Q. This discovery well is a pretty good well, isn't
20 it?

21 A. Yes.

22 Q. Isn't it likely that somebody drilling -- well,
23 let me back up and ask you a question first.

24 Who owns the offsetting acreage to the -- what
25 is it? -- to the south of this well? Is that correct? --

1 which -- yeah -- to the south?

2 A. I'm not thoroughly knowledgeable of all the
3 lease positions in the area, but if you will -- it's
4 Stevens.

5 Q. It is Stevens?

6 A. Yes.

7 Q. Is there not going to be -- to develop the
8 southwest quarter -- or southeast quarter, excuse me, of
9 Section 28, would you recommend drilling towards the north
10 portion of that proration unit to -- closer to that well?

11 Doesn't it appear to be --

12 A. Based upon Mr. Ahlen's structure map and his
13 interpretation at this time, that may indeed be the correct
14 answer. However --

15 Q. Go ahead.

16 A. The planned three-dimensional seismic coverage
17 to the area may drastically change this interpretation.

18 The point is: Regardless of well proximity, to
19 maximize recovery from the reservoir, you have to select a
20 peak structural position, and to allow everyone equal
21 opportunity to extract the oil and gas underlying their
22 tract, you must allow them to get as close to the lease
23 line as permissible.

24 The relative effects of two well bores too close
25 to each other here, which might normally be quite harmful

1 in a solution gas-drive reservoir because of pressure
2 depletion, does not appear to be a serious factor here
3 simply because of the permeability and what we anticipate
4 as high energy aquifer support.

5 Q. If two wells are -- two high-capacity wells are
6 fairly close that are off the top of the structure, is
7 there not a possibility that they could aggravate potential
8 water coning situations in either or both of the wells
9 depending on their --

10 A. That is a possibility. However, with
11 permeability that's indicated from these tests, at this
12 point in time it is not a -- what I would consider the
13 predominant consideration here.

14 The coning conditions will be more of a function
15 of the vertical permeability compared to the horizontal
16 permeability in the well bores and a function of the total
17 drawdown. As indicated here, it doesn't require much
18 drawdown to have a high-capacity or top-allowable well; and
19 with these permeabilities, I don't think that would be a
20 problem.

21 If you were to fulfill the complete coning
22 calculations, which would be next to impossible at this
23 point in time without some full core studies and some
24 directional permeability, you might find the angle of the
25 cone. It would be my anticipation, knowing the fractured

1 nature of the reservoir, that the coning angle would be
2 very steep, indicating that the wells would have to be
3 extremely close together for those cones to aggravate each
4 other.

5 Q. What's "extremely close"? What are you calling
6 "extremely close"?

7 A. I would have to calculate it, but if you used a
8 coning angle of ten years and a reservoir thickness of 40
9 feet -- I can't do the trigonometry in my head, but ten
10 degrees for a distance of 40 feet is 15.2 per well.

11 Q. Okay. I mean, that gives me a range of
12 magnitude.

13 That answered my questions. I have no further
14 questions.

15 EXAMINER CATANACH: I just have a couple.

16 FURTHER EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. It's my understanding Stevens owns all the
19 acreage in Section 28 except for the 80 acres.

20 MR. STEVENS: I'll be happy to explain this. We have
21 a farmout, and it's continuous drilling on the farmout.

22 MR. STOVALL: Let the record reflect that that's
23 Mr. Don Stevens making unsworn statement into the record
24 for clarification.

25 Q. (By Examiner Catanach) Doesn't the 660 or

1 greater setback offer a lot of protection to an operator as
2 well?

3 Assuming that somebody else owned the southeast
4 quarter of the section and wanted to drill 330 from the
5 middle line separating the section there, isn't that
6 encroaching on Stevens' correlative rights?

7 A. You may by using the 330 rather than the 660
8 setback assist in protecting correlative rights. You may
9 even prevent several wells that are off structure from
10 being drilled, which -- there's a balance here. By
11 protecting one owner you may injure another.

12 Also, these protections I would deem to be
13 fairly slight as compared to the economic loss that might
14 be suffered by the party by failing to gain the peak
15 structural position.

16 So it would be my opinion that structural
17 position -- in this case you've got the difference between
18 the 330 and 660 setback. The structural position gained by
19 each party, the value of that is -- would override the
20 difference.

21 Did you understand my statement?

22 Q. The option for any operator to drill in an
23 unorthodox location is always open for them to come in and
24 present evidence and testimony in support of that.

25 A. And generally their allowables are restricted

1 proportionately; is that correct?

2 MR. CARR: Well, not most of the time. They are not.

3 MR. STOVALL: Sometimes they are, let's say.

4 EXAMINER CATANACH: Sometimes they are; that's
5 correct.

6 MR. CARR: May it please the examiner, I could call
7 Mr. Stevens if you'd like, but I can also represent that
8 Mr. Stevens does not have an interest in the southwest of
9 22, but that is held by Mr. McClellan, and perhaps the 330
10 setback with the development of seismic might make it
11 possible for a well to be drilled there without coming back
12 into the North King Camp situation. Again, that's one of
13 the reasons.

14 I can call him if you would like. If not, I
15 just make that as an offer. But Mr. Vujovich is being
16 asked to guess on the ownership here.

17 MR. STOVALL: Well, we understand. Perhaps, Mr. Carr,
18 you can just state in Section 28 Stevens has an ongoing
19 farmout?

20 MR. CARR: Yes.

21 MR. STOVALL: And is that the same farmout that
22 applies in Section 22?

23 Maybe we'd better get Mr. Stevens on and discuss
24 the land description if we're through with the engineer.

25 MR. CARR: All right.

1 EXAMINER CATANACH: Yes, let's go ahead and do that.

2 MR. CARR: Okay. Are you through with Mr. Vujovich?

3 EXAMINER CATANACH: Yes.

4 MR. STOVALL: Mr. Stevens, let's now make this sworn
5 stuff here.

6 (Whereupon the witness was duly sworn.)

7 DON STEVENS,
8 the Witness herein, having been first duly sworn, was
9 examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. CARR:

12 Q. Will you state your name for the record, please?

13 A. Don Stevens.

14 Q. And you are the Stevens of Stevens Operating
15 Corporation?

16 A. President of the corporation.

17 Q. Mr. Stevens, you've been present through the
18 hearing today, have you not?

19 A. Yes.

20 Q. Could you very briefly refer to Exhibit No. 1
21 and just review for Mr. Catanach the status of the
22 ownership of the interests in Sections 21, 22, 28 and 27?

23 A. Yes. In Section 21 and 28, Stevens has a
24 farmout from McClellan Oil Company on all of the acreage
25 shown therein except the Marathon acreage in the northwest,

1 north-northwest of 21 and the south half southwest of 28.

2 In Section 27, Stevens has a farmout on the west
3 half of 27. McClellan retains the east half of 27.

4 In Section 22, Stevens has a farmout from
5 McClellan in the south half of the northwest and in the
6 east half of 22 and has a farmout from Sabine subject to
7 spuding before the lease expiration in the north half
8 northwest. The southwest quarter of Section 22 has been
9 retained by McClellan.

10 And if I may, one of our ideas on the 330
11 setbacks in addition to the geological and engineering
12 reasons is we felt that to exclude an offset operator from
13 recovering the oil out from under his tract by too
14 controlled spacing wouldn't protect his correlative rights.

15 We feel 330 setbacks to McClellan in the
16 southwest quarter of 22 could well work to his benefit. He
17 might get a well that he might not otherwise get based on
18 our current understanding of the structure, as Ahlen's
19 structural Exhibit No. 3, I recall.

20 That may not be the way it is. After we've shot
21 it and after we drill more wells, that picture may well
22 change. We might then want to drill a 330.

23 The point is: In our case, 330 locations give
24 you the chance to get the higher structural position, which
25 in a water-drive reservoir is how you get the oil

1 underlying the tract. You can't get oil underlying your
2 tract within 660 feet of the well bore if it's structurally
3 higher than you are, and of course the North King Camp to
4 the south is the best example of that.

5 Therefore, our idea was to give everyone in the
6 pool, ourselves concluded, the option to drill as close to
7 the lease line as is reasonably necessary so that all could
8 get in on the reservoir at the highest structural position
9 where the more -- most oil will be recovered and the least
10 amount of oil would be wasted by being left in attic oil.

11 As many fields, we're finding out a lot of oil
12 has been wasted by their not being able to be drilled at
13 the crest of the structure because of the section, township
14 and range spacing rules which this and all other
15 commissions employ.

16 This won't solve the problem. 330 doesn't solve
17 it. It merely ameliorates it, 330 being half the distance
18 of 660.

19 That's our idea.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Mr. Stevens, do you believe this is a fairly
23 small, new reservoir that you've discovered?

24 A. I do. The map that Jack Ahlen has drawn pretty
25 well demonstrates it's a relatively small area of extent.

1 We don't know if the saddle shown in the southwest quarter
2 of 22 is there or not. We will know after we shoot some
3 more seismic. If it's not, then this field could go
4 farther to the north. We don't know that they are -- we
5 don't have any seismic up there.

6 We feel fairly comfortable that it does not
7 extend very far south merely based on the fact that we've
8 got water in our well. The oil-water contact, if it's 50
9 feet down, would prohibit anything south of Section 28
10 being productive in this pool, if in fact that
11 interpretation to the south is correct. We think it is
12 based on the seismic data and the geology which has been
13 exhibited here, but it's only an interpretation.

14 Q. So the proposed 330-foot setback is -- the way I
15 look at it, is mostly for the benefit of McClellan at this
16 point?

17 A. No. No, it's for our benefit also. We envision
18 that in the southeast quarter we could very well want to
19 get closer to the east line or the west line or even the
20 north line.

21 Q. Southeast quarter of what?

22 A. Pardon me. Section 28, excuse me.

23 The same thing could apply in the northwest
24 quarter of 27. Oil, in our opinion, will be wasted -- or
25 has the potential, greater potential, of being wasted with

1 660 setbacks as opposed to 330s.

2 We haven't found the alternative to that, an
3 unorthodox location, to be a very satisfactory experience,
4 and I don't think we're alone in that. And I'm not being
5 facetious here. That was a pretty terrible set of
6 circumstances in the North King Camp, regardless of whose
7 perspective you view it from, and that shouldn't -- this
8 wouldn't even apply there in that case, but it would tend
9 to limit the possibilities of that kind of situation
10 happening again.

11 We think they should have all been unorthodox
12 locations, regardless of whether it's water drive or gas
13 depletion.

14 Q. It's a little bit different situation up here in
15 this pool because you control so much of the acreage. I
16 don't see anybody coming in and objecting to you drilling
17 an unorthodox location in Section 28. I think it's a
18 little bit different than it is down in the North King
19 Camp.

20 A. Well, I don't anticipate it either, but I cannot
21 be sure.

22 EXAMINATION

23 BY MR. STOVALL:

24 Q. At the risk of opening a box of Pandora's,
25 Mr. Stevens, you see this coming, don't you?

1 A. No.

2 Q. You're on -- have a good working relationship
3 with McClellan; is that correct?

4 A. Yes, sir.

5 Q. Would a common plan of operation which could
6 provide you more flexibility and allow you to privately
7 determine the allocation of the reserves in some manner
8 give you even better flexibility than trying to get the
9 biggest window to drill on standard competitive proration
10 units?

11 A. I think not. My reason for that is McClellan
12 and I have -- while we're good friends and have a lot of
13 experience in this business, have complete -- that's not
14 necessarily -- we have different ideas about how things
15 should be developed.

16 I would have to force my views on him or he on
17 me under such a common plan. I don't think you can make a
18 common plan ahead of time. We don't know what the seismic
19 is going to reveal. We don't know what additional drilling
20 is going to reveal. To attempt a unitization ahead of time
21 without knowing the parameters ususally results in -- of
22 the oil in place -- and you can't know it without drilling
23 it -- usually results in some pretty vigorous negotiations
24 in which the person wins who happens to have the best
25 negotiator or engineer or arguer, if you will.

1 So I really don't think that is a good answer.
2 Forced or even voluntary with incentive unitizations
3 haven't seemed to work in other areas regarding or
4 disregarding North King Camp.

5 Q. Well, I'm not -- certainly I'm not suggesting
6 the commission create an incentive in this case. I'm
7 suggesting it from a totally privately controlled situation
8 that has offered more flexibility.

9 What type of leases are these? Are these
10 federal?

11 A. These are federal leases.

12 Q. All federal leases?

13 A. Except for the Stevens one.

14 Q. Have you had any discussions at all with the
15 Bureau of Land Management on this pool?

16 A. None, other than in the drilling procedures and
17 the notices. You know, that's all under their control, and
18 we've had all those discussions.

19 Q. Can we not avoid North King Camp problems by the
20 operators taking control of the situation, making some
21 decisions before we get into it?

22 A. I don't think you can make those decisions ahead
23 of time. You have to know what the facts are before you
24 can make decisions that are meaningful. We don't know what
25 the facts are here.

1 Q. You have described a reservoir, have you not?

2 A. Yes.

3 Q. In terms of the known geology at this time?

4 A. At this time.

5 Q. And are you familiar with the process of forming
6 federal exploratory units?

7 A. Yes, I am.

8 Q. And that's essentially it, isn't it? To --

9 A. No. The geology used in forming federal units
10 is very unprecise, unknown, unknowable until such time as
11 wells are drilled. That doesn't mean they are incorrect.
12 It merely means that they are interpretations of very
13 limited data, and so the unit boundaries for federal units,
14 state units, any units, are by definition arbitrary; and
15 the greatest arbitrary factor of them is the section,
16 township and range aspect of our land grant system. It's
17 nobody's fault, but it causes lots of problems.

18 So I don't really think you can have an
19 agreement to agree because people can't agree to anything.

20 MR. STOVALL: Since I don't see that as a remedy that
21 the commission would impose, I won't take that line of
22 questioning any further at this time.

23 EXAMINER CATANACH: I have nothing further. Are there
24 any other questions of Mr. Stevens?

25 If not, he may be excused.

1 MR. CARR: We have nothing further in this case,
2 Mr. Catanach.

3 EXAMINER CATANACH: Okay. There being nothing further
4 in this case, Case 10308 will be taken under advisement.

5
6 (The foregoing hearing was concluded at the
7 approximate hour of 12:50 p.m.)

8 * * *

9
10
11
12
13
14
15
16 I do hereby certify that the foregoing is
17 a complete record of the proceedings in
18 the Examiner hearing of Case No. 10308,
heard by me on May 16 1991.

19 David R. Catanach, Examiner
20 Oil Conservation Division
21
22
23
24
25

1
2
3 STATE OF NEW MEXICO)
4) ss.
5 COUNTY OF SANTA FE)

6
7
8 REPORTER'S CERTIFICATE

9 I, PAULA WEGEFORTH, a Certified Court Reporter and
10 Notary Public, DO HEREBY CERTIFY that I stenographically
11 reported these proceedings before the Oil Conservation
12 Division; and that the foregoing is a true, complete and
13 accurate transcript of the proceedings of said hearing as
14 appears from my stenographic notes so taken and transcribed
15 under my personal supervision.

16 I FURTHER CERTIFY that I am not related to nor
17 employed by any of the parties hereto, and have no interest
18 in the outcome hereof.

19 DATED at Santa Fe, New Mexico, this 3rd day of June,
20 1991.

21
22
23 My Commission Expires:
24 September 27, 1993

21 Paula Wegforth
22 PAULA WEGEFORTH
23 Certified Court Reporter
24 CSR No. 264, Notary Public
25