

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
DIVISION FOR THE PURPOSE OF )  
CONSIDERING: )  
 ) CASE NO. 10309  
APPLICATION OF UNION OIL COMPANY )  
OF CALIFORNIA, d/b/a UNOCAL FOR )  
SPECIAL GAS ALLOWABLES, RIO ARRIBA )  
COUNTY, NEW MEXICO. )  
\_\_\_\_\_ )

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: JIM MORROW, Hearing Examiner  
May 30, 1991  
Santa Fe, New Mexico

This matter came on for hearing before the Oil  
Conservation Division on May 30, 1991, at 1:30 p.m. at Oil  
Conservation Division Conference Room, State Land Office  
Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico,  
before Freda Donica, RPR, Certified Court Reporter No. 417,  
for the State of New Mexico.

FOR: OIL CONSERVATION            BY: FREDA DONICA, RPR  
DIVISION                            Certified Court Reporter  
CCR No. 417

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

May 30, 1991  
Examiner Hearing  
CASE NO. 10309

PAGE  
3

APPEARANCES

UNOCAL'S WITNESSES:

BILL HERING

Direct Examination by Mr. Carr	5
Cross-Examination by Mr. Stovall	20
Redirect Examination by Mr. Carr	37
Recross-Examination by Mr. Stovall	43

PAUL WEST

Direct Examination by Mr. Carr	46
Cross-Examination by Mr. Stovall	48

GAS COMPANY OF NEW MEXICO'S WITNESS:

VICTOR LYON

Direct Examination by Ms. Smith	51
Cross-Examination by Mr. Carr	60
Cross-Examination by Mr. Stovall	69
Redirect Examination by Ms. Smith	74

FRANK CHAVEZ

Direct Examination by Mr. Stovall	75
Cross-Examination by Mr. Carr	92
Cross-Examination by Ms. Smith	100
Redirect Examination by Mr. Stovall	101

REPORTER'S CERTIFICATE

108

\* \* \*  
E X H I B I T S

ID ADMTD

1	6	20
2	7	20
3	8	20
4	9	20
5	10	20
6	11	20
7	12	20
8	13	20
9	15	20
10	17	20
1 & 2	53	58
1 & 2	79	92

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

FOR THE AZTEC DIVISION: ROBERT G. STOVALL, ESQ.  
General Counsel  
Oil Conservation Commission  
State Land Office Building  
310 Old Santa Fe Trail  
Santa Fe, New Mexico 87501

FOR THE APPLICANT: CAMPBELL & BLACK, P.A.  
Attorneys at Law  
BY: WILLIAM F. CARR, ESQ.  
110 North Guadalupe  
Santa Fe, New Mexico 87501

FOR GAS COMPANY: SARAH D. SMITH, ESQ.

1 HEARING EXAMINER: We'll start again and call case  
2 10309.

3 MR. STOVALL: Application of Union Oil Company of  
4 California, d/b/a UNOCAL for special gas allowables, Rio  
5 Arriba County, New Mexico.

6 HEARING EXAMINER: Call for appearances.

7 MR. CARR: May it please the Examiner, my name is  
8 William F. Carr with the law firm Campbell & Black, P.A.,  
9 Santa Fe. I represent Union Oil Company of California, and  
10 I have one witness.

11 MS. SMITH: May it please the Hearing Examiner, my name  
12 is Sarah D. Smith. I represent Gas Company of New Mexico  
13 and Suntera Gas Gathering Company, and we will have one  
14 witness.

15 MR. STOVALL: I'm Robert G. Stovall of Santa Fe,  
16 representing the Aztec office of the Oil Conservation  
17 Division for the purpose of this hearing. I expect to have  
18 one witness when he comes back from lunch.

19 HEARING EXAMINER: Any other appearances?

20 Will the witnesses please stand and be sworn?

21 (Witnesses sworn.)

22 BILL HERING

23 the witness herein, having been first duly sworn, was  
24 examined and testified as follows:

25 DIRECT EXAMINATION

1 BY MR. CARR:

2 Q. Would you state your name for the record, please?

3 A. My name is Bill Hering.

4 Q. Where do you reside?

5 A. I live in Farmington.

6 Q. By whom are you employed and in what capacity?

7 A. I'm employed by Union Oil Company of California  
8 where I work as a district petroleum engineer.

9 Q. Have you previously testified before the Oil  
10 Conservation Division and had your credentials as the  
11 petroleum engineer accepted and made a matter of record?

12 A. Yes, I have.

13 Q. Are you familiar with the application filed in  
14 this case on behalf of UNOCAL?

15 A. Yes, I am.

16 Q. Are you familiar with the Rincon Unit and the  
17 three wells which are the subject of this hearing?

18 A. Yes.

19 MR. CARR: Are the witness' qualifications acceptable?

20 HEARING EXAMINER: Yes.

21 Q. (By Mr. Carr) Mr. Hering, will you briefly state  
22 what UNOCAL seeks with this application?

23 A. Yes. What we're seeking is a special allowable  
24 to be set for three new drilling wells that we intend to  
25 drill in the Rincon Unit.

1 Q. What is the purpose of this application?

2 A. The purpose of this application is to obtain an  
3 allowable of 500 MCF per day for each prorated completion in  
4 the three wells.

5 Q. And what is the long-term plan of UNOCAL in terms  
6 of these three wells and what are your long term plans  
7 following the development of these three properties?

8 A. These wells will give us vital information that  
9 we need in order to commence a full field development in the  
10 Rincon Unit.

11 Q. Could you identify what has been marked as UNOCAL  
12 Exhibit Number 1 and review that for Mr. Morrow?

13 A. Exhibit Number 1 is a map of the Rincon Unit  
14 located in Rio Arriba County, Townships 26 and 27 North,  
15 Ranges 6 and 7 West. It's operated by Union Oil Company of  
16 California and has been since 1986. Shown on this map are  
17 the three wells that I intend to discuss in more detail.  
18 Two of these wells, the 175M and the 158M, are proposed  
19 Dakota-Mesaverde duals, and the Rincon Unit Number 192E is a  
20 Dakota-Gallup dual.

21 Q. The Dakota-Mesaverde formations are prorated gas  
22 pools in northwest New Mexico?

23 A. That's correct.

24 Q. In this unit, are all formations unitized?

25 A. Yes, they're all unitized to all depths.

1           Q.     What is the current development status of the  
2 Rincon Unit?

3           A.     Currently, the Dakota is developed on 320-acre  
4 spacing. The Mesaverde is also developed, to a large  
5 extent, on 320-acre spacing, and to some extent on 160-acre  
6 spacing in the northern portion of the unit.

7           Q.     Is it fully developed?

8           A.     No, it is not fully developed.

9           Q.     Let's move to Exhibit Number 2. Would you  
10 identify this, please?

11          A.     Exhibit Number 2 is made up of three C102 plats.  
12 And on these plats you'll see that there are existing wells  
13 in the subject pools. The first plat is for the 158M. Its  
14 dedication is the south half of the section, and existing  
15 wells in that south half include the 158 Dakota well which  
16 is currently idle, the Rincon 33 which is a Mesaverde well  
17 and has a D of 128 MCF per day.

18          Q.     Where is the 158M to be drilled on this spacing  
19 unit?

20          A.     It will be located in the southeast corner.

21          Q.     Let's go now to the second page of Exhibit Number  
22 2.

23          A.     The second plat is for the Rincon Unit 175M.  
24 This has a north half dedication. It will be located in the  
25 northwest quarter of the section. Existing on that

1 proration unit are the 175, which has a D of 103, and the  
2 113, which has a D of 49.

3 Q. And the final page?

4 A. The last plat is for the 192E well. Has a west  
5 half dedication. It will be located in the northwest corner  
6 of the section. And the only other existing subject well is  
7 the 192, which has a D of 160 acres.

8 Q. Let's go to Exhibit Number 3. Would you identify  
9 this for Mr. Morrow and then review it for him?

10 A. This exhibit represents our full field  
11 development plan for the Rincon Unit as we envision it  
12 today. You'll see here that there are a number of different  
13 type wells that we intend to drill. We have a total of six  
14 different reservoirs that are productive in the Rincon  
15 Unit. Ultimately, we hope to drill 82 wells for a gross  
16 recoverable reserve of 126 BCF. The three wells that we'll  
17 be discussing are included in these totals. At the bottom  
18 of the exhibit you'll see that there will be a total of 52  
19 Dakota completions and a total of 32 Mesaverde completions.

20 Q. In drilling a development plan, a number of wells  
21 under a development plan, how do you go about it in terms of  
22 the number of years you anticipate it's going to take? How  
23 do you approach this?

24 A. Well, one thing I should mention is that there  
25 has not been a well drilled to these conventional reservoirs



1 in the Rincon Unit since 1981. So we are without drilling  
2 information that would -- that is vitally needed for the  
3 development program. So what we would like to do is to  
4 determine information that will be vital for us to determine  
5 the progress that we should work at. And we feel that the  
6 information we'll learn from these first three wells will  
7 help us in determining the best schedule.

8 Q. And that is not set at this time?

9 A. We have some preliminary estimates that we've  
10 worked out, some different scenarios, but it's all  
11 contingent on the sort of production that we're going to see  
12 in the reserves that we're able to prove up.

13 Q. Let's move to Exhibit Number 4. Would you  
14 identify that?

15 A. This exhibit I've entitled Allocation Trends.  
16 And essentially what I've done here is I've taken the period  
17 from 1988 through 1991, and assuming 500 MCF per day  
18 proration unit -- in other words, proration unit that has a  
19 total D of 500 MCF a day -- and applying the F1 and F2  
20 historical factors, this plot is then derived. And what's  
21 shown on the Y axis here is percent of deliverability  
22 allowed.

23 So you can see that at no point during this  
24 period would a 500-MCF-a-day proration unit be allowed to  
25 produce 100 percent. The trend, however, has been upwards

1     until just recently. You'll see the flat portions of the  
2     curve represent the new six-month allowables that have been  
3     set for April through September of this year. Those were  
4     just established recently, and they are slightly under the  
5     average of the F1-F2 factors for that comparable time period  
6     a year ago. Now, the projected lines here are based on the  
7     average F1-F2 factors for the comparable period last year.  
8     And so there will be some improvement there.

9           Q.     That is assuming that the allowable rates are set  
10    in the future at a level equal to what they were set last  
11    year; is that correct?

12           A.     That's correct.

13           Q.     And the figures that have recently been set for  
14    the six-month period we're now in were, in fact, set above  
15    that, were they not?

16           A.     Slightly above.

17           Q.     So this might be an optimistic projection?

18           A.     It could be, yes.

19           Q.     What, basically, does this show you, that the  
20    allocation process is basically curtailing Dakota production  
21    and Mesaverde production in the area?

22           A.     Yes, that's the intent of this particular  
23    exhibit.

24           Q.     Let's go to Exhibit Number 5. What is this?

25           A.     This is a representation of how percent of the

1 deliverability allowed will vary with the actual  
2 deliverability of the well. And my intent in presenting  
3 this is to show that a poor well receives more allocation  
4 than it can actually produce, whereas a better well is  
5 penalized to the extent where, for example, a well having a  
6 D of one million cubic feet per day will be able to produce  
7 only 50 percent of its D in the case of a Mesaverde and only  
8 35 percent of its D in the case of a Dakota.

9 Q. Anything else on Exhibit Number 5?

10 A. No.

11 Q. Could you explain what Exhibit Number 6 is and  
12 what it is intended to show?

13 A. Exhibit Number 6 is a forecast that I've put  
14 together for the new Dakota infill wells that we intend to  
15 drill. This is an average forecast for the three wells.  
16 And the top curve represents uncurtailed production that  
17 I've forecasted. The bottom curve indicates what the  
18 situation would be under current allocations. And the  
19 stairstep signature to this is because of the new six-month  
20 allowables that we have recently instituted.

21 Now, I'd like to point out that early on there is  
22 a lot of competition here between the new infill well and  
23 the original parent well. Allowables are shared in  
24 proration units, and so until the original well declines in  
25 production, the new infill well will not be able to produce

1 at its full capacity. And that kind of explains why the  
2 lower curve increases in production in time.

3 Q. With an existing well on the unit, do you ever  
4 curtail an existing well to -- as part of your plans to  
5 drill a second well on a proration unit?

6 A. No. When we do the economics for an infill well,  
7 we do not burden the original well by shutting it in in  
8 order to produce the infill.

9 Q. Let's move to the next curve which is marked  
10 UNOCAL Exhibit Number 7. Would you identify that?

11 A. This is a similar exhibit; however, this is for  
12 the Mesaverde formation, and a slightly different scale.  
13 You can see here again the same two curves, an uncurtailed  
14 case and a curtailed case. Here the competition is a little  
15 less between the original well and the infill well,  
16 primarily because the average D for a Mesaverde is only 128  
17 MCF a day.

18 Q. Now, with a 500 MCF-per-day allowable, the well  
19 is only going to be restricted in the very early portion of  
20 its life; is that correct?

21 A. That's correct.

22 Q. In this situation, is it your proposal that the  
23 well be permitted to accumulate underproduction, or are you  
24 simply requesting a 500 MCF-a-day minimum on that daily or  
25 monthly basis?

1           A.     Our request for 500 MCF a day is just that. We  
2 are not asking to accrue underproduction. If the well, in  
3 fact, only produces 450 MCF a day, we forfeit the 50 MCF a  
4 day. We do not carry that forward.

5           Q.     What you're requesting is a 500 MCF-per-day  
6 limit, but the even projection for these individual wells  
7 show that it would be producing below that level.

8           A.     That's correct.

9           Q.     It would not be accumulating underproduction.

10          A.     That's correct.

11          Q.     Let's move to Exhibit Number 8. Could you  
12 identify that?

13          A.     This exhibit, in addition to the last two that we  
14 just looked at, represent the input that was put into our  
15 economic model. And here you see at the top of the page the  
16 drilling costs for each of the wells. And what I have  
17 included here also are drilling costs for a single Dakota  
18 and a single Mesaverde. I include these because situations  
19 can be kind of masked by the dual wells, and so I just add  
20 those for clarification purposes.

21                 The average of the dual wells in terms of  
22 drilling costs is \$769,000.00. Of this amount,  
23 approximately 20 percent is for stimulation, approximately  
24 20 percent is for facilities, and the remaining 60 percent  
25 is for actual drilling of the well and setting casing.

1                   Shown also here are operating costs. These are  
2 direct operating costs, \$430.00 per well per month, or in  
3 the case of the duals, \$215.00 per interval.

4           HEARING EXAMINER: What exhibit are you on?

5           MR. CARR: Exhibit Number 8.

6           HEARING EXAMINER: Go ahead.

7           A.     The last item there on the page is the gas price,  
8 and -- that we have used in our forecast. This is a  
9 forecast that was derived specifically for the San Juan  
10 Basin by our Houston gas department. The initial price is a  
11 dollar per million BTU, with some escalation in future  
12 years.

13          Q.     (By Mr. Carr) This gas price was not developed  
14 just for this hearing; is that right?

15          A.     No, it was developed for our use in our  
16 operations.

17          Q.     How does this gas price compare to the current  
18 price that you're receiving per MMBTU?

19          A.     Actually, our current price is less than this.  
20 It is approximately in the eighty cent-per-million-BTU  
21 range.

22          Q.     If we look at the numbers at the top of this  
23 exhibit, when you compare the costs associated with a single  
24 completion versus the dual completion, basically, what does  
25 that tell you?

1           A.     Well, a dual completion benefits because a number  
2 of the costs are shared. A single well must carry the  
3 entire burden of all drilling costs.

4           Q.     Let's go now to Exhibit Number 9. Would you  
5 identify that for Mr. Morrow and then review it, please?

6           A.     This exhibit just gives the economic results of  
7 our analysis. Shown here are two columns, one showing  
8 standard allowables, the other showing the minimum allowable  
9 of 500 MCF a day that we're requesting. I've chosen two  
10 parameters here; one, return on investment, which is shown  
11 here in percent; and payout, which is shown here in years.  
12 You can see that, for example, in the case of the 158M that  
13 the economics are substantially affected by standard  
14 allowables. And that is the case for each one of the wells  
15 that I'm showing here, including the single Dakotas and  
16 single Mesaverdes.

17          Q.     Let's go to the well 192. If -- look at this  
18 table, the payout on that well, with a minimum allowable  
19 would be 2.8 years.

20          A.     Right.

21          Q.     Can you explain that number and how that relates  
22 to a request for a four-year allowable period?

23          A.     Yeah. Those are good economics. And we are, of  
24 course, wanting to target our best wells in this analysis,  
25 but also we want to learn some information. This particular

1 well will be dually completed in the Dakota as well as in  
2 the Gallup.

3 And the Gallup formation is not prorated, and we  
4 currently are producing from only one Gallup well in the  
5 unit. And as it turns out, that's our best well in the  
6 unit. What we want to try to determine from the drilling of  
7 this well is the extent of the Gallup sand that we're  
8 producing from, so this is an extension well of sorts. And  
9 depending on whether this well comes in comparably to the  
10 one well that we do have on our unit, there are three other  
11 wells that could be drilled as a result. What I've shown  
12 here also is just what the Dakota economics would look like  
13 if you just looked the Dakota side.

14 Q. If we look at the 192E, that well you propose to  
15 dually complete in the Dakota and the Gallup?

16 A. That's right.

17 Q. And how close is this well to the Gallup --  
18 producing Gallup well that you discussed?

19 A. Oh, it's about a mile-and-a-half, I believe.

20 Q. And how long has that other Gallup well been, in  
21 fact, producing?

22 A. Since 1981.

23 Q. In making these assumptions, have you assumed  
24 that the Gallup zone in the 192 is going to perform similar  
25 to this other Gallup well that you're producing?



1           A.     Yes, we've assumed comparable results.

2           Q.     If you're wrong on that, what will that do?

3           A.     Well, it will significantly impact the economics,  
4 but that's the kind of information that we need to obtain.

5           Q.     With this kind of information then you'll able to  
6 determine whether or not to attempt other Gallup dual  
7 completions in the pool?

8           A.     That's correct.

9           Q.     Let's go to Exhibit Number 10. Could you review  
10 this? And I think there's a typographical error on this  
11 one. Would you point that out to Mr. Morrow?

12          A.     The typographical error is under the first  
13 section here where it shows the 192M well, and that should  
14 be the 192E well.

15          Q.     Could you review your recommendation for Mr.  
16 Morrow?

17          A.     What we're requesting is a 500 MCF-a-day  
18 allocation to be set for both the Dakota and Mesaverde  
19 formations for these three specific wells, the 158M, the  
20 175M and 192E. We're also requesting this allowable be set  
21 for a period of four years, which represents our average  
22 payout period. We're not requesting this allowable to the  
23 full term of the well.

24                 And my last item that I have here is that we want  
25 to test this well in accordance with existing deliverability

1 test rules. We need the information, as does the state; so  
2 we want to abide by those rules.

3 HEARING EXAMINER: What was that last recommendation?

4 THE WITNESS: Our last recommendation was just to abide  
5 by the deliverability testing that's currently required on  
6 all wells in the San Juan Basin prorated pools.

7 Q. (By Mr. Carr) Mr. Hering, if the special  
8 allowables are set, do you have an opinion on what impact  
9 this will have on UNOCAL's plans to go forward with  
10 development of gas in prorated pools in this particular unit  
11 in northwest New Mexico?

12 A. Well, I might mention that we have been proposing  
13 wells to our management since 1986 and have yet to success  
14 in being able to drill one of these conventional  
15 Dakota-Mesaverde wells. What we're trying to do is develop  
16 information that is needed for long-term plans. And there's  
17 no secret about the capacity problem in the San Juan Basin;  
18 however, there is information that suggests that capacity  
19 constraint will improve in the near future, and we want to  
20 be poised for that situation, having the deliverability  
21 available.

22 Q. If the application is approved, do you anticipate  
23 that you will be able to move into a program which will  
24 develop conventional gas in the San Juan Basin?

25 A. Yes.

1           Q.     What impact would approving this application have  
2 on correlative rights?

3           A.     These wells, as was shown on Exhibit 1, are all  
4 internal to the unit, so we don't believe that correlative  
5 rights is an issue in the case of these three wells.

6           Q.     Do you anticipate that approval of this  
7 application would have an impact on other operators in the  
8 pool who -- or in the basin who rely on the transportation  
9 systems to move gas from the basin to market?

10          A.     No. We're talking about a relatively  
11 inconsequential amount in regard to the total pool  
12 production.

13          Q.     What about waste? What will be the result of  
14 approval of this application?

15          A.     Well, we feel that waste is a real concern with  
16 the current proration system. And the reason I say that is  
17 because of the production curves that I showed you. The  
18 curtailed case results in a well life that's much longer  
19 than well bores are actually able to sustain. So we feel  
20 that waste is minimized when a well is able to produce in a  
21 reasonable period of time.

22          Q.     If this application is granted, if I understand  
23 it, you're anticipating more development.

24          A.     That's correct.

25          Q.     With more development would come more

1 deliverability?

2 A. That's correct.

3 Q. Would more allowable follow that?

4 A. That's the trend in allowables.

5 Q. More allowable you would have more production of  
6 conventional gas in the basin?

7 A. That's correct.

8 Q. In your opinion, will granting this application  
9 result in the production of hydrocarbons that otherwise  
10 might not be produced?

11 A. Yes.

12 Q. Were Exhibits 1 through 10 prepared by you?

13 A. Yes.

14 MR. CARR: At this time, Mr. Morrow, we move the  
15 admission of Exhibits 1 through 10.

16 HEARING EXAMINER: 1 through 10 are admitted.

17 MR. CARR: That concludes my examination of Mr.  
18 Hering.

19 HEARING EXAMINER: Ms. Smith, do you have questions?

20 MS. SMITH: I think we may. Can I have just a minute  
21 with Mr. Lyon?

22 HEARING EXAMINER: All right. While you're doing that,  
23 we'll go on to Mr. Stovall.

24 EXAMINATION

25 BY MR. STOVALL:

1           Q.     Turn to Exhibit Number 4, Mr. Hering. I just  
2 want a little more of an explanation. Briefly just restate  
3 what this says.

4           A.     This is a different plot, I'm sure probably one  
5 that you haven't seen before. But this was derived by  
6 taking the actual historic F1s and F2s that were published  
7 monthly, applying the 500 MCF-a-day D to those F1s and F2s,  
8 and then comparing that resulting allocation number to the  
9 500 MCF per day. And so what you see here is a percentage  
10 of 500 MCF per day. This changes, depending on what the D  
11 is. Exhibit 5 shows how that changes.

12          Q.     Is that the total allocation to a proration  
13 unit? Is that what you're saying? Or is it just the  
14 percentage of --

15          A.     The F1s and F2s are taken after actual production  
16 and nominations have been considered, and so it just then  
17 becomes a calculation using F1 and F2 to derive what each  
18 proration unit will receive in terms of allowables.

19          HEARING EXAMINER: Let me ask a question. If you show  
20 50 percent on there, that means it could produce under the  
21 allocation of only 250 MCF a day?

22          THE WITNESS: That's right. And, of course, this is  
23 assuming month-by-month balancing.

24          Q.     (By Mr. Stovall) That assumes no -- I mean, that  
25 doesn't take the acreage factor into that.

1           A.     This includes acreage factor also.

2           Q.     What data did you use to derive this?

3           A.     This data was taken from the monthly State of New  
4 Mexico, San Juan Basin proration schedule.

5           Q.     Now, going on to -- the question is kind of in  
6 relation to Exhibit Number 5 -- and you essentially -- what  
7 you stated there was -- if I understand you correctly -- was  
8 that the higher the deliverability of the well, the lower  
9 the percentage of that well capacity was it able to produce  
10 under the allowable system.

11          A.     That's right.

12          Q.     What -- I mean, you're a reservoir engineer,  
13 right? You understand principles of engineering as to what  
14 causes a well to produce better or worse; is that correct?

15          A.     Uh-huh.

16          Q.     I only ask that to make sure I'm asking the right  
17 witness the right question. What -- as an engineer, what's  
18 the difference? What causes the better wells? What makes  
19 the difference between a better well and a not-so-good well?

20          A.     Primarily better reservoir quality.

21          Q.     What are the qualities?

22          A.     Qualities include porosity, permeability,  
23 reservoir pressure, bottomhole flowing pressure.

24          Q.     Are you talking in general, or are we talking  
25 specifically and particularly, given the nature of the rock

1 in the Mesaverde and the Dakota?

2 A. Well, I'm just talking in general for  
3 sandstone-type reservoirs.

4 Q. At the risk of getting myself into some  
5 engineering areas that always get me in trouble, if the  
6 permeability is high -- I assume that's a fairly significant  
7 factor in the deliverability of a well, is it not, the  
8 permeability?

9 A. Yes.

10 Q. Particularly that combined with the pressure, the  
11 ability of the fluid to move through the rock?

12 A. That's correct.

13 Q. Presumably, is it safe to say that a higher  
14 permeability well is capable of draining a greater distance?

15 A. It all depends on the thickness of the formation  
16 as to what its drainage area will be. And our Dakota  
17 formation happens to be a very thick formation, in our area  
18 on the average of 90 feet.

19 Q. Given the comparable thickness, is not a higher  
20 permeability well going to drain a larger area?

21 A. For comparable thickness, yes.

22 Q. And does that -- I mean, that would indicate to  
23 me that what's happening is that the higher well has the  
24 greater potential to drain offsetting tracks.

25 A. Well, I guess I have to refer back to a study

1     that was done that was the basis for the infill pool rules  
2     for the Dakota formation, and that -- the results of that  
3     study indicated that an infill well would recover new  
4     reserves. And that's the basis for our current pool rules.

5           Q.     I understand that. Generally speaking, if I  
6     understand you correctly, the Dakota is a fairly tight sand,  
7     relative to a lot of sands in terms of permeability. But,  
8     again, talking in terms of -- what you've done is you've  
9     stated that the larger well is penalized more. And the  
10    inference I make from that is that you think that's  
11    inappropriate.

12          A.     Well, the only point I'm trying to make is that  
13    with that kind of penalization we cannot drill a commercial  
14    well. As to whether that's a correct formula or not, I  
15    leave that up to the OCD. But with this sort of system, we  
16    -- this is a curtailment for new drilling wells. New  
17    drilling wells typically have higher deliverabilities than  
18    existing wells.

19          Q.     Let's move on to Exhibit 6 here for just a  
20    moment. I need a little bit of an explanation because I'm  
21    not sure -- you basically describe the staircase as being  
22    caused -- being the projected pattern because we're now on a  
23    six-month allocation factor. I understand how that creates  
24    six-month lines, if you will.

25                   Why does that necessarily dictate that they will



1 be in an up-down pattern such as this? What caused you to  
2 make those assumptions, that it would drop and rise every  
3 six months, the allowable?

4 A. Well, it's just based on the average F1s and F2s  
5 and the resulting allowables for the comparable period last  
6 year. And we typically see lower allocations through the  
7 summer and higher through the winter. Winter months is when  
8 demand is the highest.

9 Q. Under the old -- again, I'm going to now assume  
10 that you are familiar with the proration system. I know  
11 you've been involved in it, so you have some familiarity  
12 with how it's worked mechanically.

13 A. Yes.

14 Q. Under the old system, the allowables, were they  
15 not largely set by really almost a mathematical formula,  
16 taking prior production and multiplying it by a number and  
17 reallocating amongst non-marginal wells? Pretty much a  
18 mathematical basis?

19 A. That's the new system. The old system was based  
20 on pipeline nominations. The new system is based on actual  
21 production.

22 Q. Let's take -- there was a time when it was  
23 pipeline nominations; that was the allowable system. And  
24 that got thrown out about 1985, as a practical matter,  
25 although nominations were still taken. From that time until

1 the new rules were adopted -- which started April 1st of  
2 this year, I believe, if I'm not mistaken -- allocation  
3 where allowables were supposedly set on a demand-based  
4 system, because pipelines weren't nominating because they  
5 weren't the purchasers. Do you understand what I'm saying  
6 there?

7 A. Yes.

8 Q. Do you disagree so far with that broad, general  
9 statement, which doesn't contain any details?

10 A. No.

11 Q. The next part of that, taking it down to a higher  
12 level of detail, this system -- the way the system worked  
13 essentially -- and I'm going to summarize it -- just point  
14 out any gross errors in it -- was that production from a  
15 prior -- from the nearest reported prior month, which is  
16 essentially two months before the allowable has been set --  
17 was multiplied times a monthly allocation factor?

18 A. Seasonal adjustment factor.

19 Q. To determine the pool allowable, which was then  
20 allocated to the proration units within the pool?

21 A. Well, there's an intermediate step there there's  
22 called the administrative adjustment factor, and that can  
23 also be inserted by the OCD at their discretion.

24 Q. I understand. It's not strictly that way. Now  
25 that we're on a six-month system -- you participated in the

1 first hearing we had under the six-month system; is that  
2 correct?

3 A. Paul West did; he participated in that hearing.

4 Q. And the way that system works is -- again, I'm  
5 stating my understanding of it and asking you if you agree  
6 because I think it affects how useful this exhibit is -- any  
7 interested party, purchasers, transporters, producers,  
8 marketers, are invited to come and provide input to allow  
9 the division or the commission to set allowables for the  
10 following six-month proration period, correct?

11 A. That's correct.

12 Q. And so the mathematical formula that has been  
13 used over the past four or five years, subject to  
14 administrative adjustment, is essentially minimized in terms  
15 of its significance in -- or is reduced -- I won't say  
16 "minimized." Reduced?

17 A. Actually, the same calculations are used in the  
18 determination. It's just that now the F1s and F2s are fixed  
19 for a six-month period, so it's added some predictability to  
20 the system. But by the same token, it's locked us into a  
21 fixed allocation.

22 Q. But is it necessarily with the opportunity to  
23 have some more meaningful input to the system? Is it  
24 reasonable, do you think, to look to history to predict this  
25 pattern? And I'm as much talking about the range of it as

1 the pattern of the allowables.

2 A. Yeah, it's reasonable to look at the historical  
3 perspective. However, again we see the current proration  
4 system as a curtailment and one that is difficult for us to  
5 justify new drilling wells with.

6 Q. I understand that problem. I guess I'm just  
7 trying to determine the usefulness of this exhibit. I see  
8 it as being based upon some historical assumptions which may  
9 not necessarily be as valid any more because the system has  
10 radically changed, and we don't have any history based upon  
11 the new approach to proration allocations. I assume you  
12 don't agree with that.

13 A. Well, I think what's going into the new six-month  
14 allowables is based on the history. I think the exhibit  
15 that came out in advance of the six-month allocation hearing  
16 had historical numbers included in it, and that was the  
17 basis for determining these F1 and F2 numbers.

18 Q. You're talking about the preliminary numbers that  
19 the commissioner presented as a starting point for the  
20 commission hearings.

21 A. That's correct. What was finally accepted was  
22 very close to those original numbers.

23 Q. On Number 8, your economic input and assumptions,  
24 your dollar per MMBTU, is that your well head net back  
25 price?

1           A.     Yes.

2           Q.     Number 9, when you're calculating your economic  
3 results under the standard allowable system, what allowable  
4 did you use? How did you do that? Can I go back to one of  
5 the other exhibits and find that?

6           A.     Yes. You can go back to Exhibits 6 and 7 to see  
7 what the average allowables were for the curtailed case.

8           Q.     Those are the numbers that you plugged into the  
9 system to calculate that?

10          A.     Yes.

11          Q.     Talking about -- you made the statement, I  
12 believe, that as far as transportation of the gas, that  
13 these three wells weren't going to make any significant  
14 difference in the capacity, in the pipeline capacity, the  
15 removal capacity in the area of the Rincon Unit; is that  
16 correct?

17          A.     That's correct.

18          Q.     Would you describe the transportation systems  
19 that exist in that general area? Specifically, for the  
20 Rincon and for competing properties outside the unit, how do  
21 you get gas out of there?

22          A.     The gathering system is owned by El Paso Natural  
23 Gas Company. That gathering system services many other  
24 wells in and around the Rincon Unit. That well is -- that  
25 gas is then compressed at the Largo pump station, in a case

1 of low pressure gas, and then sent to the Chaco plant or the  
2 Blanco plant. The high pressure gas bypasses the compressor  
3 station and goes to either of those two processing plants.

4 Q. Is that -- do you know if that gathering system  
5 is operating at or near capacity? Or how much space is  
6 available in that system, how much additional gas to be  
7 moved through the existing gathering system?

8 A. A lot of it depends on the compression that El  
9 Paso chooses to supply at the Largo pump station, but -- I  
10 cannot give you an accurate number. I can say that line  
11 pressures have increased.

12 Q. And where I'm going with -- the next part I'm  
13 concerned about is UNOCAL is asking for some special  
14 treatment on some specific wells, and other operators may  
15 ask for the same thing. If we started to raise allowables  
16 to some -- let's say the 500 minimum D in the pool, what --  
17 would they reach a constraint problem on the gathering  
18 system in this area?

19 A. Under current conditions, yes. As I mentioned  
20 before, there's no secret that there is constraint, just  
21 with the gases flowing right now.

22 Q. How would your proposal affect that, when you  
23 look at it in terms of the larger scale situation? At what  
24 point do we reach a system constraint rather than a  
25 regulatory constraint on the production?

1           A.     Well, I can't speak to that in terms of actual  
2 volumes. I will say though that there is a real disparity  
3 between how prorated gas is being handled versus  
4 non-prorated gas. And there is some -- what I believe to be  
5 unfair competition just in that area.

6           Q.     In what sense?

7           A.     Just in the sense that prorated pools are  
8 curtailed.

9           Q.     Are you saying that you think -- are the prorated  
10 pools curtailed because they don't have access to the system  
11 and that's causing the allowables to be artificially lowered  
12 below what really they could be marketed and sold?

13          A.     If we get back to the allocation calculation,  
14 it's based on actual production. As production goes down in  
15 the pool, subsequent allocations also decline.

16          Q.     Is that being caused by transportation system  
17 constraints as much as declines in deliverability, you  
18 think?

19          A.     Probably more by constraints, by pipeline  
20 constraints.

21          Q.     In other words, as the pipeline constraints --  
22 I'm trying to make sure I understand you correctly --  
23 pipeline constraints may reduce takes from all the pools,  
24 but the impact on the prorated pools is that the reduction  
25 in takes results in a reduction in allowables, and you get

1 the so-called downward spiral?

2 A. That's correct.

3 Q. Is granting special allowables to individual  
4 wells within the prorated pool looking on the big picture  
5 scope? Is that a reasonable way to resolve that?

6 A. It allows us to develop a resource and a reserve  
7 that would otherwise not be developed.

8 Q. I understand your desires to have some assurance  
9 that at least the regulatory system will allow you to  
10 produce enough gas from a new well that you can compete for  
11 pipeline space and market with that well; is that correct?  
12 Is that a correct statement? In other words, if we give you  
13 500-MCF-a-day deliverability, that doesn't guarantee that  
14 you will be able to sell that 500 MCF a day.

15 A. That's correct, but our experience has been that  
16 we can sell what we produce.

17 Q. And I guess my question would be: Is your  
18 objective being to have some assurance that the regulatory  
19 system, the proration system, will allow you to produce  
20 enough gas over a long enough period of time that you can  
21 economically justify drilling these infill wells? Is  
22 granting special allowables to specific wells the most  
23 reasonable way to accomplish that, or have you considered  
24 other alternatives as ways to accomplish that same end?

25 A. Well, I had mentioned earlier that what we're



1 trying to do here is establish information that will help us  
2 in full scale development. Allocation represents a  
3 variable. Gas price represents a variable. When the risk  
4 is too high, management will not accept it and will not opt  
5 to drill the well. And, in our estimation, if we can remove  
6 the variability of the allocation, then that will assist us  
7 in determining the overall commercialability of the  
8 formation in the Rincon Unit.

9 Q. Basically, your assumption, your graphs, are  
10 assuming a declining -- general declining trend in the  
11 allowable for the pools, based upon a number of different  
12 factors; deliverability, pipeline access, the downward  
13 spiral we've talked about, that sort of thing; is that  
14 correct?

15 A. Right.

16 Q. I guess what I'm asking you is: Given the fact  
17 that the granting a special situation could create a problem  
18 in terms of regulatory management of the reservoir, and  
19 given the fact that the -- assuming the division is not  
20 adverse to wanting to create conditions which would make a  
21 drilling program economically viable, is the specific  
22 application you filed the most reasonable way to accomplish  
23 that end, or have you considered other alternatives?

24 A. Well, there are other alternatives. I think this  
25 is one that could work well with the OCD. It's a temporary

1 situation. We're only talking about these allowables  
2 through the payout period. And after that period in time,  
3 then we'd revert back to the old system. I think the OCD is  
4 accustomed to working with special problems, and I cite  
5 specifically the two moratoriums that have been issued since  
6 I've been working in New Mexico.

7 Q. Were those not applied on a basin-wide basis?

8 A. Yes, but they kind of overrode the allocation  
9 system.

10 Q. But I guess the distinction there is they applied  
11 equally to all operators. They were not operator-special  
12 wells, specific situations.

13 A. That's true.

14 Q. Have you considered a situation such as a unit  
15 allowable for the Rincon Unit, which would be some way which  
16 -- would that give you more flexibility in terms of  
17 development within the unit?

18 A. Yes, but it does not fit with the current  
19 allocation system that allocates on the basis of proration  
20 units and individual well deliverabilities.

21 Q. Could it not be backed into from, say, going to  
22 proration unit, then putting the individual proration units  
23 within the system together and creating the unit, the  
24 back-in calculation method?

25 A. That's a viable option.

1           Q.     Just speaking for your company -- I know you're  
2     not the ultimate decision-maker on taking risks -- but from  
3     a field engineering standpoint, would that put you in a  
4     situation where you could make a more comfortable  
5     recommendation to management, or would you feel more  
6     comfortable with the ability to manage the unit and make  
7     development economic?

8           A.     I would really have to put a pencil to paper, but  
9     I will agree that it is a viable option.

10          MR. STOVALL: I think Sarah's ready now. I have no  
11     further questions.

12          HEARING EXAMINER: Go ahead.

13          MS. SMITH: Mr. Hearing Examiner, we have no  
14     substantive questions for this witness, but one that's  
15     simply out of curiosity: What do the letters stand for  
16     following the unit wells, 175M, 158M, 192E? Is there some  
17     significance to those letters?

18          THE WITNESS: The M designation is OCD's method of  
19     identifying a dual completion in two prorated pools, the two  
20     prorated pools being the Basin Dakota and the  
21     Blanco-Mesaverde. The deepest horizon, if there is a well  
22     penetrating, that sets the well number. The E designation  
23     is designation for infill Dakota wells, and A designation  
24     infill Mesaverde wells.

25          MS. SMITH: Thank you for the explanation.

1 HEARING EXAMINER: Is that all? Mr. Carr, do you have  
2 anything further?

3 MR. CARR: Just a couple, Mr. Examiner.

4 REDIRECT EXAMINATION

5 BY MR. CARR:

6 Q. Mr. Hering, in response to questions by Mr.  
7 Stovall you stated you were assuming a decline in the  
8 allowable; is that correct?

9 A. Actually, the numbers that went into the  
10 economics assumed fixed F1s and F2s. As deliverability  
11 declines, allocation declines.

12 Q. If, in fact, we have something that we haven't  
13 seen historically and we see increasing allowables, wouldn't  
14 that, in fact, make the minimum request you're making here  
15 today, or the request for minimum allowables that you're  
16 making here today of little consequence?

17 A. Absolutely correct.

18 Q. You talked about moratoriums, and it was pointed  
19 out that they applied equally to all operators in the basin;  
20 isn't that correct?

21 A. That's right.

22 Q. Does proration apply equally to all operators in  
23 the basin?

24 A. No, it doesn't.

25 Q. If you were able to acquire information from

1 these three wells that you're proposing to drill if this  
2 application is granted, and if you use that information and  
3 it justified additional development, at that time would the  
4 unit allowable be a possibility and a next step to take in  
5 trying to determine how to efficiently produce these  
6 reserves?

7 A. It would probably be the wiser approach.

8 MR. CARR: That's all I have.

9 HEARING EXAMINER: Mr. Hering, I have a few questions.  
10 The four years, or 500 MCF per day, where was that stated in  
11 your request, or did you just state it today for the first  
12 time?

13 THE WITNESS: If I refer to Exhibit 10, here we're  
14 stating the 500 MCF a day in the four-year payout period.  
15 Is that what you're asking?

16 HEARING EXAMINER: I'm asking is this a request for a  
17 four-year period? Is that what UNOCAL's request is for?

18 THE WITNESS: Yes.

19 HEARING EXAMINER: Will the other 84 wells you had  
20 planned, if things turn out as you hope they will, will they  
21 need some allowable incentive also? Would you request 500  
22 MCF per day for those wells, for the ones that are prorated?

23 THE WITNESS: Not all of those wells are prorated. I'd  
24 have to say that it would be an unfair assumption for me to  
25 say that we're going to need help on all of those wells.

1 There's a lot of change in the system, and capacity itself  
2 is changing. As Bill brought up, as capacity increases,  
3 deliverability increases, allocation will increase; and so  
4 that we may not need the assistance in the future is what  
5 I'm saying.

6 HEARING EXAMINER: You may need it on at least 60 or so  
7 of those 84?

8 THE WITNESS: Well, if we drilled them all today, we  
9 would need that sort of assistance. We're not asking for  
10 that today.

11 HEARING EXAMINER: I don't think you answered exactly  
12 how long it would be before you'd get those other wells  
13 drilled. Do you have an approximate answer for that?

14 THE WITNESS: We have looked at a number of different  
15 scenarios. We've looked at -- probably the most reasonable  
16 scenario would be a 12-year development program. But that  
17 could change, depending on the results of these wells.

18 HEARING EXAMINER: Have other operators drilled any  
19 Basin Dakota or Blanco-Mesaverde wells since 1981? That's  
20 the date you said --

21 THE WITNESS: Yes.

22 HEARING EXAMINER: They have?

23 THE WITNESS: Yes.

24 HEARING EXAMINER: Do you know how many?

25 THE WITNESS: I don't know how many wells have been

1 drilled since 1981. Operators to the south of us have  
2 drilled Dakota wells, and those have proven to be  
3 commercial.

4 HEARING EXAMINER: Are your wells in these two pools  
5 producing at their allowable rates now or more than their  
6 allowable rates?

7 THE WITNESS: Let me answer that by saying that we  
8 manage our allowables. The reason that we manage it then is  
9 in order to take advantage of higher prices that we  
10 typically see during winter months. So, typically, during  
11 the summer we will underproduce in order to accumulate  
12 allowable; and, typically, during the winter we will  
13 overproduce in order to take advantage of those higher gas  
14 prices.

15 HEARING EXAMINER: What's the situation right now, are  
16 you in the winter or summer mode?

17 THE WITNESS: We're in the summer mode.

18 HEARING EXAMINER: You're not producing at your  
19 allowable rate now; is that correct?

20 THE WITNESS: We're producing at something under  
21 allowable, I believe, at this point.

22 HEARING EXAMINER: Are any of your wells overproduced  
23 to the extent of 12 times their January allowable?

24 THE WITNESS: No.

25 HEARING EXAMINER: None are?

1 THE WITNESS: None, to my knowledge.

2 HEARING EXAMINER: Exhibit 5, Mr. Stovall asked you  
3 some questions about that, but that's the exhibit that shows  
4 that the smaller your deliverability is, the more of it that  
5 you can expect to produce under the allowable system. Is  
6 this just a picture of the allocation formula for the  
7 pools? I thought that's probably what it is.

8 THE WITNESS: That's all it is.

9 HEARING EXAMINER: It's what written down as allocation  
10 formula, and this describes it.

11 THE WITNESS: That's correct.

12 HEARING EXAMINER: Do you think that should be changed,  
13 or is it fair and equitable?

14 THE WITNESS: Tough question. We're dealing here with  
15 a reservoir that's very tight but that has been produced for  
16 quite a number of years, and so allocating in order to  
17 protect correlative rights and prevent waste seems like a  
18 moot issue at this point.

19 HEARING EXAMINER: This formula, it does put some  
20 restraint on the low deliverability wells, does it not?

21 THE WITNESS: Yes.

22 HEARING EXAMINER: If it were not for the  
23 deliverability portion of the allocation formula, there  
24 would be none.

25 THE WITNESS: That's correct.



1 HEARING EXAMINER: If the allocation formula were  
2 acreage, they could produce probably at 100 percent of their  
3 deliverability.

4 THE WITNESS: That's correct.

5 HEARING EXAMINER: Would you recommend that that 500  
6 MCF per day be extended to other wells if applications were  
7 received here at OCD?

8 THE WITNESS: I would say that would have to depend on  
9 drilling costs and what internal corporate economics  
10 demanded. It would also depend on the formation that was  
11 being considered.

12 HEARING EXAMINER: You think there would be a domino  
13 effect, that we would get applications from other operators  
14 who would also like to drill wells and get data and see  
15 about their situation?

16 THE WITNESS: Honestly, I don't know. It's seems like  
17 most of the activity in the basin right now is for coal  
18 wells.

19 HEARING EXAMINER: Do you think your management -- in  
20 the event this application is not approved, do you think  
21 they'll drill the 192E?

22 THE WITNESS: Yes.

23 HEARING EXAMINER: Do you have other wells in the --  
24 other opportunities within the Rincon Unit which would be as  
25 good as the 192E?

1 THE WITNESS: No.

2 HEARING EXAMINER: That's the only one.

3 THE WITNESS: Well, if the 192E proves advantageous,  
4 then there are, as I mentioned earlier, three other similar  
5 wells.

6 HEARING EXAMINER: Three other similar to that one.

7 THE WITNESS: Yes, sir.

8 HEARING EXAMINER: That would have a good payout even  
9 with the current restraints?

10 THE WITNESS: That's correct.

11 HEARING EXAMINER: On Exhibit 6, compared to Exhibit 7,  
12 there was a growth of the summer allowables on Exhibit 6 and  
13 a decline on Exhibit 7. What's the difference there?

14 THE WITNESS: Well, I'm not sure that I can answer  
15 that, other than to say that we're looking at a logarithmic  
16 scale here and it may be possible that that's causing some  
17 distortion.

18 HEARING EXAMINER: Well, it might be. There's one  
19 going up and one going down, I believe, even on the log  
20 scale. I thought maybe you were anticipating the need for  
21 additional allowable would be there when I looked at 6, but  
22 then on 7 it declined, maybe because of deliverability, was  
23 my guess.

24 THE WITNESS: It probably has something to do with the  
25 amount of deliverability that the original well has, and as

1 that deliverability declines, it achieves a higher and  
2 higher allowable.

3 HEARING EXAMINER: All right.

4 MR. STOVALL: Mr. Examiner, with your permission, I  
5 would like to ask a couple of more questions.

6 HEARING EXAMINER: All right.

7 RECROSS-EXAMINATION

8 BY MR. STOVALL.

9 Q. You indicated in response to the Examiner that --  
10 in whether other similar applications should be granted,  
11 that that was largely based on internal corporate  
12 economics. Do you believe the commission should consider  
13 specific company economics in dealing with these types of  
14 applications?

15 A. Well, I think the commission should consider  
16 what's reasonable in terms of drilling economics and in  
17 terms of production forecasts.

18 Q. When you talk about internal, you indicated  
19 there's differences between companies and how they consider  
20 those economics in making their internal decisions.

21 A. That's correct.

22 Q. Again, I'm inferring -- and please correct me if  
23 I'm wrong -- that you are saying that should similar  
24 applications come from other companies, one of the factors  
25 the division should consider should be that company's

1 internal, company-specific economics?

2 A. That's a very difficult proposition for the OCD.

3 Q. Absolutely; that's why I'm raising the question  
4 since you had suggested that.

5 A. However, again, I think that there is a  
6 requirement on the part of the OCD to establish the  
7 reasonableness and to consider the fact that different  
8 companies will have different situations, the fact that we  
9 in our own company have competing projects in our own  
10 region.

11 Q. I guess I'm hoping I'm not hearing you suggest  
12 that we should consider your internal situation.

13 A. No.

14 Q. Then we'd have to consider each company's.

15 A. That's correct.

16 Q. If we're going to do something, we need something  
17 that we can apply in some uniform way to companies. For  
18 example, would you consider that a recommendation could be  
19 made in some way -- not necessarily at this hearing -- for a  
20 procedure to approve some sort of minimum allowable  
21 administratively for new wells, infill wells, in either of  
22 these pools?

23 A. That's a viable option.

24 Q. One other question, just to shift gears  
25 slightly. Mr. Morrow talked something about the formula.

1       Given a statement that the current allowable formula as used  
2       in these pools, the mathematics of the F1-F2 factors and the  
3       A and A-D and all that is not cast in stone and conceivably  
4       could be changed -- say, what happened if we increased with  
5       significance the percentage attributable to deliverability?  
6       Would that serve to raise allowables in the pool, would you  
7       think? Would that help this situation?

8               HEARING EXAMINER: Have to go the other way, I believe.

9               Q.       (By Mr. Stovall) Let me rephrase the question  
10       then to get the right answer. Could adjusting the ratio  
11       between deliverability and acreage deliverability factors be  
12       done to provide an incentive to new, higher-capacity wells?

13              A.       Yes. And I think if you'll look at Exhibit  
14       Number 5 you'll see it's more advantageous to drill a  
15       Mesaverde well than a Mesaverde-Dakota well primary because  
16       of the way that the factors are weighed.

17              Q.       Again, considering alternatives, that might be  
18       another approach to come up with something that was more  
19       universally applicable and not well specific to a particular  
20       company.

21              A.       That could be an approach. However, you still  
22       have the situation of a good well being penalized and  
23       allocation, in effect, acting as curtailment. But, yes,  
24       there could be a better way of reallocating F1 and F2  
25       number.



1 Q. Where do you reside?  
2 A. Farmington, New Mexico.  
3 Q. By whom are you employed and in what capacity?  
4 A. Union Oil California, d/b/a UNOCAL, district  
5 production manager.  
6 Q. Are you a petroleum engineer by trade?  
7 A. By trade, civil engineer.  
8 Q. Have you previously testified before the New  
9 Mexico Oil Conservation Division?  
10 A. Yes, I have.  
11 Q. Have your credentials as an engineer been  
12 accepted and made a matter of record?  
13 A. Yes, they were.  
14 MR. CARR: Are the witness' qualifications acceptable?  
15 HEARING EXAMINER: Yes.  
16 Q. (By Mr. Carr) Are you familiar with the  
17 application filed in this case on behalf of UNOCAL?  
18 A. Yes, I am.  
19 Q. You've been present for the testimony here today?  
20 A. Yes, I have.  
21 Q. Could you summarize for Mr. Morrow UNOCAL's  
22 position when it comes to the question of granting similar  
23 relief to other operators in the San Juan Basin should those  
24 applications be filed?  
25 A. I'd say that we have no objection to seeing those

1 minimum allowables granted to anyone who would drill a new  
2 well to receive them, and emphasizing that we are talking  
3 about new wells. And it could be on a case-by-case basis  
4 all right, but Mr. Hering spoke to the internal economics.  
5 As long as the economic is the reason for drilling those  
6 wells and getting new allowables and economic consideration,  
7 we don't think that any of them ought to be denied that.  
8 And we don't see any significant impact on capacities due to  
9 that because we're talking about a just a drop in the bucket  
10 for the kinds of new well drilling that's going on in the  
11 prorated pools and compared to what's going on in  
12 non-prorated pools.

13 Q. You mean the new drilling going on in the  
14 non-prorated pools as compared to the prorated?

15 A. Excuse me, that's correct.

16 Q. Do you have anything further you'd like to state?

17 A. No.

18 MR. CARR: I'd pass the witness for cross-examination.

19 MS. SMITH: No questions, Mr. Hearing Examiner.

20 MR. STOVALL: I have just a quick one on that.

21 EXAMINATION

22 BY MR. STOVALL:

23 Q. You talked about you would not oppose, say,  
24 similar minimum allowable for other proration units with new  
25 wells. What about reworking workovers, recompletions, that



1 sort of thing, work done to an existing well to stimulate  
2 the production?

3 A. I would not differentiate between workovers or  
4 drilling. As long as we're talking about developing new gas  
5 that cannot be developed due to economics, then I think that  
6 that's a -- I would hope that that's what the minimum  
7 allowable option that the OCD has could be used for, is to  
8 assure that the new gas could be developed, whether it would  
9 be through a new well or an old well.

10 Q. Now I have a loaded question. Having heard all  
11 the discussion I had with Mr. Hering considering different  
12 options, what is your opinion about whether this is the best  
13 or most reasonable option from a regulatory management  
14 standpoint to provide an incentive for development and  
15 expenditures in these two pools?

16 A. I think that it is the most reasonable because I  
17 feel it's the least objectionable to other parties. We  
18 would love to see a unit allowable or a minimum allowable  
19 that could be spread among all existing and new wells, but  
20 it -- in our discussions with OCD and legal counsel, we're  
21 trying to go with something that we feel that would not be  
22 objectionable to anyone in this request here.

23 Q. Are you saying it's not objectionable because  
24 these specific wells are in the interior of a unit;  
25 therefore, it's not a correlative rights issue?

1           A.     In the interior of the unit there's only three of  
2     them, and the impact on pool water basin-wide for the  
3     additional gas we will produce as a result of being granted  
4     this allowable is totally insignificant.

5           Q.     How would the division use it in order to provide  
6     incentives for other operators to increase development?

7           A.     If operators could achieve the minimum allowable  
8     on drilling new wells, it would be an incentive because it  
9     would increase anyone's economic scenario.

10          Q.     In other words, give it to anybody that wants to  
11     drill a new well?

12          A.     That's right, an incentive for drilling a new  
13     well.

14          MR. STOVALL:  No further questions.

15          HEARING EXAMINER:  Mr. West, do you agree that your  
16     192E doesn't fit the criteria that you've set out as the  
17     basis for the division approving these applications, or do  
18     you think it does meet those criteria?

19          THE WITNESS:  I think that it would provide an  
20     enhancement.  As far as whether it would prevent -- if not  
21     granting the request would prevent that gas from being  
22     developed, then I would say, no, it probably wouldn't  
23     prevent that gas from being developed on the four wells that  
24     we potentially have that are in that --

25          HEARING EXAMINER:  192E plus those other three?

1 THE WITNESS: Right. It would provide us an incentive  
2 if we could get the allowable on the minimum level on any  
3 prorated zone.

4 HEARING EXAMINER: Anything further?

5 MR. CARR: Nothing further.

6 HEARING EXAMINER: Thank you, Mr. West. You may be  
7 excused.

8 Ms. Smith.

9 MS. SMITH: Thank you, Mr. Hearing Examiner.

10 MS. SMITH: Ms. Bolton is distributing exhibits.

11 May it please the Hearing Examiner.

12 HEARING EXAMINER: YES.

13 MS. SMITH: I first want on apologize to Mr. Carr if he  
14 did not receive our prehearing statement.

15 MR. CARR: I did receive a prehearing statement from  
16 the gas company. I did not from the Oil Conservation  
17 Division. Had I known that you were entering an appearance,  
18 you would have received mine

19 VICTOR T. LYON

20 the witness herein, having been first duly sworn, was  
21 examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MS. SMITH:

24 Q. Would you state your full name for the record?

25 A. Victor T. Lyon, L-y-o-n.

1 Q. Where do you reside, Mr. Lyon?

2 A. I live in Santa Fe.

3 Q. What is your occupation?

4 A. I'm a consulting petroleum engineer.

5 Q. And your previous occupation?

6 A. Well, I spent 39 years with Conoco and

7 four-and-a-half years with the OCD as chief engineer and as

8 a consulting engineer.

9 Q. Have you had previous occasions to testify before

10 the division and were your credentials at that time

11 sufficient to qualify you as an expert in the field of

12 petroleum engineering?

13 A. Yes, I have.

14 Q. Have you had occasion to familiarize yourself

15 with UNOCAL's application in this proceeding?

16 A. Yes.

17 Q. Have you had occasion to review and familiarize

18 yourself with the deliverability data on wells in the

19 vicinity of the ones referenced in UNOCAL's application?

20 A. I have made a study of the deliverabilities in

21 the immediate area of these three wells.

22 Q. Are you familiar with the factors in the

23 appropriate proration schedules?

24 A. Yes, I am.

25 Q. Have you been present for the testimony presented

1 here today?

2 A. Yes.

3 MS. SMITH: Mr. Hearing Examiner, I would like to  
4 tender the testimony of Mr. Lyon as that of an expert in the  
5 field of petroleum engineering.

6 HEARING EXAMINER: We accept Mr. Lyon's qualifications.

7 Q. (By Ms. Smith) Mr. Lyon, can you tell us the  
8 reason for your testimony in this matter today?

9 A. Well, when I saw the published advertisement of  
10 the case, I was concerned and consulted with Gas Company.  
11 And Gas Company also seemed to be concerned about the style  
12 of the case and because the case, as described, is a very  
13 sharp departure from established procedures that have been  
14 used by the OCD since gas proration began in 1953.

15 Q. I'd like to direct your attention to Gas  
16 Company's Exhibits numbered 1 and 2. Do you have copies of  
17 those with you?

18 A. Yes, I do.

19 Q. Directing your attention to Gas Company Exhibit  
20 Number 1, can you identify this document?

21 A. Well, Exhibit 1 is just a grid showing the method  
22 I used in studying the deliverabilities involved. The  
23 center rectangle in there with an X represents the quarter  
24 section on which the well is proposed to be drilled. And I  
25 have indicated an inner ring and an outer ring and

1 designated them by a letter. Starting with the northeast  
2 offset to the proposed location, that quarter section is  
3 designated A, and then moving westerly to B and C, and then  
4 southerly to D and E, and easterly to F and G, and northerly  
5 to H, completing the rectangle surrounding the proposed  
6 location. These eight rectangles are designated the inner  
7 ring and then the outer ring. Starting again at the  
8 northeast corner with the I, and proceeding counterclockwise  
9 again through J, K and through to X, indicates the quarter  
10 sections which I tabulated data if there was data available.

11 Q. Thank you. I'd like to direct your attention now  
12 to Gas Company's Exhibit Number 2 and ask if you can  
13 identify that document.

14 A. Well, Exhibit Number 2 is the results of that  
15 calculation for the -- dealing first with the Dakota and the  
16 well in section 22, the inner ring had a high deliverability  
17 of 252 and a low deliverability of 159 and an average  
18 deliverability of 198. Under the current proration factors,  
19 on a 320-acre unit, such a well would receive an allowable  
20 of 5,505, which is a little over a third of what they,  
21 UNOCAL, is requesting.

22 On a 160-acre unit, it would receive only half of  
23 that, 2,753. And if it had no acreage at all, it would have  
24 zero. Now, I mention this because the case as advertised,  
25 as well as the application and the amended application,

1 mentioned a special allowable for a well. In New Mexico  
2 there has never, to my knowledge, been an allowable given to  
3 a well. An allowable is given to a gas proration unit with  
4 one or more wells located on it.

5 Q. Mr. Lyon, you've made similar calculations for  
6 each of the wells --

7 A. Yes.

8 Q. -- in the application. I notice that there is no  
9 summary information on the well in Section 1 for the Dakota  
10 pool listed on your exhibit.

11 A. Yes, that's true.

12 Q. Why is that?

13 A. Well, at the time I prepared this exhibit the  
14 data that I had on Section 1 was a little bit in doubt as to  
15 accuracy and, therefore, I did not put any data on the  
16 exhibit.

17 Q. Do you have that data now?

18 A. I have since gathered the data. And the well in  
19 Section 1 for the Dakota, the inner ring has a high of 342,  
20 a low of seven, an average of 177, and the -- would have --  
21 would receive an allowable of 5,376 for a 320-acre proration  
22 unit, 2,688 for a 160-acre proration unit and zero for no  
23 acreage. The outer ring had a high of 446, a low of 122, an  
24 average of 252, which would earn an allowable of 5,834 for a  
25 320-acre unit and 2,917 for a 160-acre unit.

1           Q.     Just for clarification, you present no data on  
2 the Gallup pool since it's not a prorated pool?

3           A.     Correct, I did not have data for it.

4           Q.     Your last printed entry on your exhibit refers to  
5 deliverability needed to earn 500 MCF per day. Can you  
6 explain that entry?

7           A.     Yes. The -- using the factors which are  
8 currently in use, my calculations indicated that for a  
9 Dakota well to earn an allowable of 500 MCF a day, it would  
10 need a deliverability of 1,752 for a 320-acre unit or 4,208  
11 for a 160-acre unit.

12                   As to the Mesaverde, it would take a  
13 deliverability of 1,022 for a 320-acre unit and 2,281 for a  
14 160-acre unit. And the purpose of this statement is to  
15 illustrate the amount of bonus that UNOCAL is asking for for  
16 these wells that they propose to drill.

17           Q.     Then can you summarize your conclusions from your  
18 review of deliverabilities and this summary of expected  
19 allowables?

20           A.     Well, I think that -- in the first place, let me  
21 observe that UNOCAL's record of drilling since 1982 in the  
22 Rincon Unit in these two prorated pools is very little  
23 different from anybody else's record of drilling in those  
24 two pools. Now, I think that UNOCAL's economics are a  
25 little different from anybody else's economics in drilling



1 in these two pools.

2 I'm very concerned as far as the stability of  
3 proration, the stability of the system, that special  
4 allowables be considered in such a situation. I think that  
5 if incentive is needed, there is a right way to go about it,  
6 and there's a wrong way. And the way that UNOCAL has chosen  
7 is the wrong way. I think that every operator in the pool  
8 probably needs incentives just as much as UNOCAL does and  
9 that any solution to this should be done on a pool-wide  
10 basis.

11 Q. Mr. Lyon, was there anything else that you wanted  
12 to comment on on either your Exhibits 1 or 2?

13 A. I don't believe so.

14 Q. And were these exhibits either prepared by you or  
15 at your direction?

16 A. Let me make one observation.

17 Q. Okay.

18 A. The -- two observations. The allowables that  
19 I've calculated here are based on the F1 and F2 factors  
20 which are in place for the summer months. Of course, the  
21 factors have not been established for the winter months. It  
22 -- one could look at the average of the factors that were  
23 used last winter and come up with different factors. The  
24 allowables here would be higher because the F1-F2 factors  
25 are higher for the winter months than they are here.

1 I'd also like to observe that the rules that we  
2 now have provide that a non-marginal well can become  
3 overproduced to up to 12 times its January allowable. And  
4 this gives the operator a great deal of flexibility early in  
5 the life of a well to do whatever testing is needed to be  
6 done. And in my view, there really is no justification for  
7 the relief that UNOCAL has sought.

8 Q. Again, I'll ask you, were the Exhibits 1 and 2  
9 either prepared by you or at your direction?

10 A. Yes, they were.

11 MS. SMITH: At this time, Mr. Hearing Examiner, I'd  
12 like to move the admission of Exhibits 1 and 2.

13 HEARING EXAMINER: Exhibits 1 and 2 are admitted.

14 MS. SMITH: Thank you.

15 Q. (By Ms. Smith) Mr. Lyon, can you please tell the  
16 Hearing Examiner how UNOCAL's application will affect  
17 correlative rights?

18 A. Well, I think that there's no way that granting  
19 the application can do anything but impair correlative  
20 rights. Now, if you look at the statute and the  
21 legislature's directives to the OCD in establishing  
22 allowables, the allowables are to be assigned in as nearly  
23 as it's possible to do so in proportion to the reserves in  
24 place in each pool as compared to the reserves in the entire  
25 pool. In other words, it should be assigned as nearly as

1 possible to the reserves in place under the tracts in the  
2 pool.

3 And particularly in the Basin Dakota pool --  
4 well, let me preface that by saying that these formulas were  
5 proposed by a committee that was formed, I think, in 1954 to  
6 develop rules for the pools in the San Juan Basin. And that  
7 committee came up with a formula of 25 percent acreage, 75  
8 percent acreage times deliverability. In the Dakota pool,  
9 some years after proration began, and after the Jalmat  
10 decision in the Continental Oil case, Consolidated Oil and  
11 Gas brought an application to the OCD and asked that the  
12 formula be changed.

13 And under the guidelines established in the legal  
14 opinion in the Continental case, it was necessary to  
15 completely evaluate the reserves under each tract. And  
16 Consolidated made a showing that the formula, 60 percent  
17 acreage, 40 percent acreage times deliverability was  
18 superior to the 25 percent-75 percent formula. Now,  
19 assuming that the allowable assigned -- and, here again, the  
20 OCD is required to provide the opportunity for people to  
21 produce their fair and equitable share of gas in the pool.  
22 Whether they do it or not is up to the operator, but the  
23 allowable represents their opportunity to produce their fair  
24 share.

25 Now, if you move away from the allowable, the

1 allowable formula, then by a reasonable analysis you're  
2 moving away from equity because the formula represents  
3 equity. And should this case be -- should this application  
4 be granted, then you've established a precedent in there  
5 which could result in many, many applications for similar  
6 relief and a further movement away from equity in the pool.  
7 And I think it would be a very undesirable situation to  
8 establish such a precedent.

9 Q. Mr. Lyon, how won't UNOCAL's application prevent  
10 waste?

11 A. I don't see that waste is involved.

12 Q. Mr. Lyon, does this complete your testimony in  
13 this matter?

14 A. I believe so, yes.

15 MS. SMITH: Thank you.

16 Mr. Hearing Examiner, we'll pass the witness.

17 HEARING EXAMINER: Mr. Carr.

18 CROSS-EXAMINATION

19 BY MR. CARR:

20 Q. Mr. Lyon, if I understand your testimony, you  
21 first became aware of this case when you read about it in  
22 the newspaper?

23 A. No, I received a copy of the docket.

24 Q. And then I believe you testified at that time you  
25 contacted Gas Company of New Mexico?

1           A.     Yes.

2           Q.     Do you have any sort of formal relationship with  
3 Gas Company of New Mexico?

4           A.     Yes.

5           Q.     Are you retained by them, in fact, to monitor  
6 dockets and report to them when matters that may affect  
7 their interests are coming up before the commission?

8           A.     Yes.

9           Q.     Now, when you looked at this, you obviously  
10 concluded that this had an impact on the interest of a gas  
11 company in Suntero; is that correct?

12          A.     I concluded that there was a good possibility  
13 that there may be.

14          Q.     Do they produce any wells in the San Juan Basin?

15          A.     I don't know.

16          Q.     Do you know --

17          A.     I don't think they do.

18          Q.     Do you know if they produce any wells in the  
19 Rincon Unit?

20          A.     I'm sure they don't.

21          Q.     Do they operate any wells in the basin that  
22 you're aware of?

23          A.     No.

24          Q.     Do they own any mineral interests?

25          A.     I don't know.

1           Q.     Do they have any correlative rights or any  
2 mineral interests that this commission is directed by  
3 statute to protect?

4           A.     I think they represent a lot of parties who do.

5           Q.     And what is that relationship? What kind of  
6 relationship does Gas Company have with other parties?

7           A.     Well, it is becoming less and less so, but in  
8 years past pipeline companies were a close ally to the OCD  
9 in managing the taking of gas to keep wells in balance, to  
10 prevent wells from being reclassified to marginal and to  
11 make sure that they were not overproduced excessively. And  
12 Gas Company is one of the few transporters still remaining  
13 that essentially purchases the gas that they take.

14          Q.     So, in essence, what they're here for is watching  
15 out for the correlative rights of some other undefined group  
16 of people.

17          A.     I don't think that is a fair characterization,  
18 Mr. Carr.

19          Q.     My question is whose correlative rights are you  
20 interested in protecting here?

21          A.     I think that Gas Company is interested in  
22 maintaining the integrity of the rules of the OCD.

23          Q.     Now, you recognize that this application is not  
24 asking for the rules to be changed, but an exception to  
25 those rules.

1           A.     That's right, but every exception that's given to  
2 a rule weakens that rule to a considerable extent.

3           Q.     And while you were with the OCD, you administered  
4 the proration system, did you not?

5           A.     Yes, I did.

6           Q.     And those rules have been changed from time to  
7 time; isn't that correct?

8           A.     That's true.

9           Q.     In fact, while you were here the rules were  
10 changed, were they not?

11          A.     That's true; I chaired the committee.

12          Q.     And they were changed because of new  
13 circumstances in the gas market; isn't that right?

14          A.     Not necessarily new circumstances; I think a  
15 better understanding of the circumstances that we found  
16 ourselves in after FERC dismembered the natural gas  
17 industry.

18          Q.     And the pipelines were no longer in a position to  
19 nominate. That would be one circumstance, would it not?

20          A.     They were less a purchaser and more merely a  
21 transporter, so they really did not have that much of a feel  
22 for market demand, which proration is based on.

23          Q.     That was a change in circumstances, wasn't it?

24          A.     Yes.

25          Q.     So that caused some changes in the rules.

1           A.     Yes.

2           Q.     And the circumstances continue to change. We  
3 have to continually evaluate the rules to see if they meet  
4 their stated purposes.

5           A.     Yes, that's true.

6           Q.     And you've heard some alternatives proposed here  
7 today, a unit allowable. Do you have an opinion on that?

8           A.     I certainly do.

9           Q.     What would that be?

10          A.     That's another serious departure from the system  
11 of the OCD, and I think that it would need to be evaluated  
12 very closely before you entered into such a thing.

13          Q.     Is that your opinion, or is that the Gas  
14 Company's, or are they the same?

15          A.     That's my opinion.

16          Q.     Now, when we talk about --

17          A.     I expressed that when I was chief engineer.

18          Q.     But you're not speaking for the Gas Company  
19 necessarily when you say that.

20          A.     No.

21          Q.     When we hear alternatives about changing the  
22 ratio between deliverability and acreage in these formulas,  
23 do you have an opinion whether or not that would be  
24 advisable?

25          A.     I don't know of anybody who's got enough time to



1 prepare the data that could support it.

2 Q. And that would probably be an impossible  
3 alternative then, is what you're saying.

4 A. Yes.

5 Q. If I look at your exhibits and look at Exhibit  
6 Number 2, you title this "Expected Allowables" at the top.  
7 Is that for proration units or individual wells?

8 A. That's based on proration units.

9 Q. Now, on each of the wells that are involved here  
10 today, you haven't taken into account the allowable that  
11 would be produced by an existing or parent well on that  
12 unit, have you?

13 A. I did not evaluate that because the application  
14 just spoke of an allowable to a well.

15 Q. So you prepared an exhibit that talks about  
16 allowables for proration units?

17 A. Yes, plus the last column there on the right-hand  
18 column that says a well that doesn't have a proration unit  
19 would not receive any allowable.

20 Q. Still, we're talking -- aside from that, a well  
21 without a proration unit gets no allowable? Is that what  
22 you said?

23 A. That's what our system --

24 Q. Do you know of many wells with no proration  
25 units?

1           A.     No, I don't. But you didn't mention a proration  
2 unit in your application.

3           Q.     Your exhibit talks in terms of proration units;  
4 that's all I'm asking you.

5           A.     That's right.

6           Q.     You didn't take into account parent wells.

7           A.     That's correct.

8           Q.     Did you take into account in any way the fact  
9 that we're not asking for allowable to be accumulated?

10          A.     I did not have any information as to what the gas  
11 proration unit consisted of.

12          Q.     Now, as I understand, you are very concerned  
13 about the prorating system.

14          A.     Yes.

15          Q.     And if I understood your testimony, you're  
16 concerned because the prorationing system is designed to  
17 protect correlative rights, and that is, give everyone their  
18 share and not give someone more than their share.

19          A.     Right.

20          Q.     When you look at the prorationing system, the  
21 statute talks just in terms of proration by pools.

22          A.     Right.

23          Q.     Do you have any concern about allowing people  
24 their fair share between pools or just because that's  
25 outside the statute?

1           A.     Well, the statute does mention that. And I think  
2     that it says that as far as is practical to do so, they  
3     should avoid any discrimination between -- any excessive  
4     discrimination between pools.

5           Q.     When we talk about that, do you see any problem  
6     developing in a situation where you have substantial  
7     development going on in non-prorated pools like the  
8     Fruitland Coal & Gas that are non-prorated where there was  
9     some deliverability and at the same time allowables which  
10    restrict production from prorated pools? Does that trouble  
11    you?

12          A.     It certainly does.

13          Q.     And that regard, do you feel that certain pools  
14    are not getting their fair share when compared to the total  
15    takes from the basin?

16          A.     I think that's a very good possibility.

17          Q.     And that the non-prorated pools, in fact, are  
18    deriving some benefit?

19          A.     Absolutely.

20          Q.     I know you've never been asked to do this in  
21    terms of thinking of alternatives: Are you aware of  
22    anything that could be done to give an incentive to any  
23    wells to get the non-prorated gas going other than with --  
24    matters that have been advanced here today?

25          A.     Well, you might give the same incentive that the

1 coal gas gets, and that's a tax credit.

2 Q. For all new development? Is that what you're  
3 suggesting?

4 A. Well --

5 Q. I'm not putting the word "suggesting" in your  
6 mouth. Is that -- when you say that you're suggesting or  
7 saying that it's possible that a tax credit could be given  
8 to wells, are you talking about new wells or all wells?

9 A. Well, usually those incentives are given to new  
10 wells, but it doesn't necessarily have to be that way.

11 Q. In terms of waste, you don't see any waste issue  
12 involved here?

13 A. No.

14 Q. If incentive isn't given in some form to wells to  
15 get certain properties developed and going, you don't see a  
16 potential for reserves ultimately being left in the ground?

17 A. I don't know that that's -- I'm not sure that  
18 that's waste, the fact that it's left in the ground this  
19 year, next year or year after.

20 Q. Or ultimately?

21 A. The price of gas will ultimately rise to the  
22 extent that it will be economical to drill those locations.

23 Q. It's your position that all locations some day  
24 will be economic to drill?

25 A. I wouldn't go quite that far.

1 Q. I didn't think you would. Let me ask you one  
2 last question. Are you aware that Gas Company has, in the  
3 last couple of weeks, been trying to negotiate a contract to  
4 purchase gas from one of the wells which is the subject of  
5 the application?

6 A. I became aware of that last night.

7 MR. CARR: That's all I have.

8 MR. STOVALL: I have a couple of questions for Mr.  
9 Lyon.

10 EXAMINATION

11 BY MR. STOVALL:

12 Q. Mr. Lyon, UNOCAL has testified today that the  
13 allowable system as it operates, if I understand in  
14 summarizing it correctly, the allowable system as it  
15 operates causes their management to not spend money to  
16 develop wells in the Rincon Unit because they cannot, with  
17 any acceptable level of comfort, predict that allowables  
18 will be and stay at a level which will allow them to enjoy a  
19 reasonable rate of return. Is that your understanding of  
20 their rationale?

21 A. I think that's a fair statement of what I heard  
22 them say.

23 Q. If I understand you correctly, you do not believe  
24 that the application, even taking away the issue of whether  
25 it's a well or proration unit, you don't believe this

1 application for a special allowable for three new wells in  
2 the unit is an appropriate way to address that problem; is  
3 that correct?

4 A. That's the way I feel, yes.

5 Q. Do you have any recommendations as to what the  
6 division might do to alleviate these concerns on  
7 management's part?

8 A. I think that UNOCAL has shown that there is a  
9 probable need for some incentives. I think that it might be  
10 well to, number one, set up a committee to investigate it;  
11 number two, to call a hearing to let people put input into  
12 changes, incentives that can be offered. Whatever you do, I  
13 think it ought to be on a pool-wide basis.

14 MR. STOVALL: No further questions.

15 HEARING EXAMINER: Is Gas Company connected to any of  
16 the wells out there now? Mr. Carr asked a question about  
17 operating wells. I wasn't sure that's what he meant. But  
18 does the Gas Company gather any gas from either the Basin  
19 Dakota or the Blanco-Mesaverde?

20 THE WITNESS: They may transport gas. I don't know for  
21 sure; but I understand that there is a gathering system  
22 which is about to change ownership and that Gas Company has  
23 been contacted to possibly take the gas from that system.

24 HEARING EXAMINER: If Gas Company did connect one of  
25 these proposed wells and it were granted the incentive,

1 would Gas Company take the gas?

2 THE WITNESS: I have no position on that.

3 HEARING EXAMINER: You don't know?

4 THE WITNESS: I don't know that much about that.

5 That's somebody else's responsibility. I have no reason to  
6 think that they wouldn't, but I just don't know.

7 HEARING EXAMINER: You mean by not thinking they  
8 wouldn't, you'd think they'd probably take at the allowable  
9 rate or in proportion to the allowable rate in an equitable  
10 way?

11 THE WITNESS: I think they would take those wells  
12 equitably along with everybody else that they're connected  
13 to.

14 HEARING EXAMINER: Honoring their allowable?

15 THE WITNESS: Yes.

16 HEARING EXAMINER: And you may have answered this when  
17 you answered Bob's question, but you mentioned the right way  
18 to do this incentive. And would you have anything to add to  
19 that committee recommendation?

20 THE WITNESS: Well, I would hate to see the situation  
21 arise when somebody who doesn't know that much about  
22 proration in the San Juan Basin were to ask you, "How do you  
23 set allowables up there?" And you say, "Well, normally we  
24 set the allowable this way, but for UNOCAL the allowable is  
25 set this way and for Texaco it's set that way and for Conoco

1     it's set another way." I think that you're just tearing  
2     your system apart if you get into that situation.

3           HEARING EXAMINER: You mentioned flexibility with the  
4     12 times January overproduction limit.

5           THE WITNESS: Yes.

6           HEARING EXAMINER: And under the system we used up  
7     until April to set allowables, production and overproduction  
8     was one way to get the allowable increase for the pool.

9           THE WITNESS: Yes.

10          HEARING EXAMINER: As chairman of the committee, did  
11     you intend that that committee that drafted these proposed  
12     rules -- did you intend that that continue to be a way to  
13     effect future allowables, production and overproduction?

14          THE WITNESS: Well, yes, to a large extent. I do not  
15     think that you can find a better indicator of market demand  
16     than the actual production and sale into the pipeline. I  
17     also envision that perhaps the industry would become  
18     organized in such a way that people who were purchasing the  
19     gas, or transporting the gas, or whatever would have a  
20     better feel for anticipated market demand. With the  
21     purchasers and transporters being so fragmented, the OCD had  
22     no way to really evaluate whether nominations were realistic  
23     or not. I'm hopeful that some day the industry may  
24     stabilize to the point that you can get meaningful  
25     nominations from the people who have an idea of what market



1 demand is.

2 HEARING EXAMINER: Do you think the allocation formulas  
3 are fair in these two pools? You talked about that some.

4 THE WITNESS: Well, the -- I must start with a  
5 presumption, and I think that the law would so presume that  
6 the formulas are fair and equitable because testimony has  
7 gone into the record to indicate that they are, and  
8 particularly in the Basin Dakota, when the formulas were  
9 reviewed and after all this review and study, a new formula  
10 was adopted.

11 HEARING EXAMINER: The law concerning the excessive  
12 discrimination between pools, you understand that as being  
13 an OCD requirement to monitor, or is that instructions to  
14 the purchasers and the transporters and gatherers of gas?

15 THE WITNESS: Well, it's one of those things that is  
16 hard to evaluate. You know, when does discrimination become  
17 excessive? Certainly there are some pools, and I can think  
18 of some off the top of my head, where the situation is ripe  
19 for them to take virtually full deliverability out of those  
20 wells in those pools. And in other pools, it is not so  
21 fortunate, and so there is a smaller percentage of the pool  
22 deliverability that comes out of those pools. It's a little  
23 hard to monitor those things, particularly with the amount  
24 of staff that the OCD has. And I think that about the best  
25 you could do would be to entertain somebody's complaint that

1       there is discrimination.

2               HEARING EXAMINER: I believe in answering Mr. Carr's  
3 question you indicated you thought there was a  
4 discrimination between the prorated pools and the basin  
5 Fruitland Coal production. Did I read that right?

6               THE WITNESS: Yes, you certainly did. And I'm sure  
7 you're aware of this, but the last figures that I saw on  
8 coalbed methane gas, that pool is the second largest pool in  
9 the state of New Mexico. It has passed Basin Dakota and is  
10 -- if it hasn't already passed Blanco-Mesaverde, it is  
11 about to.

12              HEARING EXAMINER: Do you have any further questions,  
13 Ms. Smith?

14              MS. SMITH: Mr. Examiner, I do have a couple of  
15 questions on redirect.

16              HEARING EXAMINER: All right.

17                                      REDIRECT EXAMINATION

18       BY MS. SMITH:

19              Q.     Mr. Lyon, in your capacity as consultant for Gas  
20 Company of New Mexico, are you aware of whether Gas Company  
21 of New Mexico or Suntero purchases gas from either the  
22 Dakota or Mesaverde formations?

23              A.     I'm not -- I can't say for certainty, but it's my  
24 impression that you do.

25              Q.     Then put it this way: Are you aware of whether

1 or not Gas Company and Suntero Gas Gathering Company  
2 purchase gas within the state of New Mexico?

3 A. Well, I know that you purchase gas within the  
4 state of New Mexico.. And on further reflection, I know that  
5 I have seen the proration schedule where wells are connected  
6 to Suntero and to Gas Company.

7 Q. And as a purchaser of gas in the state of New  
8 Mexico, is it fair to say that as a purchaser those  
9 companies are impacted by the prorationing rules in the  
10 state of New Mexico?

11 A. Absolutely.

12 Q. And would a change in those prorationing rules  
13 impact those companies?

14 A. Certainly.

15 MS. SMITH: Thank you, Mr. Hearing Examiner. I have no  
16 further questions.

17 HEARING EXAMINER: Mr. Lyon, you may be excused.

18 Mr. Stovall.

19 MR. STOVALL: I've got one witness, and I'll try to  
20 make it brief.

21 FRANK CHAVEZ

22 the witness herein, having been first duly sworn, was  
23 examined and testified as follows:

24 DIRECT EXAMINATION

25 BY MR. STOVALL:

1 Q. Would you please state your name and place of  
2 residence?

3 A. My name is Frank Chavez. I reside in Aztec, New  
4 Mexico.

5 Q. And how are you employed, Mr. Chavez?

6 A. I'm district supervisor of the District 3 in  
7 Aztec for the Oil Conservation Division.

8 Q. And how long have you been so employed?

9 A. Since 1978.

10 Q. And would you just describe your duties in that  
11 position as they relate to the proration system and,  
12 specifically, the Basin Dakota and Blanco-Mesaverde pools?

13 A. My duties in proration concern evaluating  
14 deliverability tests that are used and abused in calculating  
15 allowables, scheduling pools for testing for deliverability,  
16 assigning allowables to new wells on the basis of changes or  
17 new wells added to prorated pools. Also I serve on  
18 committees and make recommendations concerning proration to  
19 the OCD.

20 Q. In the process of doing that for the last 12 or  
21 so years, have you become familiar with the allowable system  
22 as it works within those two pools?

23 A. Yes, I am.

24 Q. And have you reviewed the application submitted  
25 by UNOCAL in this case and determined its effect?

1           A.     Yes, I have.

2           Q.     Have you prepared certain exhibits in connection  
3 with that application?

4           A.     Yes, I have.

5           Q.     And are you prepared to make certain  
6 recommendations today to the division with respect to that  
7 application?

8           A.     Yes, I am.

9           Q.     Mr. Chavez, as you make these recommendations, is  
10 it correct to say that you are making those basically as  
11 your recommendations as the supervisor of the Aztec district  
12 office, based upon your information and the effect of the  
13 application on that office and that you do not speak for the  
14 division as a whole; is that correct?

15          A.     That's correct.

16          MR. STOVALL: Mr. Examiner, I would offer Mr. Chavez as  
17 an expert in the regulatory impact of proration.

18          HEARING EXAMINER: We accept his qualifications.

19          Q.     (By Mr. Stovall) Mr. Chavez, again, you've  
20 reviewed the application, you're prepared to make a  
21 recommendation. Let me ask you first: Do you understand --  
22 what is your understanding is the purpose of the application  
23 filed by UNOCAL?

24          A.     My understanding is that UNOCAL would like a  
25 special allowable assigned to new wells as incentive to

1 drill those wells and further develop the Rincon Unit.

2 Q. Now, based specifically upon the testimony that  
3 you've heard today, and more generally upon any other input  
4 which you've had, what is your opinion, or what is your  
5 belief as to UNOCAL's reason for believing it needs a  
6 special minimum allowable for these three proposed wells?

7 A. I understand that they believe that they're  
8 impacted negatively by proration in these pools and --

9 MR. CARR: Excuse me, Mr. Examiner. I really don't  
10 want to start doing this, but this is just rank speculation,  
11 having one person speculate about what we think we may need.

12 MR. STOVALL: Mr. Carr, I'm only asking for purpose of  
13 background what Mr. Chavez's understanding is so you  
14 understand his testimony.

15 MR. CARR: Our testimony is set out, what our concern  
16 was. It speaks for itself.

17 Q. (By Mr. Stovall) You heard their testimony then;  
18 is that correct, Mr. Chavez?

19 A. Yes, I did.

20 Q. In response to the concern as expressed by  
21 UNOCAL, do you believe that the application is the way to  
22 address the concerns that they have?

23 A. No, I don't, for several reasons. One, the  
24 information that I've been able to gather shows that their  
25 premise is incorrect about them being negatively impacted by

1 proration, first. Second, they haven't fully understood how  
2 the current deliverability and proration rules actually can  
3 work to their advantage to gather the information for  
4 drilling new wells. And thirdly, their application would be  
5 a great -- equivalent application would be a big departure  
6 from our statutory responsibility, and, in fact, I think  
7 would be in opposition to protecting correlative rights.

8 Q. Now, when we talk about negative impact of the  
9 proration system, that means that the wells are restricted.  
10 Do you understand it to mean that wells are restricted to a  
11 production below an economic level for new development; is  
12 that correct?

13 A. No. That's the way they were trying to say, the  
14 way I understood it, but that's not the way I understand  
15 it. I've prepared some exhibits that indicate how proration  
16 has affected production, or how proration and production  
17 have been used in the Rincon Unit, at least since February  
18 of '90. And by looking at these exhibits, the data that  
19 they came from, it appears that they have not been impaired  
20 by proration from producing their allowables.

21 Q. As we go into those exhibits -- you've got  
22 Exhibits Number 1 and 2. Would you briefly describe what  
23 they are in general? And then we'll go to the specifics and  
24 importance of the exhibits.

25 A. Exhibit Number 1 is graphic, and some

1 explanations of -- some graphics and explanation of  
2 production, allowable, produceability, also how  
3 deliverability can be used to produce new wells to gather  
4 information, also a little bit of history on proration in  
5 the Rincon Unit.

6 Exhibit Number 2 -- I apologize for the quality  
7 of the exhibit, but I realized after I made my other  
8 exhibits that I didn't have the supporting data for the  
9 graphs, so at the last minute I did put these together. If  
10 somebody wants, I've got the original printouts. I've also  
11 got a copy on disk of these worksheets, if people would want  
12 these after the hearing.

13 Q. I understand when you say you didn't have the  
14 data, your Exhibit Number 1 was prepared with this  
15 information; is that correct?

16 A. Yes. Exhibit Number -- the data on Exhibit  
17 Number 2 was used to prepare the graphs and other  
18 information on Exhibit 1.

19 Q. Then what you subsequently did was put Exhibit  
20 Number 2 together to provide the backup data so people could  
21 check the information.

22 A. That's right.

23 Q. What is the source of the information in Exhibit  
24 Number 2?

25 A. The source of the information is the northwest



1 New Mexico gas proration schedule, starting in February of  
2 '90.

3 Q. Let's move on to the first page of Exhibit Number  
4 1, and explain what that exhibit is, what it shows, its  
5 significance.

6 A. The first page of Exhibit Number 1 is entitled  
7 "Rincon Unit Dakota." On there I show graphical  
8 representation of the allowables in production and what I  
9 call produceability of the Dakota wells in the Rincon Unit  
10 from February of '90 through March of -- I'm sorry, through  
11 May of '91. I don't have the complete data for each month  
12 in each item, but I do have production and allowable from  
13 March of '90 through February of '91, which is 12 months.  
14 What this shows is that since February of '90 -- sorry,  
15 since March of '90, UNOCAL has pretty much consistently  
16 underproduced the Dakota pool in the Rincon Unit.

17 Q. Production is shown by the line with the squares?

18 A. That's right. The production is squares, the  
19 allowable is the diamond and produceability is the  
20 triangle. Only three months during that 12-month period did  
21 UNOCAL overproduce its allowable, and then only slightly  
22 during the months of April of '90 and August and September  
23 of '90.

24 Mr. Hering testified about allowable management,  
25 and there is nothing that's shown here on this particular

1 graph that indicates an attempt to underproduce during the  
2 summer months -- to accumulate underproduction and  
3 overproduce during the winter months. Produceability is  
4 something that I put in here, and it's based on the  
5 cumulative Q values of the 1990 deliverability tests in the  
6 Dakota wells in the Rincon Unit.

7 The -- to a degree, that would be the best  
8 producing day for a Dakota well in the Rincon Unit, I guess,  
9 if we were going to characterize it. It shows that  
10 consistently the wells are producing perhaps around 50 or  
11 less percent -- I'm sorry -- well, they're not producing  
12 more than 80 percent of the produceability in the Dakota.  
13 The pool has -- the Rincon Unit has been so underproduced  
14 that some wells have been reclassified from non-marginal to  
15 marginal.

16 Q. This exhibit, now, it shows production and  
17 allowables for both marginal and non-marginal wells; is that  
18 correct?

19 A. That's correct.

20 Q. So it reflects all the wells in the Rincon Unit,  
21 not just the non-marginal wells, which are affected any  
22 point in time by the allowable?

23 A. That's correct.

24 Q. Most affected. And it does not show the status  
25 of any individual well or proration unit within the unit,

1 but rather the overall status of production and allowables  
2 for the unit; is that correct?

3 A. That's what the graph shows. The data on Exhibit  
4 Number 2 shows that per well.

5 Q. Now let's move on to the second page. You talked  
6 about reclassification.

7 A. Yes. Specifically, on the non-marginal wells,  
8 the non-marginal wells have been so underproduced in the  
9 unit that in May of 1990 15 of the non-marginal wells were  
10 reclassified to marginal, and over 113,000 MCF of allowable  
11 of underproduction was cancelled. In September of 1990  
12 eight non-marginal wells were reclassified to marginal and  
13 over 151,000 MCF of underproduction was cancelled. That's  
14 allowable that was assigned and not produced.

15 Q. If we go on to the next two pages, essentially is  
16 that correct to say that shows the same information for the  
17 Mesaverde wells in the unit?

18 A. Yes, it does.

19 Q. And what conclusions do you see there, again,  
20 just briefly?

21 A. Again, that the Rincon Unit has not produced its  
22 allowable as has been even assigned, so it indicates that  
23 there's been no restriction on production because of  
24 allowables.

25 At this point, I could also refer to the -- I

1 didn't include it as an exhibit, but Mr. Hering did refer to  
2 the gas proration schedule. The data from the April gas  
3 proration schedule is part of Exhibit Number 2, though it's  
4 a little bit hidden, as busy as that exhibit is. Anyway, it  
5 shows that at the end of February, which is the end,  
6 basically, of the winter production months, only three of  
7 the non-marginal wells in the Basin Dakota pool in the  
8 Rincon Unit were overproduced.

9           They were produced, overproduced -- number 149  
10 well was overproduced approximately three days, the number  
11 157 well was overproduced approximately a little over ten  
12 days, and the number 164 well was overproduced only about  
13 two days, and all the other non-marginal wells were  
14 underproduced, which indicates that they had more than  
15 adequate allowables and were not in any way restricted. One  
16 information I did not -- that's in the Basin Dakota pool --  
17 information I did not include were reclassifications from  
18 the May proration schedule which was not published, but  
19 there were reclassifications made. I just haven't showed  
20 them, and I'm not ready to testify about those.

21           Q.     Exhibit 2, the first two pages are the Dakota and  
22 the third page is the Mesaverde; is that correct?

23           A.     That's right. And at the bottom of page two of  
24 Exhibit 2 I show that during the 12-month period from March  
25 '90 through February of '91, the Dakota in the Rincon Unit

1 was underproduced a total of 700 -- over 781,000 MCF. On  
2 the third page at the very bottom -- I'm sorry for the size  
3 of this -- it shows a Blanco-Mesaverde pool in the Rincon  
4 Unit was underproduced a total 323,683 MCF. So the premise  
5 of restriction by allowables, it doesn't seem to be clear  
6 from the actual production history in the Rincon Unit.

7 Q. Mr. Chavez, now, is there anything else with  
8 respect to your graphs and underproduction, your  
9 reclassifications, the first four pages of Exhibit 1 you  
10 need to discuss?

11 A. At this point, no.

12 Q. Mr. Chavez, you heard -- were here for some  
13 discussion which -- some questions which I asked Mr. Hering  
14 with respect to his assumptions and the new proration  
15 system, the six-month proration system that went into  
16 effect; is that correct?

17 A. Yes, I was.

18 Q. Now, have you got any information with respect to  
19 what happened with the new proration order and how that  
20 affected the Rincon Unit wells?

21 A. To some degree, yes. Starting with page five of  
22 Exhibit 1, this isn't the new proration order -- excuse me,  
23 this 8170 as amended. This is order R-9473.

24 Q. That's the actual proration order under the new  
25 schedule; is that correct?

1           A.     Yes, it's the proration order which established  
2     and set the allowables for the pools in the state for the  
3     next six months.

4           HEARING EXAMINER:   What page are you referring to,  
5     Frank?

6           THE WITNESS:   The fifth page.

7           Q.     (By Mr. Stovall) It's identified as UNOCAL's  
8     share of increased allowable from order R-9473?

9           A.     That's correct.   At the hearing that resulted in  
10    order R-9473 UNOCAL and others testified about needing more  
11    allowable in the Basin Dakota and Blanco-Mesaverde pools,  
12    otherwise, the allowables would be too low.   What I did is I  
13    totaled the UNOCAL acreage factors and acreage  
14    deliverability factors and as a percentage of the pool  
15    acreage factors and acreage deliverability factors.   And the  
16    Basin Dakota pool, using those factors, plus the increase  
17    that was allowed under that order, UNOCAL will get 16,800  
18    MCF a month more than was originally recommended by the  
19    division on the basis of production from the pool.

20          Q.     That's 16,800 MCF assigned to the non-marginal  
21    proration factors in the Rincon Unit?

22          A.     That's right.

23          Q.     For the Blanco-Mesaverde?

24          A.     The Blanco-Mesaverde pool, I did the same  
25    calculation, and the increase is not significant; it's only

1 795 MCF.

2 Q. Have you done any sort of analysis -- let me back  
3 up. You've heard UNOCAL testify that they would like to  
4 drill some new wells, to do some reservoir testing, in  
5 effect, in the unit, that they would like some allowable to  
6 insure that they would be able to essentially let those  
7 wells pay out, assuming they are commercial wells. Have you  
8 done any analysis to determine if they could, in fact, do  
9 that under the existing system without the special  
10 allowables?

11 A. Yes. The special allowables wouldn't be  
12 necessary for testing a new well. Page six, which is titled  
13 "Current Rules Give Adequate Allowables for Testing of  
14 Wells," I have shown, given the F1 and F2 factors which are  
15 preset for the summer months only, understanding that they  
16 will go up for the winter months, and everybody anticipates  
17 that, so I don't have a problem with that, given an existing  
18 GPU, which each of these wells will be an infill well, and  
19 assuming an AD and 180 MCF and acres deliverability factor  
20 of 180 MCF, which isn't too far off, even considering Mr.  
21 Lyon's exhibits for an existing well on the pool. If we  
22 assume that a new well will have a D of 500 MCF a day, which  
23 I think may be optimistic, considering the history of  
24 deliverabilities in that pool, we would then say that the  
25 GPU deliverability would equal 180 MCF.

1           On the basis of the summer F1 and F2 factors,  
2   that would give an allowable to the GPU of 8,307 MCF.  
3   Producing only the new well at 500 MCF a day and a 30-day  
4   month, just for calculation purposes, the well would  
5   overproduce its allowable by almost 7,000 MCF per month.  
6   Given the pool rules which allow 12 times overproduction and  
7   no change in F1 and F2 factors, which we do anticipate to  
8   actually increase, this gives almost 15 months of steady  
9   production from a new well for testing purposes and  
10   evaluation purposes.

11           Considering the history of production in the pool  
12   also, the productivity of a well drops significantly after  
13   the first two to three months of production, so I anticipate  
14   that overproduction would be much less than what I've  
15   calculated here over time.

16           Q.    Are you saying then that if they took the  
17   existing allowables for the pool, projected them over the  
18   next, say, three proration periods or allocation periods,  
19   six-month periods, and given reasonable anticipation of the  
20   production, that they would be able to produce those wells  
21   at or near capacity within the allowable system for a year  
22   or 15 months and possibly more, depending on the production  
23   capacity?

24           A.    That's right. And that is generally more than  
25   adequate enough time to gather data for a well.



1 Q. Do you assume any production from the existing  
2 well on the proration unit for that purpose?

3 A. No.

4 Q. Any production from the existing well would  
5 reduce that somewhat; is that correct?

6 A. Yes, it would.

7 Q. Just for information, the last two pages of the  
8 exhibit are just the photos of the statute; is that correct?

9 A. That's right. They're copies of the statutes  
10 which I think are relevant to this case and the  
11 application. And my opinion that allowing a special  
12 allowable for any well or gas proration unit for any  
13 individual operator is -- impairs correlative rights in that  
14 any time you give anybody an opportunity to produce more  
15 than what has been defined as their just and equitable share  
16 of gas from a pool, you're impairing somebody else's  
17 correlative rights within that pool.

18 Q. Assuming the first part of UNOCAL's concern, as  
19 you've addressed, is you don't believe -- if I'm correctly  
20 restating your testimony -- you don't believe that the  
21 existing allowable system would prevent them from making an  
22 economic recovery from new wells; is that correct?

23 A. They themselves, I think, on their own exhibit  
24 show that they would recover at least a 15 percent return on  
25 investment under the current system. Whether that's

1 acceptable or not from one company to another -- from their  
2 testimony, they said no, that was not adequate, that they  
3 needed more. The way I understood their exhibit, they  
4 needed more rate of return of investment than 15 percent in  
5 order to drill these wells. So some companies may accept 15  
6 percent and work within those constrictions.

7 The idea here is that if the industry as a total  
8 may need more incentive, greater return on investment,  
9 that's a different issue than one company wanting it. So  
10 granting an application for a single operator to make a rate  
11 of return on investment that's attractive to them would be  
12 completely outside of our responsibilities.

13 HEARING EXAMINER: Let's stay with the exhibits. Was  
14 that part of the exhibits that Frank was testifying  
15 concerning?

16 MR. STOVALL: I'm asking him some other questions now  
17 that are not specifically the exhibits. This is additional  
18 testimony.

19 HEARING EXAMINER: What was the question that he  
20 responded to that brought that response?

21 MR. STOVALL: The question was would they be able to  
22 drill -- essentially -- I think I'll summarize it -- would  
23 they be able to drill a new well under the existing  
24 allowable system and recover the costs, make an economically  
25 -- still stay within the existing proration system. And

1 that was the focus of these exhibits, was to say that he  
2 believed they could.

3 HEARING EXAMINER: I thought these focused on allowable  
4 and production more so than they did economics.

5 MR. STOVALL: His other comment was whether the  
6 decision to drill is an economic decision within a company.

7 Q. (By Mr. Stovall) I believe that's all you were  
8 saying, right, is that the economic decision of whether or  
9 not to drill, given the scenario as painted by a particular  
10 operator is the operator's decision, not the division's.

11 A. That's right. The idea is that the proration  
12 rules and the rules of OCD set an environment in which an  
13 operator decides or does not decide to do activity. He  
14 looks at that environment. If he can drill a well and make  
15 money, he will do it. If he can't, he won't.

16 Q. Next question, and I'll try to make this just a  
17 real brief one. Assuming -- UNOCAL has stated that one of  
18 the problems that they have in selling a drilling program to  
19 management is the predictability, the assurance that an  
20 allowable will stay at a level, assuming the current level  
21 were adequate to provide an incentive to drill, concern  
22 about whether or not it would stay at that level. Do you  
23 have any recommendations as to ways that that could be  
24 addressed if -- assuming the company's concern is there?

25 A. Yes. Over the last two years the deliverability

1       -- I'm sorry, the proration committee that Mr. Lyon headed  
2       and that a lot of people served on looked at what could be  
3       done addressing circumstances -- I think they were called  
4       "change circumstances" a while ago -- in proration and in  
5       environment producing gas.

6               One of the things that was come up, that was  
7       brought out was the six-month proration period during which  
8       allowables would be the same, that one of the justifications  
9       for that was not just for marketing gas where an operator  
10      would say, "Now I know what my limitation is as far as my  
11      gas market goes," but also to allow to make broader economic  
12      decisions about further investments in drilling in the  
13      prorated pools. There -- it is possible now to look at the  
14      data that will be used at the next allowable hearing to make  
15      some kind of determination into what range to expect F1 and  
16      F2 factors for the following six months.

17             So, in fact, we -- a company basically would have  
18      the information available to look at about a year, the six  
19      months for sure what allowables goes, the following six  
20      months to some degree of certainty that they'll be within  
21      the range of the production from six months previous. And  
22      that data is available. So we've got the information  
23      available for an entire year and that gives a little more  
24      certainty to an operator who's looking at what's going to  
25      happen in the next year with allowables.

1           MR. STOVALL: No further questions. I move the  
2 admission of Exhibits 1 and 2.

3           HEARING EXAMINER: Exhibits 1 and 2 are admitted.

4           Mr. Carr, do you have any questions of the  
5 witness?

6           MR. CARR: Yes, Mr. Morrow, I do.

7                           CROSS-EXAMINATION

8 BY MR. CARR:

9           Q.     Mr. Chavez, during the UNOCAL presentation your  
10 attorney asked Mr. Hering if he considered as an alternative  
11 a unit allowable. Do you have an opinion on that?

12           A.     Yes. We've discussed it many times informally  
13 and occasionally formally at some proration committee  
14 meetings. There are some advantages and disadvantages to  
15 it. I think it demands further study. The issues that came  
16 up were things like balancing around the edge of a unit  
17 where perhaps there should be a -- bordering a unit some --  
18 one section or so of wells which would be called either  
19 fringe wells of the unit or buffer wells, whatever. And  
20 those would be monitored a little more differently than  
21 wells inside the unit that would share the allowable. But I  
22 think there's some merit to it, needs to be discussed a  
23 little more.

24           Q.     Do you believe that assigning allowables on a  
25 unit basis might, in fact, have a greater impact, a greater

1 shock to the proration system than just special allowables  
2 on a case-by-case, well-by-well basis?

3 A. It might. That's why it needs closer study.

4 Q. Mr. Stovall also raised some questions about  
5 adjusting the ratio between the acreage and the  
6 deliverability. Do you have any opinion on that, or is that  
7 another topic that really needs further study? I guess my  
8 question is: Is that your recommendation or Mr. Stovall's  
9 or neither?

10 A. Neither at this time. I agree with Mr. Lyon to  
11 the degree that it would take some very good reservoir  
12 engineering now to refute the evidence that's been presented  
13 in the past to show that the acreage and deliverability  
14 allocation should be changed from what they are. I would be  
15 surprised that they would change significantly enough to  
16 make such an effort worthwhile.

17 Q. If I look at your exhibits, if I look at Exhibit  
18 Number 1, if I understand it correctly, what you have done  
19 here is you have basically prepared a production allowable  
20 and produceability profile for the Rincon Unit as a whole.

21 A. Well, for the Dakota, the Mesaverde.

22 Q. And allowables are not assigned to units as a  
23 whole.

24 A. No, they're not.

25 Q. In fact, they would be assigned to individual

1 proration units within this unit; isn't that correct?

2 A. That's correct.

3 Q. And you understand, I suspect, that UNOCAL is  
4 looking for a few good wells, not taking an overall  
5 reservoir look at their unit at this point in time.

6 A. Yes. When I was trying to prepare this exhibit,  
7 I thought of preparing it on a well-by-well basis, but I  
8 find basically the same information. The sum -- the  
9 production versus allowables is pretty much the same  
10 relationship throughout the pool for each well.

11 Q. Were you able to look at how much of the  
12 unproduced allowable could be attributed to marginal or  
13 non-marginal wells?

14 A. No, I didn't look at that. That could be done by  
15 looking at Exhibit Number 2.

16 Q. Wouldn't actually though the question of -- we'll  
17 do that, I'm not trying to avoid your answer -- isn't, in  
18 fact, a unit picture distorted by the fact that certain of  
19 the marginal or the poor non-marginal wells are getting  
20 allowable they just cannot make?

21 A. Well, yes. Cannot make -- let me put it this  
22 way: that they don't make.

23 Q. They don't have the deliverability or the ability  
24 to make.

25 A. I don't know that.

1           Q.     You're not suggesting with your Exhibit 2 that  
2     the wells are being reclassified because UNOCAL won't  
3     produce the wells, are you?

4           A.     I'm saying that they're not producing. I don't  
5     know whether it's a matter of the will or the ability.

6           Q.     And so we could have -- all of these wells could  
7     be just their ability. You don't know what the reason is.

8           A.     When I scanned the production, it appeared to me  
9     that they weren't producing. I'll put it this way: When I  
10    looked at the Q volumes from the deliverability tests, it  
11    told me that on its best day this is what a well would  
12    make. I know a well isn't on its best day all the time.

13                If you produce it about 90 percent -- and my  
14    experience in production has been that you can make about 90  
15    percent of your produceability and function in a pretty good  
16    manner. If you're not doing that, then you're not  
17    optimizing. There may be something different you have to do  
18    in managing production of the well to try to need that  
19    produceability. To better answer your question, to get down  
20    to that point here, is when you look at the Q values versus  
21    what's actually produced on a month-by-month basis on the  
22    wells, they're significantly lower overall, marginal and  
23    non-marginal wells both.

24           Q.     If we go back to -- I think it's the fifth page,  
25    UNOCAL's share of increased allowable from order 9473?



1 A. Yes.

2 Q. The number that you've indicated, 16,800 MCF, is  
3 more than originally was recommended. That's what you  
4 stated, isn't it?

5 A. I'm saying this is above the amount that was  
6 originally asked for by the OCD witness.

7 Q. How does that compare to the allowable, say, for  
8 the Basin Dakota for the preceding year for the same period  
9 of time?

10 A. I didn't compare them.

11 Q. Do you know if it was less or not?

12 A. I didn't compare them.

13 Q. Do you know how it compares to UNOCAL's request?

14 A. No, I don't.

15 Q. Would it surprise you to know it's substantially  
16 below both UNOCAL's request and what they got the year  
17 before?

18 A. I didn't know that.

19 Q. If we look at the next page, which is page six,  
20 it appears under the allowable system they could -- I guess  
21 on the last line, Mr. Chavez, is the figure I'm looking for  
22 -- they could produce for -- at about a 500 MCF per day  
23 rate for approximately 14.9 months.

24 A. That's right.

25 Q. That could still be during the payout period,

1 could it not?

2 A. Yes, it certainly could.

3 Q. And they might have to shut in at that point.

4 A. They might; but, as I indicated also, I think the  
5 time would be considerably more than that due to declining  
6 production after flush.

7 Q. You indicated that you looked at the -- reviewed  
8 UNOCAL's wells at the end of February, and you found only  
9 four or so overproduced?

10 A. Yes.

11 Q. Do you recall what testimony I'm trying to get  
12 back to?

13 A. Yes, the April gas proration schedule showed only  
14 three of the UNOCAL non-marginal Dakota wells were  
15 overproduced and all the others were underproduced.

16 Q. Did you compare this with how they might have  
17 been, say, a year before at the same date?

18 A. No, I didn't.

19 Q. This winter there were severe line freezes in the  
20 area, were there not?

21 A. I don't know.

22 Q. If there were, that might affect it, the amount  
23 of overproduction that would have accrued?

24 A. Not much. Generally, a line freeze is very  
25 temporary in nature. At the most, you're looking at three

1 or four days. During that period of time, the wells that  
2 are behind the line is usually in a lateral, not affecting a  
3 large number of wells. The wells build up, and once they're  
4 brought back on line after the freeze is cleared out,  
5 generally that built-up gas pressure allows them to  
6 recapture almost all of the gasses -- or produce all of the  
7 gasses that they would have produced during that time.

8 Q. Are you aware that there were unusually high line  
9 pressures in the area during part of this winter?

10 A. That happens throughout the pool. It happens  
11 throughout every year as more gas is put on the line. It  
12 wouldn't have been an unusual year.

13 Q. Don't you think the way to get a more  
14 representative picture of overproduced status of UNOCAL's  
15 wells would be to look not just at one point in time but  
16 perhaps look at a broader sample period to see if, in fact,  
17 those numbers accurately reflect the overproduced wells?

18 HEARING EXAMINER: I can't hear you.

19 Q. (By Mr. Carr) Don't you think it would be wiser,  
20 Mr. Chavez, to look at multiple points in time, not just one  
21 point in time, to determine how many wells wind up  
22 overproduced as a result of how they're managing a unit?

23 A. I don't fully understand the question. I'm  
24 sorry.

25 Q. If a year ago -- if you had looked at figures for

1 several years at the same point in time, and you might have  
2 -- is it possible you could have seen a different picture  
3 in terms of overproduced wells from this unit?

4 A. That's possible.

5 Q. And the bigger the sample, the more  
6 representative it would be?

7 A. Generally.

8 Q. And there could be error just by picking one  
9 point in time and using one point in time as a measure for  
10 the way an operator produces his unit.

11 A. Well, I don't know if you'd call one year one  
12 point in time, but yes.

13 Q. You recognize that what we're talking about in  
14 terms of our application is new development in the Rincon  
15 Unit.

16 A. Yes.

17 Q. And do you understand that we do not believe that  
18 new development will necessarily be the same as what current  
19 wells are able to produce, wells that have been producing  
20 for, say, ten years.

21 A. Yes, I understand that.

22 MR. CARR: That's all I have.

23 HEARING EXAMINER: Ms. Smith, do you have any  
24 questions?

25 MS. SMITH: Mr. Hearing Examiner, I have a couple of

1 questions.

2 HEARING EXAMINER: Go ahead.

3 CROSS-EXAMINATION

4 BY MS. SMITH:

5 Q. Mr. Chavez, do you understand that there is  
6 somewhat of a time lag in the reporting of overproduction in  
7 the gas proration schedule?

8 A. I don't know what you mean by "time lag."

9 Q. Well, from the time that overproduction happens  
10 and the time that parties would get notice of that  
11 overproduction because of the time involved in printing that  
12 into the report.

13 A. Well, there's a time difference there that -- but  
14 I don't know that it's significant.

15 Q. It's been suggested to me that it's as much as  
16 two months in some cases. Might a time lag of two months in  
17 reporting that information extend the 14.9 months that  
18 you've estimated on your page six of Exhibit 1 for an  
19 additional period, even assuming no decline deliverability?

20 A. Well, yes, yes, that would be possible; but I  
21 don't know that that's significant because once you get up  
22 to that point of time, like I say, I think the time was  
23 actually quite a few more months than that. And say if it  
24 would happen to be that the April production of some year  
25 puts an operator over the 12 times limit, he wouldn't get

1 notice of that through the proration schedule or through a  
2 notice from the division until June.

3 Q. So would it be fair to say that your calculation  
4 of 14.9 months on page six of your Exhibit 1 is a  
5 conservative estimate?

6 A. I think so.

7 MS. SMITH: Thank you, Mr. Hearing Examiner. I have no  
8 further questions.

9 HEARING EXAMINER: Mr. Stovall, do you have anything  
10 else?

11 REDIRECT EXAMINATION

12 BY MR. STOVALL:

13 Q. Mr. Chavez, assuming that, in fact, UNOCAL or any  
14 other operator had a problem of needing to have some  
15 assurance that they can recover -- is it correct to  
16 summarize your opinion that a special allowable on a per  
17 well or per proration unit basis is probably not an  
18 appropriate way to work around the proration system to grant  
19 that?

20 A. It definitely is not.

21 MR. STOVALL: I have nothing further.

22 HEARING EXAMINER: Mr. Chavez, you may be excused. Is  
23 there anything further concerning this case, a closing  
24 statement or anything of that nature?

25 MR. CARR: I have a brief closing.

1 MS. SMITH: I do as well.

2 HEARING EXAMINER: Go ahead.

3 MS. SMITH: Gas Company and Suntero Gas Gathering  
4 Company have presented testimony through their witness, Mr.  
5 Lyon, the former chief engineer for this agency that the  
6 application for special allowable should not be granted.  
7 Mr. Lyon has testified that UNOCAL's application  
8 dramatically deviates from the established OCD procedures in  
9 setting allowables and that even if he, in his attempt to  
10 try to apply the accepted formula, that the allowables  
11 requested by UNOCAL far exceed what they should be, and  
12 finally that the division's mandate of protecting  
13 correlative rights and preventing waste will not be served  
14 by UNOCAL's application.

15 In fact, this application, if it's granted, might  
16 well jeopardize the integrity and stability of the OCD  
17 establishing a prorationing system, and this will adversely  
18 affect producers and purchasers alike. We respectfully  
19 request that the commission deny UNOCAL's application.

20 HEARING EXAMINER: I request that you submit that in  
21 writing, and the other attorneys also.

22 MR. STOVALL: The only comment, speaking again from the  
23 standpoint of the Aztec office of the division, is that --  
24 not particularly objecting to or denying the existence of a  
25 management problem in making a decision to drill a well --

1 the division does grant exceptions to its rules on  
2 occasion.

3           However, those exceptions are granted in unique  
4 circumstances applicable to the exception. This really  
5 isn't such a unique circumstance. It's an operator who  
6 wishes an economic incentive to drill a well, and there may  
7 be many of those in one of the largest prorated pools in the  
8 two largest prorated pools in the state. Therefore, the  
9 division recommends -- or the Aztec office recommends to the  
10 division that if, in fact, a mechanism is devised to provide  
11 an incentive where operators can make some long-term  
12 decisions that go beyond even six months or a year, that it  
13 be a mechanism which can be applicable in a more uniform and  
14 non-individualized manner.

15           MR. CARR: May it please the Examiner, UNOCAL is before  
16 you today not asking that the proration system be changed,  
17 but seeking an exception to it. We know this is a deviation  
18 from past practice. We're seeking an exception for three  
19 wells. We hope to collect data from these wells. And  
20 assuming we can obtain the results, we would hope to embark  
21 on a drilling program that we believe will result in  
22 substantial additional production for the prorated pools and  
23 particularly in the Rincon Unit in northwest New Mexico.  
24 There's been no drilling in this pool for approximately 11  
25 years.



1           We have a situation now where we see additional  
2 pipeline capacity going out of the basin. If we are, from  
3 those old prorated wells, going to have new and additional  
4 deliverability so that we can produce gas to put in these  
5 lines, we've got to have some data, the data that will  
6 enable us to make some accurate decisions in terms of  
7 drilling. So we're before you asking for special allowables  
8 to permit us to drill certain wells to collect data and to  
9 make some decisions with concrete information on a long-term  
10 drilling program.

11           There's been concern expressed here that this  
12 will set a precedent, that you may see a wave of these. If  
13 that's the case, then those come before you on a  
14 case-by-case basis, and we'll have to judge those. We  
15 believe that when you look at your statutory standards of  
16 prevention of waste and protection of correlative rights and  
17 look at this record, you'll see that you need to grant this  
18 application.

19           Correlative rights is defined by our statute as  
20 an opportunity to produce without waste your just and fair  
21 share of the reserves in the pool. No one is going to have  
22 their correlative rights impaired by this application. No  
23 one's going to have their opportunity to not deny it. What  
24 we're asking for is an opportunity to get ready for what we  
25 see as a new opportunity to move gas from the basin and to

1 have prorated gas wells in a position where not just the  
2 Fruitland Coal Gas fills these lines, but that we also share  
3 too.

4 In terms of waste -- and that's your primary  
5 responsibility -- everyone here seems to think but us that  
6 it isn't an issue. But it's your primary jurisdictional  
7 responsibility to look at the waste question. We submit to  
8 you that our testimony shows that if something can't be done  
9 to get some of these wells drilled and some of the old  
10 conventional prorated gas moving, that ultimately some of it  
11 will be left in the ground.

12 Mr. Lyon wouldn't even go so far as to say that  
13 that wouldn't happen. If that happens, if some of it is  
14 left in the ground, that causes waste. So I think when you  
15 look at your jurisdictional charge in the Oil and Gas Act  
16 you'll find that on this record the application must be  
17 granted, and in so doing you'll not only be giving an  
18 incentive to a drilling program, but you'll be encouraging  
19 the development of prorated gas. You'll be increasing the  
20 sales of gas from the area, and you will ultimately be --  
21 your decision will ultimately result in additional recovery  
22 of hydrocarbons from the area.

23 HEARING EXAMINER: Thank you, sir. Case 10309 will be  
24 taken under advisement.

25 MR. STOVALL: When would you like these closing

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

statements?

HEARING EXAMINER: Within a week.

MR. STOVALL: By next Friday?

HEARING EXAMINER: Sure.

(The foregoing hearing was adjourned at the  
approximate hour of 4:10 p.m.)

1 STATE OF NEW MEXICO )


2 :

3 COUNTY OF SANTA FE )


4 I, FREDA DONICA, RPR, a Certified Court Reporter, DO  
5 HEREBY CERTIFY that I stenographically reported these  
6 proceedings before the Oil Conservation Division; and that  
7 the foregoing is a true, complete and accurate transcript of  
8 the proceedings of said hearing as appears from my  
9 stenographic notes so taken and transcribed under my  
10 personal supervision.

11 I FURTHER CERTIFY that I am not related to nor employed  
12 by any of the parties hereto, and have no interest in the  
13 outcome hereof.

14 DATED at Santa Fe, New Mexico, this 30th day of  
15 June, 1991.

16   
17 Freda Donica  
18 Certified Court Reporter  
19 CCR No. 417

20  
21 I do hereby certify that the foregoing is  
22 a complete record of the proceedings in  
the Examiner hearing of Case No. 10309.  
heard by me on May 30 1991.

23  Examiner  
24 Oil Conservation Division  
25