

1 NEW MEXICO OIL CONSERVATION COMMISSION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NOS. 10446, 10447, 10448, 10449

5 Consolidated

6
7 IN THE MATTER OF:8
9 The Application of Yates Petroleum
10 Corporation for Authorization to
11 Drill, Eddy County, New Mexico.

12 VOLUME II

13 BEFORE:

14 CHAIRMAN WILLIAM LEMAY

15 COMMISSIONER GARY CARLSON

16 COMMISSIONER BILL WEISS

17
18 FLORENE DAVIDSON, Senior Staff Specialist19
20 State Land Office Building

21 September 10, 1992

22
23 REPORTED BY:24 DEBBIE VESTAL
25 Certified Shorthand Reporter
for the State of New Mexico

COPY

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel
State Land Office Building
Post Office Box 2088
Santa Fe, New Mexico 87504-2088

FOR YATES PETROLEUM CORPORATION:

LOSEE, CARSON, HAAS & CARROLL, P.A.
300 American Home Building
Post Office Drawer 239
Artesia, New Mexico 88211-0239
BY: **ERNEST L. CARROLL, ESQ.**

FOR NEW MEXICO POTASH CORPORATION:

KEMP, SMITH, DUNCAN & HAMMOND, P.C.
Post Office Drawer 2800
El Paso, Texas 79999
BY: **CHARLES C. HIGH, JR., ESQ.**

KEMP, SMITH, DUNCAN & HAMMOND, P.C.
500 Marquette, N.W., Suite 1200
Post Office Box 1276
Albuquerque, New Mexico 87103-1276
BY: **CLINTON W. MARRS, ESQ.**

FOR POGO PRODUCING COMPANY, SANTA FE ENERGY
OPERATING PARTNERS, L.P., and PHILLIPS PETROLEUM
CORPORATION:

THE HINKLE LAW FIRM
217 Montezuma Street
Post Office Box 2068
Santa Fe, New Mexico 87504-2068
BY: **JAMES G. BRUCE, ESQ.**

FOR BASS ENTERPRISES PRODUCTION COMPANY:

KELLAHIN & KELLAHIN
Post Office Box 2265
Santa Fe, New Mexico 87504-2265
BY: **W. THOMAS KELLAHIN, ESQ.**

FOR KAISER-FRANCIS OIL COMPANY:

CAMPBELL, CARR, BERGE & SHERIDAN, P.C.
 110 N. Guadalupe Street
 Post Office Box 2208
 Santa Fe, New Mexico 87504-2208
 BY: WILLIAM F. CARR, ESQ.

* * * * *

I N D E X

	Page Number
Appearances	318
WITNESSES FOR YATES PETROLEUM CORPORATION:	
5. NELSON ALAN MUNCY	
Examination by Mr. Carroll	321
Examination by Mr. High	383
Further Examination by Mr. Carroll	444
Further Examination by Mr. High	450
Examination by Comm. Carlson	453
Examination by Comm. Weiss	459
Examination by Chrm. LeMay	462
Further Examination by Mr. High	463
6. LEO J. LAMMERS	
Examination by Mr. Carroll	465
Examination by Mr. High	489
Further Examination by Mr. Carroll	508
Examination by Comm. Carlson	511
Examination by Comm. Weiss	511
Examination by Chrm. LeMay	512
Further Examination by Mr. High	514
7. GARY L. HUTCHINSON	
Examination by Mr. Carroll	516
Certificate of Reporter	590

E X H I B I T S

Page Marked

Yates Petroleum:

Exhibit No. 28	326
Exhibit No. 29	328
Exhibit No. 30	330
Exhibit No. 31	335
Exhibit No. 32	336
Exhibit No. 33	343
Exhibit No. 34	348
Exhibit No. 35	352
Exhibit No. 36	356
Exhibit No. 37	363
Exhibit No. 38	367
Exhibit No. 39	472
Exhibit No. 40	472
Exhibit No. 41	474
Exhibit No. 42	
Exhibit No. 43	532
Exhibit No. 44	533
Exhibit No. 45	534
Exhibit No. 46	538
Exhibit No. 47	542
Exhibit No. 48	551
Exhibit No. 49	557
Exhibit No. 50	558
Exhibit No. 51	566

New Mexico Potash:

Exhibit No. 12	378
----------------	-----

1 CHAIRMAN LeMAY: We shall continue the
2 Oil Conservation Commission. We're on the second
3 day of scientific testimony on the oil potash
4 case: 10446, 10447, 10448, and 10449. We're
5 continuing on with the presentation of Yates
6 Petroleum.

7 Mr. Carroll.

8 MR. CARROLL: Thank you, Mr. LeMay.
9 Our first witness this morning will be Nelson
10 Muncy. Just a word of explanation for all the
11 Commissioners. Two of the exhibits that Mr.
12 Muncy will be talking about appear on the wall.
13 That's, I think, a 1-to-4,000 view.

14 Each one of the Commissioners, however,
15 has a smaller version, 1-to-8. I may have that
16 reversed, but they're in the packet of exhibits
17 that I've given you. So you will have the same
18 information that's up on the wall. It's on a
19 smaller scale.

20 NELSON ALAN MUNCY

21 Having been duly sworn upon his oath, was
22 examined and testified as follows:

23 EXAMINATION

24 BY CARROLL:

25 Q. Would you, please, state your full

1 name, residence, and occupation?

2 A. My name is Nelson Alan Muncy. I reside
3 at 1910 Washington, Artesia, New Mexico.

4 Q. By whom are you employed, Mr. Muncy?

5 A. I'm employed by MYCO Industries, Inc.

6 Q. And what are your positions that you
7 hold presently?

8 A. I'm an engineer and the operations
9 manager for MYCO and the estates of Martin Yates,
10 III, and Lillie M. Yates.

11 Q. Mr. Muncy, would you, please, describe
12 your educational background for the
13 Commissioners.

14 A. I earned a BS degree from the
15 University of Arizona in Tucson in 1966 in
16 business management and then a degree in mining
17 engineering from the same institution in 1971.

18 Q. Mr. Muncy, do you hold any professional
19 registrations?

20 A. I'm a Registered Professional Mining
21 Engineer in the state of Arizona, a Registered
22 Land Engineer -- or Registered Land Surveyor in
23 the state of Arizona, and I'm registered as
24 Professional Engineer in Texas with
25 specialization in mining, minerals, and

1 petroleum.

2 Q. Totally, how many years of experience
3 do you have, work experience as an engineer?

4 A. In mining and in oil and gas, as an
5 engineer, I've got 21 years of total experience.

6 Q. How many of those years were
7 specifically related to mining?

8 A. Nine years specifically related to
9 mining.

10 Q. Mr. Muncy, do you have any specific
11 mining experience in the potash basin around
12 Carlsbad?

13 A. I was employed by AMAX Potash, which is
14 now Horizon, in 79 and 80, and then I consulted
15 for AMAX in 80 and 81.

16 Q. Would you briefly outline for the
17 Commissioners your mining experience. You told
18 us you have a total of nine years. Acquaint the
19 Commissioners with that nine years of
20 experience.

21 A. From 1968 to 1969 I was an industrial
22 engineer at Inspiration Consolidated Copper
23 Company in Globe, Miami, Arizona. I performed
24 motion time studies and economic evaluations for
25 their underground Christmas mine, the open pit,

1 the concentrator, the smelter, and rod plant.

2 From 1971 to 1972 I was with the
3 Kennecott Copper Corporation at the world's
4 largest open pit mine in Bingham Canyon, Utah,
5 where I was a drilling and blasting foreman and a
6 shuttle and train foreman.

7 From 1972 through 1977 I was associated
8 with Jaquays Mining Corporation in Globe,
9 Arizona. I started as the mill superintendent; I
10 was the mine superintendent; and I was the
11 general manager. We were involved in chrysotile
12 mining and gold heap leaching.

13 At the same time I was the branch
14 manager for the D. W. Jaquays Mining &
15 Contractors Equipment and Supply Company. We
16 sold mining equipment to the mines and
17 explosives.

18 From 1977 to 1981 I was the owner of
19 Marnel Pipe & Supply Company. I was a mining and
20 oil and gas consultant. I flooded oil and gas
21 wells and drilled and operated gas wells and oil
22 wells in the state of New Mexico.

23 From 1979 to 1981 I was associated with
24 AMAX, which is now Horizon. I was a mining
25 engineer, a relief shift boss, a surveyor, I was

1 the new mining training coordinator, I surveyed
2 and core drilled and logged some 20 potash core
3 holes further evaluating the third potash ore
4 zone. I was involved in mine planning and
5 equipment selection and evaluation.

6 I coauthored the AMAX Marietta
7 Continuous Miner USBM Safety & Operating
8 Guidelines. I also monitored and evaluated the
9 impact of oil and gas wells in the AMAX Potash
10 general lease area.

11 Q. Mr. Muncy, when you were hired by AMAX
12 Potash Company, was your experience or background
13 in the oil and gas industry one of the
14 considerations that you were hired on or the
15 basis that you were hired on?

16 A. Most definitely. AMAX had a lot of oil
17 and gas wells at that time in the mining area as
18 they do today. And my experience in mining and
19 oil and gas was valuable to AMAX. I speak both
20 languages, both mining and oil and gas.

21 Q. Now, Mr. Muncy, you have had an
22 occasion to testify before the Oil Conservation
23 Division and Commission previously on several
24 occasions and had your qualifications accepted as
25 a petroleum engineer; is that correct?

1 A. This is correct.

2 Q. The first of your exhibits is Exhibit
3 28. That is a resume covering the information
4 that you have just related to the Commissioners;
5 is that correct?

6 A. That's affirmative.

7 Q. This covers in detail your mining
8 experience then?

9 A. Yes.

10 MR. CARROLL: Commissioner LeMay, I
11 would tender Mr. Muncy not only as an expert in
12 the field of petroleum engineering, which he has
13 already been accepted before the Commission, but
14 I would also tender him as an expert in the field
15 of mining engineering.

16 CHAIRMAN LeMAY: His qualifications are
17 acceptable.

18 MR. HIGH: We enter our objection to
19 that offer. We object to the qualifications of
20 Mr. Muncy with respect to mining engineering.

21 CHAIRMAN LeMAY: Is there a basis for
22 your objection, counselor?

23 MR. HIGH: There's been no foundation
24 laid through questions by Mr. Carroll to accept
25 Mr. Muncy as an expert mining engineer with

1 respect to potash. He's testified he only has
2 one year of experience. And our position is that
3 is insufficient for him to be an expert.

4 MR. CARROLL: Chairman LeMay, I
5 disagree wholeheartedly. I think Mr. Muncy has
6 testified as to nine years. He has not only
7 testified as to work experience, he is
8 professionally recognized in a couple of states,
9 Arizona and Texas, with specialties in mining.

10 Furthermore, his experience was much
11 broader in the Permian Basin -- I mean, excuse
12 me, in the Carlsbad Potash Basin. He's worked
13 for AMAX as one mine and had other duties
14 associated and for several years worked in the
15 potash area. I think he's qualified on that
16 basis.

17 MR. STOVALL: Mr. Chairman.

18 CHAIRMAN LeMAY: Mr. Stovall.

19 MR. STOVALL: If I might, the purpose
20 of qualifying an expert is to allow him to give
21 opinion testimony based upon evaluations they
22 made. I think you can safely qualify Mr. Muncy
23 as an expert and allow him to give opinion
24 testimony. And if Mr. High has any concerns, he
25 can certainly attempt to discredit or reduce the

1 value of that opinion in your mind by
2 cross-examination.

3 But I think the purpose of qualifying
4 as an expert is primarily to open him up to give
5 that kind of testimony, and I think that's
6 acceptable for you to do so in this case. That
7 doesn't necessarily mean that you have to give
8 additional weight to that testimony as such.

9 CHAIRMAN LeMAY: Thank you, counselor.
10 Your witness is qualified.

11 MR. CARROLL: Thank you, sir.

12 Q. (BY MR. CARROLL) Mr. Muncy, let's
13 first start off and define some terms for the
14 Commissioners, the basis on which I think a lot
15 of your testimony and other testimony will rely,
16 and let's deal, first of all, with the ore --
17 excuse me, with the word ore, o-r-e. Would you
18 define that from a mining engineer's standpoint?

19 A. Ore is simply defined as a mineral that
20 presently can be acquired, milled -- or, pardon
21 me, acquired, mined, and milled and marketed for
22 a profit. I offer as Exhibit No. 29 a copy of
23 chapter 1, page 2, paragraph 1.1, from the
24 Society of Mining Engineers Handbook.

25 Q. Now, Mr. Muncy, before you read that,

1 would you tell the Commissioners what the SME
2 Mining Engineers Handbook is and whether or not
3 it's recognized in the United States as having
4 any credibility in the field of mining
5 engineering?

6 A. It most certainly is. This book was
7 supposed to go to print in about 1970. It didn't
8 get out until 73. Prior to that we had the
9 Peale's Mining Engineering Handbooks. And when
10 we had discussions with our good friends at the
11 BLM, they referred us to the Mining Engineers
12 Handbook.

13 Q. So this book is the recognized work on
14 mining concepts, is that correct, in the United
15 States?

16 A. That is my opinion, yes.

17 Q. And it's your information that even the
18 Bureau of Land Management recognizes that fact
19 and uses it also?

20 A. This is affirmative.

21 Q. All right. And I apologize, but I did
22 want to make that fact known to the
23 Commissioners. Would you carry on with your
24 testimony?

25 A. Okay. I'd like to quote from the

1 book. It will be Exhibit No. 29. I've
2 highlighted it in yellow. The definition of ore
3 is, "A mineral that can be extracted from the
4 ground at a profit. The economic connotation is
5 implicit in the word 'ore.'"

6 Q. Now, Mr. Muncy, to help aid the
7 Commissioners in the process, the decision-making
8 process that they must ultimately go through with
9 respect to the Yates applications -- and I should
10 ask the preliminary question: You are familiar
11 with the four applications that Yates has before
12 this Commission at this time?

13 A. If you're speaking of the applications
14 in Section 2, yes, I am.

15 Q. All right, sir. You have prepared
16 certain maps to aid the Commissioners in
17 acquainting them with this particular area that
18 we're dealing with, and that is the potash
19 enclave; is that correct?

20 A. That is true.

21 Q. All right. Your first exhibit is
22 Exhibit 30; is that correct?

23 A. That is correct.

24 Q. Would you, please, explain what Exhibit
25 30 is and what it purports to depict?

1 A. This particular map that we have here
2 on the wall will be the same map that we have on
3 the smaller scale that I hope all of you are
4 looking at now. The copy that you have in front
5 of you is on a scale of 1 inch to 8,000. And
6 this particular map here is on a scale of 1 inch
7 to 4,000.

8 The map is computer-generated. And I'd
9 like to start off by saying that I personally
10 researched the tract records at the State Land
11 Office because the purpose of this map is to show
12 the state and federal potash leases as they
13 existed at the time that I made the search. So I
14 started at the State Land Office, went to the
15 tract record section and --

16 Q. On what date, Mr. Muncy?

17 A. I did this the week of April 20th
18 through the 24th of this year. And I got the
19 tract records personally, the lease numbers, and
20 who owned the leases. So if we look at the
21 legend on the map, you'll see that the potash
22 leased state land is drawn with vertical orange
23 lines.

24 You'll further note that unleased
25 potash state land is drawn with diagonal green

1 lines. I then put these in the computer. We
2 used AutoCad, and that's what you see on the map
3 here with respect to the state potash leases.

4 Q. Now, the federal potash leases are also
5 contained on this map; is that correct?

6 A. That is correct. The federal potash
7 leases are depicted with blue diagonal dotted and
8 crosshatched lines, as you see right here. And
9 then the unleased federal potash leases appear
10 white, with no coloring at all.

11 Q. There are also other notations on this
12 map. What are those? What do they stand for?

13 A. Okay. If we look at the broad red
14 line, the outermost boundary on the map, this
15 will be the Secretary's area, effective 10/28/86
16 comprised of 499,002 acres. The KPLA, Known
17 Potash Leasing Area, is depicted by this next
18 broad purple line.

19 For all practical purposes, the KPLA is
20 synonymous with R-111-P. We found a few places
21 where they didn't agree, but I think the full
22 intent of KPLA and R-111-P is that those two
23 lines track.

24 Q. When you say they didn't agree, you're
25 talking about very small acreages, like, a

1 quarter section or something?

2 A. Not even that large.

3 Q. Okay.

4 A. That area, R-111-P, which for all
5 practical purposes is synonymous with the KPLA,
6 represents 366,460 acres more or less.

7 If you look down on the legend on the
8 map, we went to a commercial source known as PI.
9 That's an acronym for Petroleum Information. And
10 we got the status of the oil and gas wells as of
11 4/30/92. And the symbol for those wells is shown
12 in the legend.

13 I'd like to point out also on this map,
14 the WIPP area, 16 square sections approximately,
15 in Section 2 which we're talking about today,
16 right here.

17 Q. That's just slightly north and east of
18 the area designated as WIPP?

19 A. That's affirmative.

20 Q. Now, Mr. Muncy, there's another item,
21 Laguna Plata Archeological District; what is
22 that, since that's an item in the legend?

23 A. Okay. That is located up in the
24 northernmost part of the map. It's 1,040 acres
25 more or less. And it's depicted by the

1 double-broad black line. Snyder Ranch is right
2 here.

3 Q. What is that to your information?

4 A. Snyder Ranch is a 320-acre tract of fee
5 land.

6 Q. With respect to the Laguna Plata
7 Archeological, what is that? Is that a federal
8 designation of acreage?

9 A. What it is is a federal designation of
10 acreage. And I researched the oil and gas leases
11 and potash leases. And both leases on the form
12 have archeological strips, and these strips state
13 that we can't have trails or roads. We can have
14 no surface disturbance in this area.

15 Q. Now, Mr. Muncy, with respect to the
16 preparation of this map, is there some
17 statistical information that you can provide the
18 Commission about this area depicted on this map?

19 A. Yes. Based on the time that I
20 researched this map back in April, the point I'd
21 like to make is that 41 percent of the potash is
22 unleased within the confines of R-111-P.

23 Q. Is that a combination of both state and
24 federal acreage, Mr. Muncy?

25 A. That is state and federal acreage.

1 Unleased federal comprises some 141,000 acres
2 more or less. Leased federal comprises some
3 148,000 acres more or less. Unleased state
4 comprises some 9600 acres more or less. Leased
5 state comprises some 67,000 acres more or less.
6 Unleased fee, some 400 acres more or less. And
7 leased fee is less than 100 acres.

8 Q. Now, Mr. Muncy, you've also prepared a
9 second map to help aid the Commissioners in this
10 process that they're going to be asked to go
11 through; is that correct?

12 A. That is correct.

13 Q. Would you explain your next exhibit,
14 Exhibit 31, then in much the same manner that
15 you've just described this exhibit?

16 A. Again you'll find at your desk a copy
17 of this map on the scale of 1 to 8,000. This map
18 is drawn on the scale of 1 to 4,000. We'd like
19 to refer to this as the updated 1984 BLM map.

20 COMMISSIONER WEISS: Which exhibit are
21 you on?

22 MR. CARROLL: 31, Mr. Weiss. It will
23 be a full-sized map.

24 COMMISSIONER WEISS: This one is 38.

25 MR. CARROLL: Well, your package may

1 have been shorted.

2 THE WITNESS: Let me give you mine.

3 CHAIRMAN LeMAY: We've got one here.
4 We can share. Thank you.

5 THE WITNESS: Okay. As I previously
6 said, we like to refer to this as the 1984 BLM
7 updated map. This map was also computer
8 generated as was the previous map.

9 Q. (BY MR. CARROLL) Now, Mr. Muncy, when
10 you use the terminology 1984 map, what you're
11 referring to is that back in 1984 the BLM created
12 a map showing this potash enclave and was broken
13 down into certain categories of potash deposits;
14 is that correct?

15 A. That is correct.

16 Q. And that 1984 map then served as the
17 basis for this map which you have updated in some
18 manner which you'll explain to us?

19 A. That is correct. And if you'll refer
20 to Exhibit 32, which is the next exhibit, this is
21 merely a picture of that 1984 map, and then the
22 second page is a copy of the legend which
23 accompanied the 1984 map.

24 MR. HIGH: Excuse me. My exhibits are
25 not numbered, and I'm having trouble following

1 here.

2 MR. CARROLL: This is Exhibit 32.

3 Q. All right. If you would, tell us how
4 this map was updated. And you might want to
5 first explain what was on the 1984 map and then
6 how you updated each of those items.

7 A. Okay. The 1948 map was put out by the
8 BLM, and it depicted the mine workings to date.
9 What you'll see, let's take a mine where there's
10 been no activity, like the old plugged and
11 abandoned Duval Wills-Weaver map in the upper
12 left-hand corner.

13 That 84 map depicted the status of the
14 mine workings at the time that the map was
15 published. It further categorized -- this map,
16 the 1984 map, further categorized the ore in the
17 potash basin.

18 And we can refer to the legend, which
19 you have a copy of. And the blue on this map is
20 the major potash reserves or what they call the
21 potash enclaves. The barren is vertical purple
22 lines, like you see right here in these big
23 blocks. And then the indicated potash reserves
24 were on this map. And, as on that map, they're
25 diagonally-hatched, and they call that

1 indicated. And then inferred was double -- or on
2 this map is double vertical green lines.

3 The first mined area is in the blue,
4 crosshatched blue. And the second mined area is
5 in the crosshatched orange.

6 Q. Would you explain, Mr. Muncy, what you
7 mean by first and second mined area?

8 A. Okay. The first mined area is where
9 they go in and potash mines take out
10 approximately half the ore. And then the second
11 mined area is where they go out and take up to 80
12 or 90 percent of the ore.

13 Q. We've had earlier testimony that
14 referred to the pulling of pillars and what have
15 you. Is that the process that you're talking
16 about that is engaged in during the second
17 mining?

18 A. That's affirmative.

19 Q. Now, Mr. Muncy, I notice one thing. In
20 your orange -- and I think maybe Mr. Carlson
21 asked a question -- on this map and other maps
22 the crosshatching on the orange in some of the
23 mines appears to be of a different size and
24 therefore the color intensity is different. Was
25 there meant to be a distinction there, or what

1 caused that?

2 A. That's just a computer glitch, and
3 there was no intent to make any difference.
4 That's just the way it came out. Specifically if
5 you look right here, it's more densely
6 crosshatched than, for example, right here or
7 right there. But it's just the way the computer
8 made it.

9 Q. All right. So if an area is colored
10 orange, no matter what intensity of the color
11 orange, that means second mined area on this and
12 earlier maps that have been presented to the
13 Commission?

14 A. That is correct.

15 Q. Okay.

16 A. Basically what we did is we took this
17 map and we digitized it and we put it on this map
18 here. So it should be an exact reproduction of
19 the 84 map.

20 Q. With respect to the measured potash
21 mineralization in the indicated and inferred and
22 barren, you made no changes in the outlines as
23 they were depicted on that 1984 map; is that
24 correct?

25 A. No, sir. No changes at all.

1 Q. All right. And you reproduced the mine
2 workings just as they were in 1984; is that
3 correct?

4 A. That is correct.

5 Q. However, those mine workings have been
6 updated, have they not?

7 A. That is correct.

8 Q. Would you explain that process and how
9 we can tell on the map what are the new and
10 updated mine workings?

11 A. As you'll note on the legend, those new
12 and updated mine workings that you refer to will
13 be shown as a dark line. For example, we get up
14 here to the AMAX potash mine, you can see this
15 drift taken off right here. We get around here,
16 around IMC and Western Ag, and you can see the
17 activity, the additional activity since 1984.

18 Q. You're talking about the black lines
19 that actually have no color; they're outlines?

20 A. They're just outlines.

21 Q. That is the most recent mine workings
22 that you've been able to determine?

23 A. Yes. And what I did on April 22 of
24 1992, I went to the NMOC D here in this building,
25 and I referred to R-111-P, Section 1, filing of

1 well surveys, mine surveys, and potash
2 development plans.

3 And I quote, part 2: "Mine surveys.
4 Within 30 days after the adoption of this order
5 and thereafter on or before January 31 of each
6 year, each potash operator shall furnish the
7 Division two copies of a plat of a survey of the
8 location of his leaseholdings and all his open
9 mine workings, which plat shall be available" and
10 I underlined, "for public inspection and on a
11 scale acceptable to the Division."

12 So that's where I got this
13 information. And I was told that four potash
14 companies had turned in this public information.
15 AMAX, which is now Horizon, had current
16 information. New Mexico Potash had current
17 information. Eddy Potash and IMC also had
18 current information.

19 I found nothing in the files for
20 Western Ag Minerals, Narranda or Mississippi
21 Chemical. It doesn't surprise me that there was
22 nothing on file for Narranda because they don't
23 even have a mine.

24 Q. And with respect to the Mississippi
25 Chemical mine, there was no information that

1 that's consistent with the state of affairs out
2 there; is that correct?

3 A. That is correct. And their mine, which
4 has been referred to in the past as the old
5 National Lea Mine, is right here on the map. And
6 it's been temporarily abandoned for approximately
7 ten years.

8 I'll start up here in the upper
9 left-hand corner, and we'll show Horizon. And
10 then we've got Eddy Potash, Mississippi Chemical,
11 IMC, Western Ag, New Mexico Potash, and then
12 Mississippi Chemical Lea Mine.

13 Q. Now, you made reference a moment ago to
14 your Exhibit No. 32, which is the actual map.
15 It's a small reproduction and also contains a
16 legend. Would you describe or discuss that a
17 moment with the Commissioners.

18 A. On the second page of this exhibit, I
19 have copied the legend to the original 1984 BLM
20 map. And if we look in the upper right-hand
21 corner, we talk about measured potash reserves.
22 They also call it potash enclaves.

23 And it says, "Resources for which
24 tonnage is computed from dimensions revealed in
25 workings and drill holes, the grade is computed

1 from the results of detailed sampling. A minimum
2 of three data points in any one ore zone meeting
3 quality and thickness standards. No more than
4 one-and-a-half miles apart have been used to
5 delineate measured reserves."

6 COMMISSIONER CARLSON: Excuse me. I
7 don't have a copy of that. I've got two 33s but
8 no 32.

9 MR. CARROLL: I'll have to get after
10 Mr. Muncy. He was responsible for making the
11 package. We'll get you another copy.

12 THE WITNESS: I've got it.

13 I think at this point it's appropriate
14 to introduce Exhibit No. 33, which is again the
15 Society of Mining Engineers Handbook, Volume 1.
16 And on page 5-56 of Volume 1 of the Society of
17 Mining Engineers Handbook on page 5-57, I'd like
18 to quote under the heading, "Potash: At
19 Carlsbad, New Mexico, individual deposits are
20 several square miles in area and can be located
21 by exploration drilling on one-mile centers. Ore
22 reserves can be blocked out on four holes per
23 section."

24 Q. Now, Mr. Muncy, what is your
25 understanding of this criteria that was used in

1 1984, as to its original purpose, these terms
2 "measured," "indicated," that you've just been
3 talking about?

4 MR. HIGH: Excuse me. I'm going to
5 object to asking this witness what the BLM
6 intended by their own publication. I don't know
7 that the witness has any special expertise or
8 knowledge about the BLM's publication.

9 CHAIRMAN LeMAY: I understand, Mr.
10 High. He certainly has an opinion. That's what
11 we're asking for, is an opinion.

12 MR. HIGH: If he's asking his opinion,
13 that's fine. But the way it was asked, he's
14 asking Mr. Muncy to explain why the BLM did
15 something.

16 MR. CARROLL: I think my question was
17 was couched in the words: What is your
18 understanding? And that's what I've asked Mr.
19 Muncy.

20 CHAIRMAN LeMAY: That's fine. That's
21 acceptable language.

22 THE WITNESS: Okay. It's my opinion,
23 and it appears to me that the BLM drafted what
24 was not their real purpose. I perceive that a
25 real problem has occurred in a loose manner of

1 interpretation.

2 If you'll recall, that measured potash
3 that we just talked about, which is blue on the
4 84 map, never there do we find a reference to
5 thickness per ore zone and quality as to
6 minability under present-day technology and
7 economics per a specific type of mining
8 operation.

9 There is a difference between barren of
10 mineralization and barren of commercial ore. No
11 justifiable definition in my opinion of
12 commercial ore exists.

13 Now, we've got 41 percent, as I just
14 pointed out, of this R-111-P area which is
15 unleased. And I think the criteria for
16 commercial ore becomes more and more germane.
17 The BLM methods in which potash values occurring
18 in several mineralized horizons are combined in a
19 single potash corehole. And the tabulations are
20 very misleading.

21 And I can give an example of, say, the
22 first ore zone and the third ore zone, which are
23 approximately 30 feet apart in the AMAX portion
24 of the basin. If we get a core and we've got 2
25 feet of 10 percent K_2O sylvite in the first zone,

1 and then we get the exact same assay in the third
2 zone, 2 feet of 10 percent sylvite.

3 The way the BLM interprets that, we end
4 up with 4 feet of 10 percent, and when you look
5 on the map it's blue, but when in actuality
6 you've got two zones that have been combined and
7 they're over 30 feet apart.

8 Q. Now, Mr. Muncy, you mentioned something
9 that maybe the Commissioners may or may not be
10 familiar with. These zones, they are numbered,
11 are they not? And that numbering process, how
12 does it work?

13 A. Okay. These zones occur, as have
14 previously been described, in the Salado
15 Formation in the McNutt series. We start at the
16 bottom and we come up. We've got zones 1 through
17 12. The bottom zone, being 1, the top zone,
18 being 12, and we found no commercial ore in the
19 eleventh or twelfth zone.

20 Q. Now, with respect to the New Mexico
21 Potash mine, what zone are they currently mining
22 in to your information?

23 A. New Mexico Potash is mining sylvite in
24 the tenth ore zone.

25 Q. That's one of the higher zones then; is

1 that correct?

2 A. That is correct.

3 Q. Now, Mr. Muncy, within the field of
4 mining engineering, the term "proven ore
5 reserves" is a recognized term. And I believe
6 your Exhibit No. 33 refers to that term and what
7 -- at least in the Carlsbad, New Mexico, area --
8 what is considered sufficient data points to come
9 up with or to connote or designate ore on the
10 basis of the number of data points; is that
11 correct?

12 A. That is correct.

13 Q. Your study of the legend and the usage
14 of the term "measured" by the BLM, can you use
15 those terms synonymously, or are they synonymous?

16 A. The BLM uses the terms, as we see here
17 on the legend: "measured," "indicated," and
18 "inferred." And I think these terms were just
19 meant to be leasing criteria only. That's my
20 opinion. And I'd rather equate them to:
21 Measured as being proved or proven; indicated as
22 being probable; and then inferred as possible.

23 Q. The standards employed by the BLM for
24 denoting measured ore are not the same standards
25 or as high as the ones recognized in the

1 engineering handbook, are they?

2 A. No, sir, they're not. I think what we
3 need to do is we need to remember that the key
4 word is "ore." Ore is a mineral that presently
5 can be acquired, mined, milled, and marketed at a
6 profit. And that's not what we see on the 1984
7 BLM map when it comes to measured.

8 And I perceive that a real problem has
9 occurred due to this loose manner of
10 interpretation.

11 Q. All right. And that comes from the
12 uninitiated equating "measured" with the term
13 "proven"?

14 A. That is correct.

15 Q. Now, you've also as Exhibit 34 prepared
16 a table of some of the information contained on
17 this map that we have just been talking about?

18 A. Yes. What I did in Exhibit 34, I took
19 the 1984 BLM map and by township and range, which
20 is the first column on the left-hand side, I
21 compiled the number of acres in the Secretary's
22 area, R-111-P, what the BLM has colored blue,
23 which is measured, what they've shown as
24 indicated, and inferred. And then I've
25 calculated the mined area and the barren area.

1 And I've done this all in acres per the 1984 BLM
2 map.

3 And the summary is at the bottom of
4 this exhibit, and what it tells us is that 10
5 percent of the first or second mined areas within
6 the Secretary's area, which is the outermost
7 broad red line, only 10 percent of these areas
8 are first or second mined.

9 And then if we come into the R-111-P
10 area, which is for all practical purposes
11 synonymous with the KPLA, we find that only 13
12 percent of this area is first or second mined.

13 Q. Now, the mining that's been going on
14 out here and the time period which is relevant to
15 these statistics, again begins back in the 1930s,
16 does it not, Mr. Muncy?

17 A. That is correct.

18 Q. So that would be the baseline that
19 you're talking about that so many -- a certain
20 percentage of this area has been developed --

21 A. That's right.

22 Q. -- is from the inception of mining?

23 A. It's been a long time, yes.

24 Q. Now, Mr. Muncy, one other thing, of
25 course, both of these maps have on them the oil

1 wells that are drilled in this area, as you told
2 us, I think, as of April of this year; is that
3 correct?

4 A. We got them from a commercial data base
5 called Petroleum Information, and that is
6 correct, 4/30/92.

7 Q. There are a number of wells located in
8 or very close to many of the mines that are out
9 here; is that correct?

10 A. That is correct.

11 Q. Can you tell the Commissioners which
12 ones or how many there are and if there are
13 actually any wells located within the mine
14 workings?

15 A. If we start in the upper left-hand
16 corner at the potash mine that previously
17 employed me, that I did some consulting work for,
18 the AMAX Potash mine, which is now known as the
19 Horizon Potash mine, I have listed the number of
20 oil and/or gas wells that fell within that mine,
21 and that total came to 16.

22 Q. All right. Now, were some of these
23 wells actually within the mine workings?

24 A. Some of these wells were actually
25 within the mine workings. For example, with the

1 AMAX mine, we had 7 of these wells in the first
2 mined area; we had 4 in the second mined area;
3 and we had 5 in what they call "measured ore" on
4 the BLM map.

5 Q. Now, the AMAX mine, that is now the
6 Horizon?

7 A. That is affirmative.

8 Q. All right. That's up in the upper
9 left-hand corner of your maps. Really it's the
10 uppermost or the northernmost active mine at the
11 present time?

12 A. That is correct.

13 Q. All right.

14 A. And then, for example, if we look at
15 the New Mexico Potash mine, which is going to be
16 almost in the center of the far right-hand map on
17 the wall, which we're going to refer to as the 84
18 updated BLM map, I was only able to locate
19 through public records three wells.

20 So the density of the wells on the
21 left-hand side of the basin is much greater than
22 the density of the wells as we look at this map
23 on the right-hand side of the basin. For
24 example, with New Mexico Potash, the first well I
25 found was in the second mined area. The second

1 well I found was in the second mined area, as was
2 the third well. All of them were, according to
3 the public records, in the 84 BLM map within
4 close proximity to the second mined area.

5 Q. The old and now closed Mississippi
6 Chemical Lea mine had at least one or two wells
7 that were in the second mined area, and also the
8 Duval Wills-Weaver mine had a number of wells?

9 A. That is correct. And they're so noted
10 on the map.

11 Q. You have had some firsthand experience
12 with these kind of problems, and you will --
13 later on in your testimony you're going to
14 further discuss that issue, are you not?

15 A. That is true, I will.

16 Q. Now, you also have an Exhibit No. 35.
17 Would you explain what that exhibit is and the
18 relevance to your testimony today?

19 A. Okay. Exhibit 35 is again a copy of
20 the Society of Mining Engineers Handbook, Volume
21 2. And if we start with page 32-29, which is
22 chapter 32, page 39 -- pardon me, page 39, the
23 Mining Engineers Handbook talks about measured
24 ore, indicated ore, and inferred ore.

25 Q. Now, this is with respect to the

1 calculation of reserves, is it not?

2 A. That is correct.

3 Q. That's what this chapter is dealing
4 with, calculation of ore reserves?

5 A. Exactly correct.

6 Q. All right. Would you carry on? I
7 apologize for the interruption.

8 A. And that's the term that we find on the
9 84 BLM map. "Measured ore is ore for which
10 tonnage is computed from dimensions revealed in
11 outcrops, trenches, workings, and drill holes for
12 which the grade is computed from results of
13 detailed sampling. The sites for inspection
14 sampling and measurement are so closely spaced
15 and the geologic character is so well-defined
16 that the size, shape, and mineral content are
17 well established. The computed tonnage and grade
18 are judged to be accurate within stated limits,
19 and no such limit is judged to differ from the
20 computed tonnage or grade by more than 20
21 percent.

22 "Indicated ore is ore for which tonnage
23 and grade are computed partly from specific site
24 measurements, samples, or production data and
25 partly from projection for a reasonable distance

1 on geologic evidence. The sites available for
2 inspection, measurement, and sampling are too
3 widely or otherwise inappropriately spaced to
4 outline the ore completely or to establish its
5 grade throughout."

6 And then we talk about inferred ore,
7 "Inferred ore is ore for which quantitative
8 estimates are based largely on broad knowledge of
9 the geologic character of the deposit and for
10 which there are few or, if any, samples or
11 measurement."

12 So I think what we're talking about
13 here is measured is really proven; indicated is
14 really probable; and inferred is really possible.

15 Q. Mr. Muncy, do you have an opinion as to
16 whether or not the methodology we cited in the
17 legend of the 1984 BLM map, that is using three
18 data points no more than a mile-and-a-half, will
19 actually give you calculations which are
20 consistent with or meet the standards as
21 discussed here?

22 A. It's my opinion that they won't for the
23 reasons that I previously testified to.

24 Q. Do you have any further comments you'd
25 like to make with respect to this exhibit?

1 A. Not at this time.

2 Q. Now, Mr. Muncy, in your preparation and
3 study for purposes of testifying here and gaining
4 an understanding of the problems with respect to
5 the petroleum and potash industries, have you had
6 an occasion to view what has been, as a common
7 name, referred to as the "Miner's Bible," but it
8 was that compilation of materials that was put
9 together and used by the joint industry committee
10 back in 1986?

11 A. Yes, I have. I've got a copy of it
12 right there in that box on the floor, and I've
13 read it from cover to cover.

14 Q. Do you have an opinion as to whether or
15 not that compilation by the potash industry was a
16 fair treatment from a scientific standpoint of
17 the issues that we are faced with today?

18 A. It's my opinion that the "Miner's
19 Bible" is nothing more than yellow journalism.
20 It is chock-full of general terms. And I think
21 what we need is a scientific approach to a
22 troublesome problem. We don't need the "Miner's
23 Bible." And I'd like to reiterate, science
24 dissipates trouble.

25 Q. The statements that you've just made,

1 do you have some examples of what you're talking
2 about? Could you be more explicit, Mr. Muncy?

3 A. Yes. The "Miner's Bible" talks about
4 disaster. I think we all understand that. It
5 talks about the mine disaster at Belle Isle in
6 Louisiana in Merry Paris back in 1979. It talks
7 about the Kane Creek mine disaster in Grant
8 County, Utah, back in 1963.

9 And it's my opinion that geologically
10 they're just not related. And there's just no
11 way that we need to compare these disasters to
12 the Carlsbad Potash Basin. Geologically they're
13 just not the same, and we all understand the
14 disaster. But we need to apply the science and
15 get down and look at the facts and use sound
16 engineering principles and good geology.

17 Q. With respect to looking at the facts,
18 are there some examples that you have personal
19 experience with that are contained within this
20 "Miner's Bible"?

21 A. Yes. I have prepared as Exhibit No. 36
22 and copied from the introduction, which will be
23 the first page of Exhibit 36, pages 23 and 24.
24 And at the bottom of the page 23 under 4 in the
25 introduction to the "Miner's Bible", I'd like to

1 read this short paragraph.

2 It says, "In our own experience" -- or
3 pardon me, "Our own experience also makes us
4 question whether any casing and cement program
5 unless supplemented with additional safeguards is
6 adequate protection against the hazards we are
7 dealing with. In 1980, for example, AMAX," which
8 we just pointed out is now Horizon, "drilled a
9 borehole from the surface to the mine workings to
10 be used for electrical supply casing. In
11 attempting to cement the casing, the cement was
12 lost both above and in the salt section. We
13 assume," and I've underlined on that page "'we
14 assume' clay seams and fractures in the salt
15 zone. In instances like this, we simply do not
16 believe there is any reliable way to be certain
17 that voids in the annulus of the casing are
18 completely filled."

19 And then they refer to Exhibit No. 22
20 in the "Miner's Bible." Which follows on the next
21 pages of my Exhibit No. 36. The first page in
22 Exhibit No. 22 is a sundry notice to the BLM --
23 pardon me, it's to the BLM in Santa Fe,
24 Department of Interior, on Well No. 181, which is
25 located in Section 13 in the southwest quarter,

1 Township 19 South, Range 29 East, in Eddy County,
2 New Mexico.

3 And what it says is AMAX has plans to
4 drill a borehole at this location to be used for
5 an electrical power supply to our underground
6 mine workings in the western lease area.

7 We turn to the next page in that
8 exhibit, and I want to emphasize this came
9 directly out of the "Miner's Bible." It's an
10 exact copy. You'll see --

11 Q. One thing I'd like to point out, Mr.
12 Muncy, this AMAX mine was a mine you were
13 employed by; is that correct?

14 A. That is affirmative.

15 Q. And this sheet that you're just
16 beginning to read from is listed on stationery,
17 Marnel Pipe & Supply Company; is that correct?

18 A. [Nodded.] And after I left the direct
19 employ of AMAX, that was my company in which --

20 Q. You were Marnel Pipe & Supply Company?

21 A. I was Marnel Pipe & Supply. And I can
22 tell you that I was the one that sat down at the
23 typewriter and typed the following five or six
24 pages.

25 Q. All right. If you would continue on

1 with your testimony with respect to this
2 exhibit.

3 A. Okay. The first two pages are the
4 drilling samples as reported by the driller. And
5 there was a time when this hole was being drilled
6 where I was the driller. I was there. And I'd
7 like to point out that, while I was employed by
8 AMAX on a full-time basis, I surveyed -- taken
9 off on the survey from the underground mine -- to
10 where this borehole from the surface should
11 intersect the mine.

12 So I tied the underground survey into
13 where we wanted this hole to intersect this
14 underground mine, and then I tied in the existing
15 surface surveys that AMAX had on their books.
16 And when we drilled this hole, we came within 18
17 to 20 inches in the underground mine of where we
18 surveyed -- or where I surveyed that it would
19 come.

20 I put an "X" on the back of the mine,
21 the underground mine, with some black paint. I
22 was on the surface when we drilled into the
23 mine. And the general mine superintendent was
24 down there. And he came out of the mine, and he
25 had a big smile on his face, and he said,

1 "Nelson, we got within less than two feet of
2 where you surveyed that this hole was supposed to
3 fall in the mine."

4 Q. The point to be made there, Mr. Nelson,
5 is that surveying techniques are sophisticated
6 enough that you can tell where you are with
7 respect to surface installations and underground
8 installations. And I would take it that also the
9 surveying techniques have improved since this
10 occurred; is that correct?

11 A. That is correct. I'm a Registered
12 Professional Land Surveyor in the state of
13 Arizona. And we did it with the old ways,
14 Girdens tables, logarithms. As you point out,
15 they've got new, modern techniques and lasers,
16 and they can be be more accurate today than I was
17 allowed to be eleven or twelve years ago when
18 this occurred.

19 Q. Okay. Continue on.

20 A. I think the thing that's disappointing
21 about the last -- or about the statement in the
22 introduction to the "Miner's Bible" is borne out
23 by the last three pages. If you turn to the
24 next-to-the-last page, "AMAX Electrical Hole
25 Drilling Progress Continued," page 2 out of 3,

1 you'll see that on January 29, 1989, I show that
2 we ran 404 feet of new 13-3/8 OD casing and
3 cemented with 400 sacks Denton Cement Company.
4 And then the notation says, "Did not circulate."

5 What's disturbing to me is the fact
6 that this hole was drilled with a cable tool
7 rig. I drilled the hole. The hole was dry. And
8 I tried to explain to the folks at AMAX that if
9 we wanted to circulate cement, certain things had
10 to be done. And I was told that they weren't
11 interested in those certain things, such as
12 loading the hole with mud, fluid loss additives,
13 fluid calipers, you name it, we went through the
14 whole gamut.

15 AMAX told me that they just wanted to
16 cement the well and get it over with: Order 400
17 sacks of cement, Class C, pump it down the hole.

18 And then the same thing happened, if
19 you look on the last page, on February 13, 1981:
20 Run cement. Did not circulate. Ready-Mixed the
21 backside with 8 cubic yards of cement,
22 Ready-Mix.

23 What's disturbing to me again is the
24 fact that I was told I could have 350 sacks of
25 cement, and it wasn't important that the cement

1 be circulated.

2 I think there's two points to be made
3 here. As I said, the "Miner's Bible" deals in
4 yellow journalism, and this is a prime example of
5 it because they say that this is proof positive
6 that the cement didn't circulate. They didn't
7 want the cement to circulate. And it's my
8 conviction that if we'd have done this under the
9 rules of R-111-P, the cement would have
10 circulated. There's no real problem here.

11 And when you look at the facts, when
12 you look at the science, when you look at the
13 engineering, and when you look at the geology, as
14 I've been trained to do, there's a simple
15 explanation for what happened, and it's not what
16 is written in the "Miner's Bible".

17 Q. Then it is your professional opinion
18 that the conclusion drawn at page 23 of the
19 "Miner's Bible" is false?

20 A. Totally false.

21 Q. And the potash companies had had
22 control of that particular casing program and
23 cementing job?

24 A. And that's an exhibit of their failure
25 in my opinion.

1 Q. Now, you've also had other experiences,
2 Mr. Muncy, with plugging wells out in the potash
3 area for potash companies, have you not?

4 A. Yes. As I stated previously, AMAX --
5 one of the reasons that AMAX felt that I could
6 contribute was the fact that I did have oil and
7 gas experience. And during that time period,
8 they had a lot of oil and gas wells that were
9 being drilled in their general mining area.

10 And if you look at Exhibit No. 37, this
11 again is a BLM notice, US Geological Survey.
12 What I'd like to point out about this exhibit is
13 that this particular well, known as the C. E. La
14 Rue and B. N. Muncy, Jr., Culbertson & Irwin,
15 Federal No. 1, located 2310 feet from the north
16 line and 990 feet from the east line in Section
17 13, Township 19 South, Range 29 East, which would
18 put the well in the northern part of the AMAX
19 mine workings, was an active well when I went to
20 work for AMAX.

21 The well was marginal due to
22 economics. It did produce oil, and it did
23 produce gas. And the good people at AMAX asked
24 me, they said, "Perhaps you know these folks that
25 are the operators of this well. Perhaps you can

1 talk to them. And go talk to them and see if we
2 can't pay -- if AMAX can't pay to plug that
3 well. We know it's a marginal well, and maybe it
4 would help them decide to plug that well if we'd
5 offer to pay for it. We would want you to
6 supervise the plugging of the wells. And we know
7 that if we supervise the plugging of the well" --
8 and actually what we ended up doing was filling
9 the hole full of cement -- then AMAX, and I
10 concurred with them, felt that they could mine
11 right up to this well.

12 So that's exactly what we did. I got
13 ahold of the operator. And in March of 1980
14 through April 4 -- or March 26, 1980, through
15 April 4, 1980 --

16 Q. Mr. Nelson, I notice that the name of
17 the operator is La Rue and Muncy. There's a
18 familial connection there, is there not, Mr.
19 Muncy?

20 A. B. N. Muncy, Jr., is my father. And
21 I've never had any business relationships with
22 him, but that was how we knew that the well was
23 probably marginal.

24 Q. That does speak, though, to the history
25 in your experience. You grew up in an oil

1 family; is that correct?

2 A. That is correct. And when I graduated
3 from Artesia High School, I went to college and
4 got a degree in business administration. And
5 then I got a degree in mining engineering. And I
6 worked in the mines, as I previously testified.
7 And it was based upon that mining experience and
8 that oil and gas experience that AMAX hired me,
9 and they relied upon my expertise.

10 Q. All right. If you would continue on
11 with what did you with respect to the plugging of
12 this well.

13 A. Okay. Basically what we're going to
14 see in this exhibit is how the well was plugged.
15 And what we did is we cut the ace casing off. It
16 was 4-1/2 inch casing below the AMAX mining zone,
17 1120 to 1169 feet, pulled the casing. And then I
18 filled the hole full of cement. And then I felt
19 confident and I feel confident today that you can
20 mine right up to this well.

21 The company that I'm employed by, MYCO,
22 has several active oil and gas wells near the
23 AMAX mine. I see a lot of those folks there from
24 time to time. They're still my friends. I go to
25 some of the local meetings that they have there

1 in Carlsbad. And I brought this particular well
2 up a month or two ago with some of the folks out
3 at AMAX. And they tell me that they have plans
4 this year --

5 MR. HIGH: Excuse me. I'm going to
6 object. We're getting into rank hearsay now. I
7 don't know who he's referring to or what. These
8 are random conversations, and I object to it as
9 hearsay.

10 CHAIRMAN LeMAY: We'll accept it and
11 grade it accordingly, counsel.

12 THE WITNESS: I'll restate that a
13 little bit. I felt that back when this well was
14 plugged we could mine right up to it. In
15 conversations that I've had with the mining
16 engineering group at AMAX, they tell me that
17 they're going to mine within 100 feet of it this
18 year. It's in their mining plans.

19 Q. (BY MR. CARROLL) Now, Mr. Muncy, AMAX,
20 or the principals of AMAX at the time this
21 plugging operation was going on, did they
22 participate with you in the design of the
23 plugging operation and the cementing program for
24 that?

25 A. They definitely did, and they concurred

1 100 percent. And their signature is on -- pardon
2 me. I didn't mean to say that.

3 Q. But you were their employee and this
4 was plugged under their supervision and according
5 to the ultimate design that they were --

6 A. Yes. And AMAX paid the bill.

7 Q. Now, Mr. Muncy, you have prepared a
8 third map, have you not, as an exhibit; that
9 would be Exhibit 38?

10 A. Yes. My final exhibit is Exhibit No.
11 38.

12 Q. This is basically the same. It's
13 actually an area taken from this larger map here
14 on the right; is that correct?

15 A. That is correct. We just asked the
16 computer to print a portion of the map that you
17 see before you. But if you'd put it on the same
18 scale, you could paste it right back on that map
19 on the right-hand side, and it would fit exactly.

20 MR. HIGH: Excuse me, Mr. Chairman.
21 This document contains what we consider to be
22 confidential information. I don't know how far
23 counsel plans get into it, but if he wants to
24 show the map or display it on the wall or ask
25 questions concerning the LMR, then we would ask

1 that that information be treated as confidential.

2 MR. CARROLL: Mr. LeMay, let me explain
3 just so that you're fully aware where this
4 information came from. This particular exhibit
5 does have on it one additional piece of
6 information. That information does concern the
7 LMR but this came from public records.

8 If you will recall, Order R-111-P
9 contains in it at -- I think it's right at the
10 very last of it. I'm not sure. I-2, it says,
11 "Mine Surveys." And this is under the heading,
12 "Filing of well surveys, mine surveys, and
13 potash development plans." It's on page 12 of
14 the order.

15 It says, "Within 30 days after the
16 adoption of this order and thereafter on or
17 before January 31 of each year, each potash
18 operator shall furnish to the Division two copies
19 of a plat of a survey of the location of his
20 leaseholdings and all of his mine workings, which
21 plat shall be available for public inspection and
22 on a scale acceptable to the Division."

23 I will represent to you that Mr. Muncy
24 and Mr. Hutchinson went to the OCD and requested
25 to see the public records there with respect to

1 the open mine workings. And they viewed all of
2 that, and Mr. Muncy has told you that's how he
3 gained the current mine workings.

4 New Mexico Potash was the only mine
5 that did this, but with respect to their open
6 mine workings, they included on each one of their
7 update plats over a period of years, because
8 there's more than one, they included their LMR on
9 that plat. So it was available to us, not only
10 what their LMR was prior to 1/1 of 92 but what it
11 was after 1/1 of 92. That's the information.
12 That's public.

13 Now, my position is confidentiality has
14 been waived by the acts of New Mexico Potash. I
15 do not intend to have this map stuck on the
16 wall. The only people that have copies of it are
17 -- the reporter will have a copy and the three of
18 you and, of course, Mr. High and Mr. Muncy will
19 testify to it.

20 I'm not sure if Mr. High wants to --
21 I'm not objecting -- I'm not trying to publish
22 this material to all the public. I don't know
23 that it's necessary to clear the room because my
24 questions, I don't think, are going to detail the
25 actual location of it. And it's more to describe

1 the exhibit and let the Commissioners draw their
2 own conclusions.

3 So with that statement I'm not trying
4 to oppose Mr. High in protecting it. I do take
5 the position it's not public -- I mean, not
6 confidential anymore because they've waived it.
7 But I'm willing to work with him and whatever
8 you, as Commissioners, tell me what to do. And I
9 just seek that guidance with that history.

10 CHAIRMAN LeMAY: Since it was in our
11 files, do you have a comment on that, Mr. High?

12 MR. HIGH: I do, Mr. LeMay. A copy of
13 the LMR map was sent to your office, and it was
14 disclosed by your office to Yates notwithstanding
15 the requirements of R-111-P that that document be
16 kept confidential.

17 CHAIRMAN LeMAY: Well, if they included
18 it in what would be public record --

19 MR. HIGH: I don't know what records
20 you put it in. As soon as I found out what had
21 happened this morning, we sent someone to your
22 office and asked for the open file. And, sure
23 enough, the map that is in that open file is the
24 LMR map, just like Mr. Carroll explained, because
25 the LMR map that we filed is the one that has our

1 mine workings on it and we draw our LMR on it.

2 And that copy was sent to your office
3 and was disclosed through your office. I'm not
4 saying intentionally, don't misunderstand me.
5 I'm just telling you how the events happened.

6 CHAIRMAN LeMAY: Well, do you have a
7 preference on how we approach this thing?

8 MR. HIGH: My only preference is, I
9 don't think there's any provision for waiver.
10 The R-111-P is very specific with respect to the
11 confidentiality of this information. All we're
12 saying is we don't want it made public
13 information.

14 And if Mr. Carroll is not going to get
15 very specific about it, I don't have a problem
16 with everyone staying. I just don't want this
17 map to get out to the public.

18 CHAIRMAN LeMAY: Well, then if we
19 continue on where he asks general questions
20 without detailing any of the confidential nature
21 of it, would that be acceptable to you? If we're
22 getting into anything confidential, you could
23 stand and raise an objection to it?

24 MR. HIGH: That would be perfectly fine
25 with me.

1 CHAIRMAN LeMAY: Let's continue on with
2 those guidelines.

3 MR. STOVALL: Mr. Chairman, to clarify
4 the point, this exhibit is a confidential exhibit
5 in this hearing and will not be part of the
6 public record of this hearing.

7 MR. HIGH: We're asking that it be
8 treated that way, yes.

9 CHAIRMAN LeMAY: I think we can
10 accommodate that.

11 MR. HIGH: Thank you.

12 Q. (BY MR. CARROLL) Okay. Mr. Muncy,
13 again, I had made some certain representations
14 with respect to this map to the Commissioners,
15 and this is Exhibit No. 38. I would like the
16 record to reflect your interpretation rather than
17 mine. So again could you describe what 38 is?
18 And this map is different from the earlier maps,
19 and if you would tell how it differs and how you
20 arrived at that information.

21 A. Okay. As I stated previously, back in
22 the second or third week of April of this year,
23 as we previously heard, I went to the Public
24 Record section of the NMOCD in this office. And
25 I found, as I have previously talked about,

1 potash lease maps and updated mine workings for
2 four mines. Narranda, Western Ag Minerals, and
3 Mississippi Chemical had nothing in the file.

4 As we've previously heard, New Mexico
5 Potash, the plat that was turned in with the open
6 mine workings, had the LMR on it. And I'd like
7 to emphasize that I also had treated this as
8 confidential, and it's not my intention to harm
9 anyone or let this information out because I used
10 to make similar maps for AMAX when I worked for
11 them. So I well appreciate what we're talking
12 about here.

13 What I did is I made sketches and notes
14 of the LMR. And if you'll look on the map and in
15 the legend, it says, "New Mexico Potash LMRs
16 1/7/92." And that would be the broad red line on
17 the map, and the map is exactly the same as the
18 map on the wall, the previous exhibit with the
19 exception of the New Mexico Potash LMR.

20 Q. Now, the LMR line then is the dark red
21 line that we see here. And it has little lines
22 running perpendicular out from it, the main
23 baseline; is that correct?

24 A. Yes. And if you just take an example,
25 kind of in the bottom middle portion of the map,

1 you see 22 and 23 and 27 and 26. And you see an
2 oblong eclipsed looking barren zone in there.
3 And I think that the little arrows point to the
4 outside. And what they're trying to say is that
5 area as well as other areas that are depicted in
6 the same fashion is barren.

7 Q. All right. So you were then just
8 addressing the purpose of these little -- short
9 little hash marks, and they are an indicator to
10 you, as a mining engineer?

11 A. That is correct.

12 Q. All right. So the side of the line
13 that has the little hash marks, everything within
14 that would you consider to be the life of mine
15 reserves, in your opinion?

16 A. In my interpretation of the legend,
17 which I viewed on the specific map in question,
18 yes.

19 Q. All right. Let's talk about our
20 Section 2 that we're concerned with here with the
21 four -- where the four well applications are
22 being made. Based on what you have just
23 described, Section 2 then falls within New Mexico
24 Potash's LMR?

25 A. The way I read the map, there's no

1 question about it, it does fall -- Section 2 does
2 fall within their LMR. And it extends and spills
3 over into Section 10 and Section 11 below and to
4 the left.

5 Q. The yellow that is now on this
6 particular Exhibit 38, what does that depict, the
7 yellow coloring?

8 A. The yellow coloring is the acreage
9 which Mr. Patterson described in his testimony
10 yesterday that's of question in this hearing
11 today in Section 2.

12 Q. That is the two -- that yellow area
13 comprises the two leases, which we have heard
14 earlier testimony, upon which the four wells will
15 be drilled?

16 A. That is my understanding, and I can
17 guarantee you that is correct.

18 Q. Okay. Now, that coloration is not on
19 your legend. This was just some additional
20 information that we put on there to help acquaint
21 the Commissioners with the area of concern?

22 A. That is correct. It is not on the
23 legend.

24 Q. Now, we've also heard testimony, Mr.
25 Muncy, concerning the acquisition by Yates

1 Petroleum and Pogo of certain potash leases last
2 month at a federal potash sale.

3 A. Yes. I attended that sale. It was in
4 Carlsbad at the Hotel Stevens. And without
5 divulging any confidential information about the
6 New Mexico Potash LMR, as I've previously stated,
7 part of Section 10 and part of Section 11 are
8 depicted in their LMRs.

9 And when I attended that sale and Yates
10 and Pogo bought 5280 acres, which is depicted in
11 red on the map here -- and it's also not on the
12 legend; we added that after we made the map. The
13 red shows the Yates-Pogo potash lease that was
14 purchased at the sale, 5280 acres more or less.
15 It's easy to see that what Yates and Pogo bought
16 is in the New Mexico Potash LMR as far as 10 and
17 11 is concerned.

18 And I attended that sale, and I'm here
19 to tell you that New Mexico Potash did not bid on
20 that lease. And I didn't notice anyone that I
21 recognized from New Mexico Potash at that sale.
22 They may well have been there, but they certainly
23 did not bid on the lease.

24 Q. Now, Mr. Muncy, again this red
25 coloration is not something that is on your

1 legend, but it was something that we did to help
2 acquaint the Commissioners with the relationship
3 of this newly acquired lease with respect to the
4 questioned area of the drilling permits and also
5 the location of the LMR?

6 A. That is correct.

7 Q. And this LMR, your information was as
8 of 1/7/92; is that correct?

9 A. The letter that transmitted the LMR and
10 file which I read was, if I recall, dated the
11 14th of January, and the LMR was dated 1/7/92.

12 Q. On the date of 1/7/92, the acreage that
13 is depicted in red was unleased; is that correct?

14 A. That is correct.

15 Q. And now Yates Petroleum and Pogo have
16 bought that lease, and a lease is pending as of
17 this date?

18 A. That is my understanding based on Mr.
19 Patterson's testimony.

20 Q. Now, Mr. Muncy, I just have one copy of
21 this. You have the black potash exhibits, do you
22 not?

23 A. Yes, I do.

24 Q. I'd ask you to turn to their Exhibit
25 12.

1 A. I have found that exhibit, and I have
2 it before me.

3 Q. You have reviewed that letter, have you
4 not?

5 A. Yes, I have.

6 Q. What is the date of that letter?

7 A. The date of the letter is the 27th day
8 of December 1991.

9 Q. Ten days prior to the date of this LMR;
10 is that correct, of 1/7/92?

11 A. That is correct.

12 Q. Or maybe it's eleven days?

13 A. Ten days, more or less. How's that?

14 Q. Ten days more or less, all right. This
15 letter is on IMC Fertilizer stationery, is it
16 not?

17 A. The copy that I have has the IMC logo
18 and doesn't give the address or the phone number,
19 but I would have to assume, unless shown
20 different, that that is correct.

21 Q. The letter is addressed to whom?

22 A. The letter is addressed to New Mexico
23 Corporation in care of Mr. Walt Case.

24 Q. You are familiar with and know Mr.
25 Case, do you not?

1 A. Yes. He is sitting in this room at
2 this time to the left of Mr. High.

3 Q. And the letter is signed by Dan
4 Morehouse; is that correct?

5 A. That is correct.

6 Q. You also know Mr. Morehouse, do you
7 not?

8 A. I know of Mr. Morehouse, but I do not
9 know him personally.

10 Q. You are aware that he is presently the
11 mine manager or mine engineer for IMC?

12 A. I can't tell you his exact position,
13 but I do know that at this particular time I
14 understood that he was employed by IMC.

15 Q. What is your understanding of the
16 contents of this letter, Mr. Muncy?

17 A. Well, it's got a magic word in there.
18 It's got the word "assignment." And that tells
19 me that this Section 2, which is the subject of
20 this letter, Township 22 South, Range 31 East,
21 New Mexico State Potassium Lease M-14957 has been
22 conveyed.

23 Q. Mr. Muncy, when you went up and viewed
24 the open working mine plats of New Mexico Potash,
25 there were earlier plats also in that file, were

1 there not?

2 A. There were earlier plats in the file,
3 yes.

4 Q. And those earlier plats also depicted
5 the LMR designation?

6 A. That's correct.

7 Q. The plat that was in effect for the
8 time period that would have covered December 27,
9 1991, did it include Section 2 within their LMR?

10 A. I'd like to leave the answer to that
11 question to Gary Hutchinson because he looked at
12 that more than I did. And I want to be able to
13 be a reliable witness and tell you exactly what I
14 know. I think he looked at that in depth and
15 would be better able to answer that question.

16 Q. But, at least from that information,
17 one could determine whether or not Section 2 was
18 included in an LMR as of December 27, 1991?

19 A. That is correct.

20 Q. And it's just your recollection fails
21 you right now as to that?

22 A. I want to be perfectly candid.

23 Q. All right. Mr. Muncy, during the
24 period of time that you were working in
25 conjunction with the potash industry, I believe

1 you told me you cored something like 20 coreholes
2 for companies, and you plugged a number of wells
3 out there; is that correct?

4 A. That's correct.

5 Q. During any of that period of time, did
6 you ever see or encounter problems caused by
7 subsidence in the basin, in that basin in that
8 area?

9 A. With respect to --

10 Q. Oil and gas wells.

11 A. -- oil and gas wells, I did not.

12 Q. With respect to the ones that you
13 plugged, are you aware of any problems with
14 subsidence that has occurred either then or up to
15 the present?

16 A. None whatsoever.

17 Q. I would ask to you turn back to your
18 Exhibit 35. I want to make something just real
19 clear here for the record. This was in your
20 exhibit from the SME Mining Engineering Handbook,
21 that is 35. You read what the SME thought the
22 groupings were, measured ore, indicated ore --
23 what the criteria was. And you rendered the
24 opinion that you didn't feel that the BLM's
25 criteria matched this.

1 That statement and that interpretation
2 is actually contained and your representations
3 about that is actually contained in the paragraph
4 just above where it starts the detailing of
5 measured ore, indicated ore, et cetera; is that
6 correct?

7 A. That's correct.

8 Q. And so basically that interpretation
9 was a reiteration of what has been published by
10 the Society of Mining Engineers?

11 A. Yes. And that's why I chose to copy so
12 many pages so that people could read it and see
13 what was there.

14 Q. So it wouldn't be taken out of context?

15 A. I didn't want to do that.

16 MR. CARROLL: All right. Chairman
17 LeMay, I would move at this time admission of Mr.
18 Muncy's Exhibits 28 through 38. And I would also
19 move admission of the Potash Company's Exhibit
20 No. 12.

21 CHAIRMAN LeMAY: Without objection
22 those exhibits will be admitted into the record
23 with the stipulation that Exhibit No. 38 will be
24 kept as a confidential document.'

25 MR. CARROLL: I'll pass the witness at

1 this time.

2 CHAIRMAN LeMAY: Are you all through?

3 MR. CARROLL: Yes, sir, I am.

4 CHAIRMAN LeMAY: Let's take about a
5 15-minute break and come back for
6 cross-examination.

7 [A recess was taken.]

8 CHAIRMAN LeMAY: Just some little
9 housekeeping measures.

10 [A discussion was held off the record.]

11 CHAIRMAN LeMAY: Mr. High, your
12 witness.

13 MR. HIGH: Thank you, Mr. LeMay.

14 CROSS-EXAMINATION

15 BY MR. HIGH:

16 Q. Mr. Muncy, are you claiming to have any
17 special expertise with respect to potash mining,
18 or would you characterize your experience in that
19 area as limited?

20 A. It's definitely not limited.

21 Q. It's not limited?

22 A. Definitely not limited.

23 Q. How much experience do you have with
24 respect to underground mining, to start with?

25 A. I spent part of the time -- do you want

1 to go down my resume here?

2 Q. I'm just asking you, how many years do
3 you have --

4 A. At least five years.

5 Q. Pardon me?

6 A. At least five of the nine, probably
7 six.

8 Q. And those five or six years of
9 underground mining would have been spent with
10 what types of mines?

11 A. Porphyry copper deposits.

12 Q. That's in an underground mine?

13 A. Uh-huh.

14 Q. Okay.

15 A. Chrysotile mining in Gila County,
16 Arizona, and the potash mines in the Carlsbad
17 Basin.

18 Q. So out of that five or six years of
19 underground mining, the amount of time
20 underground in a potash mine would have been how
21 long?

22 A. Well, that's subtracting from the nine
23 to get five or six, sir. I'm the type of person
24 that I'm going to get down there, and I'm going
25 to find out what's going on. And that's what

1 happened when I worked for AMAX. I spent a lot
2 of time underground.

3 Q. My question is: How long did you spend
4 with AMAX?

5 A. In excess of one year.

6 Q. Other than in excess of one year, do
7 you have any experience being employed by any
8 potash mine in the basin?

9 A. Absolutely not.

10 Q. So the total limit of your employment
11 by an underground potash mine is this roughly one
12 year by AMAX?

13 A. That is correct.

14 Q. And you said that you were hired, at
15 least in part, I think you said because of your
16 oil and gas knowledge and experience; is that
17 correct?

18 A. That is correct.

19 Q. I take it then at the time you were
20 hired, AMAX had some concern over the oil and gas
21 wells in and around its mine?

22 A. AMAX noted that there were some oil and
23 gas wells being drilled in the area. I don't
24 know what you mean or want to define by the word
25 "concern."

1 Q. Well, do you think if they were in fact
2 looking for someone to work for them that had oil
3 and gas knowledge, that they wanted to take
4 advantage of that knowledge?

5 A. I think that fact that I had oil and
6 gas knowledge was just part of the package that I
7 had to offer. I had mining experience as well.

8 Q. I understand that. But your testimony
9 a minute ago was that AMAX hired you because of
10 your experience in oil and gas; that's what I
11 understood you said earlier?

12 A. Maybe that was a misnomer. That was
13 just part of the reason that they hired me is
14 because I did have experience in oil and gas.

15 Q. Okay.

16 A. I spoke both languages, I believe, is
17 the way I worded it.

18 Q. And if AMAX hired you because of your
19 oil and gas experience, would you assume that
20 they had some reason for wanting someone with oil
21 and gas experience?

22 A. I think it would have been of benefit
23 to them. But to make an assumption, I'm not in a
24 position to do that.

25 Q. All right. They weren't -- AMAX was

1 not operating any oil and gas wells out in this
2 potash mining area, were they?

3 A. At that particular time I don't think
4 so, but since then they have.

5 Q. So the only connection that AMAX would
6 have had with an oil and gas well at the time you
7 went to work for them is with respect to the oil
8 and gas wells on the mining property?

9 A. On, near the mining property.

10 Q. Your definition of ore -- by the way
11 which we have no problem with -- out of the SME
12 Handbook, is really getting ore at a profit.
13 That's the definition you used; correct?

14 A. Present day.

15 Q. Right.

16 A. Yes.

17 Q. So anytime you used the word "ore,"
18 implicit in the use of that word is that you can
19 take it out of the ground at a profit?

20 A. The connotation is so implied.

21 Q. And New Mexico Potash, as far as you
22 know, has been mining in the potash basin for a
23 long time; right?

24 A. They took over from Kerr-McGee.

25 Q. And they're still mining today, as far

1 as you know; right?

2 A. I know they are.

3 Q. Paying the light bills, paying
4 employees, and plugging right along?

5 A. I have no information from which to
6 speak.

7 Q. Do you have any reason to believe that
8 they are not operating at a profit?

9 A. I have no reason either way to render
10 an opinion.

11 Q. So you don't know if they're making
12 money or losing money or anything about it?

13 A. I've never investigated that.

14 Q. How about AMAX? Was AMAX operating at
15 a profit when you were there?

16 A. They sold the mine to Horizon for \$3
17 million, so I have to assume for some reason they
18 got rid of it.

19 Q. Do you know whether or not AMAX was
20 mining the ore at a profit?

21 A. I wasn't privy to the books.

22 Q. Now, on your Exhibit No. 30, the
23 computer-generated map -- I'm sorry. Let's go to
24 31 first, and I'll come back to 30. 31, that's
25 the one that has the different orange shades,

1 different shades of orange, I believe, the large
2 one over here?

3 A. Yes, sir. That would be the one on the
4 far right.

5 Q. I understand you updated the mine
6 workings from the 1984 BLM map?

7 A. To the best of my ability, based upon
8 public information.

9 Q. Okay. And the point I'm getting at is
10 I'm just trying to understand how your Exhibit
11 No. 31 differs from the 1984 BLM map. The mine
12 workings would be different; right?

13 A. That's one way that it differs.

14 Q. Are there other ways it differs from
15 the 1948 BLM map?

16 A. Yes. We put the well spots on there,
17 which we got from PI commercial data base,
18 effective 4/30/92. And the legends for those
19 wells are in the map legend on the bottom
20 left-hand corner.

21 Q. How many wells did you put on here?

22 A. How many wells did I put on there?

23 Q. Yes, sir. This is on 31. Is this all
24 the oil and gas wells in and around the KPA?

25 A. That is every oil and gas well that was

1 in the PI data base as of 4/30/92.

2 Q. Okay. And, of course, the 1984 BLM map
3 doesn't have oil and gas wells on it, period;
4 correct?

5 A. No, sir. That was one reason for
6 making this map.

7 Q. Okay. Is the ore, as shown by your
8 legend on Exhibit No. 31, different from the ore
9 shown on the 1984 BLM map?

10 A. The nomenclature is the same, but as
11 far as the symbols and colors go, they're not
12 exactly the same. I've got a copy of that 84 map
13 right here.

14 Q. Well, what I'm getting at, Mr. Muncy,
15 is did you change any of the areas on this
16 Exhibit 31 from blue to green, green to blue, red
17 to -- anything like that from the 1984 BLM map?

18 A. No, sir. Absolutely not. It was
19 digitized via computer means. And, to the best
20 of my ability, because I did it, we copied the 84
21 map. And there was no reason to change anything.

22 Q. Okay. And you and I both know that
23 that 1984 BLM map is woefully out of date?

24 A. It's the best that we have.

25 Q. But we know that there's data that's

1 become available since 1984 that has and will
2 change some of the indications on the BLM map
3 from one color to another one; you know that,
4 don't you?

5 A. I don't really know that, because when
6 I talked to the folks at the BLM and asked them
7 those questions that you're asking me, all I hear
8 is they're out of money and they don't have time
9 to worry about it. That's why I made the map.

10 Q. Now, you testified, Mr. Muncy, that the
11 BLM does some things that you don't really like?

12 A. Pardon me?

13 Q. You don't agree with some of the things
14 the BLM does, do you?

15 A. I don't agree with some of the things
16 that a lot of people do, and I think that's kind
17 of an open-ended question.

18 Q. Well, you didn't testify about anybody
19 else other than the BLM this morning, did you?

20 A. I hope I did.

21 Q. Let's narrow it down to BLM. You don't
22 think they correctly applied mining standards in
23 the known potash area, do you?

24 A. It's my personal opinion that they
25 don't.

1 Q. And I understand you gave an example
2 this morning that the BLM used ore on one -- on
3 the first ore zone, combined it with ore on the
4 third ore zone, to get 4 feet of 10 percent to
5 make the map blue; did you say that this morning?

6 A. That's what I said. I get the example
7 of 2 feet here and 2 feet there, 30 feet apart,
8 they combine it and call it 4 feet.

9 Q. Is it your testimony that that's the
10 procedure the BLM follows?

11 A. It's my understanding that that is part
12 of the procedure that they follow.

13 Q. All right. Of course, you've never
14 worked for the BLM, have you?

15 A. No, sir, I have not.

16 Q. Let's look at your Exhibit No. --

17 A. 32?

18 Q. Copy of the BLM map. I misplaced my
19 copy here. Do you have Exhibit No. 32 in front
20 of you, Mr. Muncy?

21 A. Page 2?

22 Q. That is simply a photocopy of the 1984
23 BLM map?

24 A. That is correct.

25 Q. All right. Look on the second page of

1 that document, if you would please, sir, top
2 right-hand corner. You referred to this earlier
3 in your testimony where it says -- the little
4 blocks that are shaded -- the first one says,
5 "Measured Potash Reserves." If you look at the
6 last sentence with respect to measured ore, Mr.
7 Muncy, it says, "A minimum of three data points
8 in any one ore zone meeting quality and thickness
9 standards no more than one-and-a-half miles apart
10 have been used to delineate measured reserves."

11 Now, that's contrary to what you
12 testified this morning that the BLM does; right?

13 A. It's my opinion that they don't follow
14 that.

15 Q. But you will agree that, at least on
16 Exhibit No. 32, the BLM procedure for determining
17 measured ore is that there has to be sufficient
18 thickness and quality on one horizon to make it
19 blue on the BLM map?

20 A. That's correct.

21 Q. And that you cannot combine two ore
22 horizons, like you said this morning, according
23 to what's on Exhibit No. 32?

24 A. I'll agree with that, yes.

25 Q. Thank you. Now, you also referred to

1 an exhibit out of the SME Handbook, Exhibit No.
2 33. And you talked about exploration on centers
3 of -- what was it?

4 A. One mile centers for exploration and
5 ore reserves can be blocked out on four holes per
6 section.

7 Q. Okay. Did you follow that when you
8 were with AMAX?

9 A. We did a little better than that. We
10 got closer to five.

11 Q. And how many areas did you put five
12 coreholes down in one section?

13 A. Before this hearing -- and I think
14 we've got later testimony that pointed out
15 exactly -- I counted the coreholes that fell over
16 the horizon, or if you want to call it the AMAX
17 mine in the upper left-hand portion of the map,
18 just the coreholes that fell over the first or
19 second mined area, and I recall that I got
20 somewhere between four and five coreholes.

21 And when I cored, I cored for AMAX some
22 twenty holes looking for the third ore zone, as I
23 previously testified. And we felt comfortable
24 when we would get greater than four holes per
25 section.

1 Q. Is it your testimony here as an expert
2 that that standard is followed in the potash
3 basin?

4 A. For two reasons.

5 Q. Well, what's the answer first?

6 A. Could you ask --

7 Q. Is it your testimony that that standard
8 of four holes per section is followed in the
9 potash basin?

10 A. I think that in a lot of cases they
11 exceed that.

12 Q. Okay. And that's based --

13 A. Also it depends on -- we're talking
14 about with the AMAX mine, we're talking about
15 sylvite. And I think when you get into the
16 langbeinite, you'll find they need more holes.

17 Q. Would you agree with me that the number
18 of coreholes that you drilled and the spacing
19 between those depends upon the purpose you're
20 trying to achieve?

21 A. When you're talking about the banker,
22 you're trying to make certain.

23 Q. Would you agree with me that the number
24 of coreholes you drilled and the spacing depends
25 upon the purpose you're trying to achieve?

1 A. Which could be a multitude of purposes,
2 yes, I agree.

3 Q. If you wanted to know absolutely
4 positively overnight that ore is out there, you'd
5 drill more coreholes than you would if the
6 purpose were something else?

7 A. That's a fair statement.

8 Q. And if you wanted to know whether or
9 not there was a possibility of ore being out
10 there, you'd drill less holes than you would if
11 you were trying to make absolutely, positively
12 sure there was ore out there?

13 A. Yes. And I think that's what this
14 exhibit says.

15 Q. And from coreholes you can get trends;
16 correct?

17 A. You can't predict salt horse in an
18 evaporite deposit like potash, so I don't know
19 that I entirely agree with that statement.

20 Q. And a salt horse is simply an occurring
21 group of salts in the potash basin; right?

22 A. Yes.

23 Q. Do you know of any ore horses in the
24 basin?

25 A. I think that's every miner's dream, but

1 I don't know of any.

2 Q. There are salt horses in the basin but
3 not ore horses; right? Would you agree with
4 that?

5 A. I can only speak to the fact that I am
6 knowledgeable that there are salt horses in the
7 basin.

8 Q. Do you know how long the BLM has
9 followed the standards set out in the exhibit you
10 referred to this morning?

11 A. That would be Exhibit 32?

12 Q. Yes. Three coreholes on any one
13 horizon spaced on a mile-and-a-half apart?

14 A. I'm only familiar with the legend on
15 the 84 map.

16 Q. So is the answer to my question no,
17 you're not familiar with how long they've been
18 following it?

19 A. Not to the exact number of years, no.

20 Q. Do you know whether or not it's more
21 than ten years?

22 A. No, sir, I don't.

23 Q. You just don't have any idea how long
24 they've been following it?

25 A. No, sir.

1 Q. Now, you also said that it was your
2 opinion that there was a problem because the
3 uninitiated equates BLM standards with proven
4 reserves. And again I don't know if
5 "uninitiated" was your word or Mr. Carroll's.
6 And I don't want to put words in your mouth.

7 Do you see a difference between the
8 measured reserves used under the BLM standards
9 and the proven reserves that you talked about
10 here this morning?

11 A. I think that this 84 map is a leasing
12 criteria map and that was the thought that I've
13 tried to convey with my statement.

14 Q. Let me refer you to page 2 of Exhibit
15 No. 35 under the section that you implied earlier
16 this morning, 32.2.4. Go down to the bold
17 paragraph that says, "Ore Reserve
18 Classifications," and then drop down to the
19 second paragraph that starts on the left-hand
20 margin that starts with, "The classification," do
21 you see that?

22 A. Yes.

23 Q. I'll quote here, "The classifications
24 used by the Geological Survey and the Bureau of
25 Mines are summarized in the material which

1 follows." Now, is that the "measured,"
2 "indicated," and "inferred" that you talked
3 about?

4 A. Well, it goes on to say that, "The SEC
5 also used" --

6 Q. I understand that, and I'll get to that
7 in a minute, Mr. Muncy. But my question to you
8 is, is the classification used by the USGS and
9 the Bureau of Mines, the measured and indicated,
10 and it's also used by the BLM, or do you know?

11 A. I think what I'm trying to say -- I'll
12 go slow. On the map on the legend, Exhibit No.
13 32, they use the words, measured, indicated, and
14 inferred.

15 And I think what 32.2.4 is saying is
16 that, if they're going to use those words, they
17 need to talk about ore, which is commercial, and
18 it's really proven, probable, and possible. And
19 I think it's the loose misinterpretation that
20 I've addressed.

21 Q. Well, immediately following the
22 paragraph we're talking about -- and I would beat
23 this to death -- it's talking about the measured
24 ore and indicated and inferred ore, just like the
25 BLM; right?

1 A. That's right.

2 Q. The paragraph goes on to say that, "The
3 Securities & Exchange Commission also uses
4 classifications of proven ore and probable ore in
5 its work to interpretation of ore reserve
6 appraisals and stock market listings of mineral
7 deposits."

8 And then the last sentence says that
9 their respective meanings are the essential
10 equivalents of measured ore and indicated ore as
11 such designations are employed by the Bureau and
12 the geological survey. So there's some
13 similarities between measured ore and proven ore?

14 A. Yes. It's the interpretation which I
15 take issue with.

16 Q. And you don't think the BLM interprets
17 it correctly. I guess that's the problem you
18 have with it?

19 A. Yes.

20 Q. R-111-P doesn't say anything about
21 proven ore deposits, does it?

22 A. I'd like to refrain from answering that
23 question.

24 Q. Is the answer that you don't know?

25 A. Yes.

1 Q. As you sit there today, do you know the
2 standard to be used for designating LMR under
3 R-111-P?

4 A. Yes, I do.

5 Q. What standard is that?

6 A. I think to quote you, it's ore that's
7 being mined today in the basin.

8 Q. Does it have to be proven?

9 A. With respect to someone's opinion or
10 R-111-P?

11 Q. According to R-111-P, which we have to
12 go by here today.

13 A. I think it does.

14 Q. Does Section 2 contain commercial
15 potash? Does Section 2 contain commercial potash
16 ore? Or do you know?

17 A. The Section 2 that we drew --

18 Q. That's in issue in this case.

19 A. Yes.

20 Q. Does it contain commercial potash ore?
21 Or do you know?

22 A. In order to answer that question, we're
23 going to have to talk about whether you've got a
24 mine or you're going to have to put a mine in
25 there and who's going to mine it. And I think

1 that's what I talked about in my testimony.

2 Q. My question is, does Section 2 contain
3 commercial potash ore?

4 A. I don't think that all of it does.

5 Q. Are you familiar with corehole 162?

6 A. Yes, I am.

7 Q. Does it indicate the presence of ore
8 that New Mexico Potash can mine?

9 A. That specific hole, 1 inch around the
10 wellbore, I would agree with you, it does.

11 Q. So if you limited yourself to the
12 results of corehole 162, that shows ore that New
13 Mexico Potash can mine?

14 A. In the tenth ore zone.

15 Q. Yes, in the tenth ore zone.

16 A. Yes, I agree with that just with
17 respect to that corehole.

18 Q. Okay. And how much influence do you
19 give a corehole in determining what ore is out
20 there?

21 A. I think we just talked about the fact
22 that if we're going to explore, we can do it on a
23 mile. And if we're going to delineate the ore
24 reserve, minability, we're going to have to talk
25 about four or five coreholes per section.

1 Q. Well, if you wanted to interpret the
2 ore out in and around corehole 162, you would
3 give some credence to the measurement already out
4 of 162 for a certain distance, wouldn't you?

5 A. We would have to view 162 in
6 relationship to the other coreholes in the area,
7 and we've got to later witness which is exactly
8 going to do that.

9 Q. And my question is direct to you, Mr.
10 Muncy, do you know what distance that you
11 generally apply in the potash basin for
12 interpreting coreholes? How far out do you
13 interpret that data, if you know?

14 A. I guess I'm a little lost with your
15 question. And I'm not doing this on purpose; I'm
16 trying to cooperate with you.

17 Q. Let me ask it again. You testified
18 that you drilled some coreholes at AMAX; right?

19 A. We were looking for the third ore zone,
20 that's right.

21 Q. You drill the hole and you get the data
22 back; right?

23 A. That's right.

24 Q. Now, in a potash like you find, in a
25 deposit like you find in a potash basin, you

1 don't have to drill coreholes as close together
2 as you would, for example, if you're looking for
3 gold, do you? Or do you know?

4 A. I exactly know because I've core
5 drilled for gold also.

6 Q. Okay. So the coreholes don't have to
7 be as close together when you're looking for
8 potash, do they?

9 A. Well, to me, that's kind of
10 open-ended. I think you're going to have to have
11 at least four coreholes per section.

12 Q. I'm not asking you that. My question
13 is very simple and straightforward: Do you have
14 to have as many coreholes when you're looking for
15 potash as you do for gold, in your opinion?

16 A. It depends on where you're looking for
17 the gold.

18 Q. Do gold and potash occur in the same
19 type deposits? Are they both laid down the same?

20 A. No, sir.

21 Q. Potash is an evaporative; right?

22 A. It's an evaporite deposit as a result
23 of the rhythm of the Permian Seas.

24 Q. And you expect to find it across a wide
25 section of the potash basin, don't you?

1 A. More so in Canada where the deposits
2 are 50-feet thick than here in the basin where
3 it's just a few feet thick.

4 Q. You expect to find it across a wide
5 area in the potash basin, don't you?

6 A. I would hope to expect to find it in a
7 wide area.

8 Q. Now, the same is not true for gold, is
9 it?

10 A. It depends upon the deposit, whether
11 we're talking about placer gold where you've got
12 a big giant river over a wide area.

13 Q. Do you know how far out the BLM will
14 interpret corehole data?

15 A. The only guidance that I have is this
16 84 map here. And they talk about three data
17 points in any one zone, mile-and-a-half.

18 Q. Which would mean for each of the
19 coreholes in that three data points, the BLM is
20 extending that data out for what length of
21 distance?

22 A. Well, I don't think they extend it out
23 in that fashion because they use the polygon
24 method and they take half the influence to the
25 next hole.

1 Q. Okay. Then let's talk about the
2 polygon method. When you use the polygon method,
3 how much distance do you give the results of one
4 corehole?

5 A. Okay. Assuming that they're exactly a
6 mile-and-a-half apart?

7 Q. Yes.

8 A. I would hope that what I'm reading here
9 and what they tell me is they divide by 2.

10 Q. Okay. A mile-and-a-half divided by 2
11 is what?

12 A. 5280 times .5 divided about 2.

13 Q. Okay. If we use that same standard in
14 Section 2, if we took corehole 162, which you--
15 said by itself showed potash that New Mexico
16 Potash could mine, and we gave the same influence
17 to that hole that the BLM would, in other words,
18 extend that corehole data out three-quarters of a
19 mile -- do you understand me?

20 A. Uh-huh.

21 Q. -- it would cover up almost all of
22 Section 2, wouldn't it?

23 A. But according to what we just talked
24 about --

25 Q. Wouldn't it?

1 A. -- the polygon method, you've got to
2 look at the other holes.

3 Q. Wouldn't it? If you used the BLM
4 method, three-quarters of a mile, and extend out
5 from corehole 162, it would cover almost the
6 entire section, wouldn't it, Mr. Muncy?

7 A. If you extend it out from the corehole
8 -- I'm not going to use the words "BLM method."

9 Q. Okay.

10 A. -- it would. But you've got to take
11 the influence of the other holes.

12 Q. If you extend it out one-half mile from
13 corehole 162, it would take in almost all of
14 Section 162, wouldn't it?

15 A. You mean Section 2? Yes.

16 Q. I'm sorry. Did I say -- yes. If you
17 took corehole 162 in Section 2 and simply gave it
18 a half-mile influence, gave that corehole data a
19 half-mile influence, you're going to cover up
20 almost all of Section 2, aren't you?

21 A. If someone chose to do that, yes.

22 Q. Do you think the corehole data in 162
23 is entitled to some influence away from where the
24 hole went into the ground?

25 A. And that influence is dependent upon

1 other coreholes in the polygon method.

2 Q. Now, let's look at your Exhibit No. 37,
3 Mr. Muncy. Do you have that in front of you?

4 A. Yes, sir, I do.

5 Q. You say this well is in the northern
6 part of AMAX, this property, when you were there?

7 A. Section 13, Township 19 South, Range 30
8 East. How about the right-hand side of it to the
9 west.

10 Q. I beg your pardon?

11 A. Sir?

12 Q. I didn't hear what you just said.

13 A. Well, you asked me if I said it was in
14 the northern part. If you look at that map, it's
15 more on the right-hand side. I'm not going to
16 quibble about that.

17 Q. I'm not quibbling either. I'm just
18 confirming where it's located. And this is a
19 well that you were involved in plugging, as I
20 understand it?

21 A. I was asked by AMAX to make the
22 arrangements with the oil and gas operator to
23 plug the well.

24 Q. Is it the implication of your
25 testimony, Mr. Muncy, that what happened here --

1 it may be what you're actually saying -- that
2 this well, what happened to this well supports
3 what you guys want to do down in Section 2 in the
4 Delaware?

5 A. I think what it supports is the very
6 simple fact that AMAX concurred, and I concur
7 today, it's my professional opinion that if you
8 plug a well in the similar fashion, you can mine
9 right up to it and there's not going to be any
10 problem. We filled this wellbore full of cement.

11 Q. Let's talk about this for a few minutes
12 because we're going to disagree about it.

13 A. Okay.

14 Q. So let's find our areas of disagreement
15 here. What's the total depth of the well shown
16 in Exhibit No. 37?

17 A. 2273 feet.

18 Q. And what would you expect the
19 bottomhole pressure in that well to be, Mr.
20 Muncy?

21 A. This was a Grayburg well, and it had to
22 be pumped. And I didn't do a P Star or a Horner
23 Plot or anything like that on it, and I don't
24 think anybody else did, but merely a few hundred
25 pounds.

1 Q. But drawing up on your oil and gas
2 expertise, would you say that a few hundred
3 pounds is a pretty good shot at it, a pretty good
4 guess at it?

5 A. For this specific well --

6 Q. Yes, sir.

7 A. -- in the Grayburg? I can't be exact
8 on that because, like I say, I made no
9 measurements.

10 Q. I'm just looking for your professional
11 opinion.

12 A. The well had to be pumped; it didn't
13 flow.

14 Q. Now, when this well -- I notice it was
15 shut-in at one time. When this well was shut-in,
16 what would you expect the drill casing pressure
17 to be at the surface?

18 A. You mean the production casing strength
19 to surface?

20 Q. If it's shut-in, if the well were
21 shut-in, what would you expect the pressure
22 inside that well casing to build up to, if
23 anything?

24 A. We normally, I think, refer to that
25 SITP, shut-in tubing pressure, or SICP, shut-in

1 casing pressure. And I don't remember the exact
2 reading that was on this well. I don't know that
3 it was ever recorded.

4 But that's kind of an erroneous number
5 because if the fluid is full of water, the
6 hydrostatic pressure can reduce it. It depends
7 upon the day you look at it. There's a lot of
8 variables, so I don't think it was very much.

9 Q. Be more than a few hundred pounds?

10 A. I'm just not in a position to testify
11 to that because I just have no specific knowledge
12 about that.

13 Q. Do you think that's something that
14 would be pretty important for people to want to
15 know?

16 A. I think that -- I was employed by AMAX,
17 and if they'd been interested in it or if I had
18 thought it was important at the time, we would
19 have recorded it. But I really think -- you
20 know, I'm trying to be honest with you -- I think
21 it was negligible.

22 Q. I'm trying to be honest with you, Mr.
23 Muncy. I'm asking you questions here because we
24 are interested in these things. Do you know or
25 do you think the bottomhole pressure in the

1 Delaware in Section 2 is something we ought to be
2 interested in, the potash people?

3 A. The answer to that question is yes.

4 Q. And do you know the bottomhole pressure
5 is over in the Delaware in and around the depths
6 you'd find it in Section 2?

7 A. I haven't been privy to any of the
8 specific Horner plots that have been run, so I
9 can't tell you what the extrapolated bottomhole
10 pressure is.

11 Q. Well, let's draw upon your oil and gas
12 expertise, and let me ask you your opinion as to
13 what you believe the bottomhole pressure would be
14 in the Delaware which occurs at the depths you'd
15 find in Section 2?

16 A. Much less than you would find in a
17 Morrow well of a greater depth, say 14,000 feet.

18 Q. All right. And let's see if we can't
19 hang some numbers on it.

20 A. I'd rather not do that because I'm not
21 in a position to do that. And I just don't have
22 that information.

23 Q. Can you give me a range?

24 A. I'd rather not do that because I just
25 don't have that information. If you'd give me

1 five minutes, I could look here. But I just
2 can't hang a number on that, and I don't think it
3 would be fair if I did.

4 Q. Would you expect it would be more than
5 4,000 PSI?

6 A. Again the same answer applies.

7 Q. Do I take it you wouldn't have any
8 earthly idea of what the pressure would be inside
9 the well casing in one of these Delaware wells
10 that you guys are opposing if it were shut-in, do
11 you?

12 A. The pressure at the surface? Is that
13 what you're --

14 Q. Yes, sir.

15 A. I'd rather stay away from that answer.

16 Q. All right. Would you agree with me
17 that the bottomhole pressure and the pressure of
18 a shut-in well in the Delaware would be higher
19 than the well shown in your Exhibit No. 37?

20 A. Yes. And the reason for that is this
21 well is less than 3,000 feet deep, and we're
22 talking about 7- or 8,000 feet for the Delaware
23 wells.

24 Q. Would you consider this well a dry
25 hole?

1 A. I think that this well was completed.
2 I know it was completed, and a small amount of
3 oil was sold from the well. And it was
4 uneconomic, and that was the reason it was
5 plugged and abandoned. Had oil been \$40 a
6 barrel, like we've seen it since then at certain
7 times, maybe the well would not have been
8 plugged.

9 Q. So if oil prices had been up, it might
10 not have been plugged?

11 A. That's a given.

12 Q. Turn to page 3 of your exhibit, if you
13 would, Mr. Muncy. Is that your signature at the
14 bottom, by the way?

15 A. No, sir, it's not.

16 Q. Do you know happen to know who that is?

17 A. That's B. N. Muncy, Jr.'s, signature.

18 Q. Is that your dad?

19 A. That is correct.

20 Q. Now, paragraph 24 of this form shows
21 the producing interval to be 2201 feet to 2209
22 feet; is that correct?

23 A. To preparations, yeah. Uh-huh. That
24 is correct.

25 Q. And the well was completed, according

1 to paragraph 17, on July 7 of 78?

2 A. July 7 of 78, as the form stands
3 corrected.

4 Q. And it was plugged and abandoned --
5 well, no. Let's go down below. On paragraph, I
6 guess it's 33, in the production at the bottom.
7 It was shut-in. Can you tell when it was
8 shut-in?

9 A. I recall a little bit of the history
10 about this well. And I think it was swabbed
11 sporadically for a long period of time. And they
12 finally put a small 2500 series pumping unit on
13 it with an Ajax motor. So I don't know if I
14 could really answer that question.

15 Q. Well, can you tell from Exhibit 37 when
16 the well was shut-in?

17 A. For the reasons that I've just stated,
18 I don't really think that the record that's here
19 as Exhibit 37 will reflect an answer to your
20 question.

21 Q. Can you tell from Exhibit 37, same
22 page, what the oil production was out of this
23 well?

24 A. No. The only thing you can tell -- and
25 I think there it shows in Section 33 --

1 production method, swab. They swabbed it. And
2 looks like they got a rate of 2 barrels of oil
3 per day, 15 barrels of water, and gas was TSTM,
4 too small to measure. And I think that's about
5 all you can find in reference about the
6 production.

7 Q. This was, for all practical purposes, a
8 dry hole, wasn't it?

9 A. I think that the reason it was plugged
10 is because it was uneconomical. And 2 barrels a
11 day under certain economic conditions can be
12 profitable.

13 Q. But not at \$40 a barrel?

14 A. At this depth it could be.

15 Q. And you really believe that what
16 happened here -- there's no difference between
17 this type of a well and the Delaware well that
18 you're proposing over in Section 2?

19 You don't think there's any difference
20 between the well like the one in Exhibit No. 37
21 and what you're proposing over in Section 2?

22 A. Well, I think we just talked about the
23 fact that there's a difference in the depth.

24 Q. You think that the two type wells
25 present different hazards to underground miners?

1 A. Well, I think the issue here is that if
2 it was plugged properly, there is no hazard.

3 Q. Do you agree with me that the two wells
4 present different types of hazards to miners? If
5 you don't, just say no.

6 A. I don't know two wells that are the
7 same, so it's hard for me to answer.

8 Q. Does a well that's drilled to the --
9 let's say 8500 feet, does it present a different
10 or greater hazard to underground miners than a
11 well that's drilled at 2201 foot in your opinion?

12 A. In my opinion, when you follow R-111-P,
13 no.

14 Q. Does depth have anything to do with the
15 degree of the hazard in your opinion?

16 A. No, sir.

17 Q. So you'd feel just as comfortable
18 whether it was 14,000 feet over 1400 feet?

19 A. When you follow R-111-P, I think that
20 that's a fair statement for me to make.

21 Q. Now, the wells that you referred to
22 earlier, being in the AMAX -- on AMAX property,
23 you used the word that you listed them. Did you
24 list these wells somewhere?

25 A. Well, what I did is I got a little book

1 and I counted the wells. And I didn't submit
2 that as an exhibit. And I counted 16, and I
3 categorized them by first mine, second mine.

4 Q. And out of these 16 wells, do you
5 recall when those wells were drilled?

6 A. I very quickly am perusing the reports,
7 and I see some 1950s. If you'll bear with me a
8 minute: 65, 67, 66, here's a 70. And I guess
9 that 70 talks about when the well was plugged.
10 But they were drilled and cased not under -- I
11 think this is fair to say -- most of them weren't
12 cased under R-111-P.

13 Q. And those wells are through the mining
14 horizons of AMAX?

15 A. Yes. And if you'll look at Section 16,
16 it's chock-full of holes like that.

17 Q. Do you know whether or not there's been
18 any changes in the mine safety and health
19 standards since 1966, 67, and 70?

20 A. I guess what you're referring to is the
21 classification of mines as Gassy Category 3.

22 Q. I'm just asking you if you're aware of
23 any changes in the mine safety and health
24 regulations since these dates.

25 A. Well, there are dynamics of answers,

1 yes.

2 Q. Are you aware of the changes and
3 regulations concerning methane gas in underground
4 mines since you even left AMAX Potash Company?

5 A. I think so.

6 Q. When you were working at AMAX, the
7 regulations on methane getting into potash mines
8 was virtually nonexistent, wasn't it?

9 A. It was nonexistent, but common sense
10 told you that you better respect it.

11 Q. I'm talking about governmental
12 regulation, not common sense.

13 MR. CARROLL: I agree with that.

14 MR. HIGH: Don't confuse the two;
15 right?

16 Q. When you left in 1980, government
17 regulation was virtually not existent; right?

18 A. They weren't virtually nonexistent, but
19 they've changed since then. And I agree with the
20 point you're trying to make.

21 Q. Underground mines always do things in a
22 way they believe or hope is safe?

23 A. Yes.

24 Q. And you are aware that after you left
25 the gassy mine regulations were imposed on all

1 mines including potash mines?

2 A. I understand that you fought that for
3 many years and you were finally successful in
4 getting the potash mines out of that category.

5 Q. And you understand that the
6 consequences of getting methane in these potash
7 mines down here is pretty severe to the potash
8 industry, don't you?

9 A. Oh, definitely.

10 Q. And based on the experience that you
11 had in the potash basin, do you have any idea
12 what requirements or additional requirements a
13 potash mine would have to comply with if they
14 were changed on the gassy mine regulations?

15 A. I think I read a quote one time and
16 recalled you speaking at the meeting we had at
17 the Pyramid Hotel in Albuquerque back in April of
18 this year, about that time period. \$80 million,
19 non-sparking electrical is the number you threw
20 out that got classified as Category 3 we'd have
21 to spend for all the potash mines in the basin.
22 Is that what you're talking about?

23 Q. That's correct.

24 A. I understand that.

25 Q. Do you have any basis upon which to

1 disagree with the fact that the potash industry
2 would have to spend that kind of money to meet
3 these new regulations?

4 A. Well, I don't know how much money
5 they'd have to spend because costs are dynamic,
6 and I've never researched it. But I do agree
7 with you that you would have to make some
8 additional capital investment. How much, I'm not
9 qualified to talk about.

10 Q. You do know what permissible equipment
11 is, don't you?

12 A. Non-sparking.

13 Q. And permissible equipment is used in
14 some mines so it won't spark and provide a source
15 for an ignition in an underground mine?

16 A. Yes, I'm well aware of that.

17 Q. And you're aware also that the mines in
18 the potash basin don't have that kind of
19 equipment?

20 A. The mines that I'm familiar with don't.

21 Q. And if they were changed from Category
22 4 up to Category 3 because of methane getting
23 into the mines, they would have to buy all new
24 equipment; right?

25 A. Well, I think it's safe to say they

1 would have to make some changes.

2 Q. And given your experience in the basin,
3 those changes would be fairly significant,
4 wouldn't they?

5 A. Well, a minute ago I didn't have any
6 experience, and now I've got experience so it's
7 kind of hard for me to answer that question.

8 Q. No. I'm asking you based on your
9 experience, ever how limited or great it may be,
10 and we can debate that, but based on the one year
11 or so you spent in the basin, that's all I'm
12 asking you for, would that be a significant
13 expenditure on behalf of the industry?

14 A. I think they'd have to spend some
15 additional money, but I can't speak as an expert
16 as to how much.

17 Q. Okay. Do you have an opinion on
18 whether or not the potash industry could
19 economically survive if they had to comply with
20 those gassy mine regulations?

21 A. Today at this point in time, no, I do
22 not have an opinion because I'd have to make an
23 in-depth study and evaluation. That would be the
24 only fair way to do it.

25 Q. Would you agree with me that the way

1 you go about doing certain things may change
2 depending upon changes in governmental
3 regulation?

4 A. We see that daily.

5 Q. Now, I'm going to ask you a few
6 questions about your Exhibit No. 36, and I really
7 don't want to dwell on this one. You
8 characterized the industry -- and I assume you're
9 referring to industry comments on drilling oil
10 and gas wells in and around the potash basin as
11 being the "Miner's Bible"; is that what you
12 called that?

13 A. I think Mr. Carroll made that
14 definition yesterday, and yes, that's the same
15 definition that I'll go by.

16 Q. Well, I'm going to offer that as an
17 exhibit later on just so we'll have it in the
18 record so we'll know what we're talking about
19 here. You characterize that yellow journalism?

20 A. No. Yellow journalism.

21 Q. Maybe I don't speak the same way.
22 That's what I intended to say. Maybe we just
23 have a different accent sometimes. Are you
24 saying that there's some facts in that package
25 that are false?

1 A. Well, you know, the term yellow
2 journalism originated back in the late 1800s.
3 And we had the tabloids that were penny
4 newspapers, and they specialized in half-truths
5 and sensationalism. And I think in my testimony
6 I pointed out specifically in Exhibit No. 36
7 where it says we assume they can't cement the
8 wells, I think that's proof positive based upon
9 my own personal experience.

10 Q. All right. Well, I want to follow up
11 on this yellow journalism a little bit. Do I
12 take it from that that you question the sincerity
13 of the potash industry's concern over safety from
14 this methane gas?

15 A. No, sir. What I questioned is the lack
16 of the application of good science, good
17 engineering principles, and sound geology. I
18 don't think we've seen that. And the whole
19 thing, I don't take issue with the whole thing,
20 just specific parts.

21 Q. All right. Then let's go back in
22 history, Mr. Muncy, and let me just see if we're
23 on the same wavelength. There were major changes
24 in the mining laws in 1959; do you know what
25 caused those?

1 A. I guess what you you want me to say is
2 Kellogg, Idaho, and the Sunshine fire.

3 Q. There were major changes in the mining
4 laws in 1969. Do you know what caused those?

5 A. Oh, you said --

6 Q. I'm up with you now.

7 A. Okay. Well, I thought you said 69.
8 Pardon me. I worked too long underground, and
9 it's hard for me to hear.

10 Q. I'll forget about 59 and we'll just
11 stick with 69.

12 A. Okay.

13 Q. You just told me what caused those
14 changes in the mining laws; it was disaster?

15 A. That's how we got the self-rescuer.

16 Q. That's because of people dying before
17 the regulations were changed, the laws were
18 changed; right?

19 A. Well, I assume there's going to be
20 somebody dying in a mine tomorrow, and that will
21 be before the regulations are changed. But, yes,
22 I'll agree with that.

23 Q. And you know what happened in 1979 at
24 the Belle Isle mine?

25 A. Well, I pronounce it Belle Isle, but

1 yes, I think so.

2 Q. Do you know whether or not that mine
3 was required to comply with any methane gas
4 regulations before it blew up?

5 A. Well, it's in a salt dome, and I think
6 that's what my statement was all about. I don't
7 dissipate the seriousness of what happened. I
8 don't dissipate it. I don't pour cold water on
9 it. I take it very serious.

10 Q. So when you use the words "yellow
11 journalism," talking about this "Miner's Bible"
12 that you guys have tagged on it, you're not
13 questioning the fact that methane gas is a very,
14 very serious matter in underground mining, are
15 you?

16 A. I think we're on the same wavelength.

17 Q. It is a serious matter, isn't it?

18 A. Yes.

19 Q. It is something we ought to be
20 concerned about as an underground mine; we ought
21 to be concerned about it?

22 A. No question.

23 Q. You're familiar enough with the
24 geology, I take it, of the potash basin to know
25 that we really don't have a significant hazard

1 from naturally occurring methane; would you agree
2 with that?

3 A. I think previous testimony affirmed
4 that, and I also agree with that.

5 Q. That's precisely what George Griswald
6 looked at back in 1982 to see whether or not the
7 natural occurrence of the potash beds and the
8 overburden was such that there would be a source
9 of some carbonaceous material that might generate
10 methane to naturally get in their mines; you
11 understood that to be the focus of George
12 Griswald's study; correct?

13 A. [Nodded.]

14 Q. I'm sorry, you need to speak up.

15 A. Oh, pardon me. Yes.

16 Q. So if we get any methane in our potash
17 mines, would you agree with me that it's probably
18 going to be from some artificial source, like the
19 oil and gas industry, given the geology that we
20 know about?

21 A. Given the geology that you know about,
22 given the fact that I can't tell you how high up
23 is, I can answer yes to your question.

24 Q. And since the only thing, the only
25 source of methane we see in the potash area down

1 there is oil and gas people, do you know of any
2 other artificial creation of methane in the known
3 potash area other than oil and gas drilling?

4 A. I think the welders take a similar form
5 of that down in their bottles. They introduce
6 acetylene into the mine.

7 Q. For use during the mining operations?

8 A. Yes.

9 Q. Other than that the principal source of
10 methane that the underground mines have to be
11 concerned with would come from the oil and gas
12 drilling, would it not?

13 A. Yes.

14 Q. And you agree with me, I take it, that
15 things can go wrong when you're drilling oil and
16 gas wells?

17 A. When you follow R-111-P, I'm convinced
18 that the things that you've alluded to in your
19 previous questions won't go wrong and you don't
20 have to worry about them.

21 Q. Well, let me just go back directly to
22 Exhibit No. 36. You pooh-poohed a little bit our
23 concern over losing circulation when we were
24 drilling this hole down through the salt cables
25 and things. We lost circulation in trying to

1 cement that hole, didn't we? Would you agree
2 with that?

3 A. Well, I did it, and I was there.

4 Q. Did you lose circulation? Let me ask
5 you a little differently.

6 A. This was drilled dry with a cable tool
7 for both strings. And are you talking about the
8 cement phase now?

9 Q. Did you lose circulation when you were
10 trying to cement it back to the surface?

11 A. We never tried to gain circulation.
12 All we did is pump cement down the hole, and we
13 didn't make any calculations. So there's no
14 basis for me to answer that question. I advised
15 them the right way to do it, and they didn't
16 listen to me and didn't care. But they did
17 understand what I was talking about.

18 Q. You had no idea when you poured the
19 cement down that casing where it might come back
20 up to?

21 A. I predicted that it wouldn't come back
22 up.

23 Q. So you had no idea where it would come
24 up to?

25 A. Well, you can say I drilled X-sized

1 hole and you can calculate the OD of the casing
2 and convert the cubic feet of the cement, which
3 was Class C, and you can go that route and you
4 can make an estimation. But we didn't have the
5 hole -- the hole was completely dry.

6 Q. Anything else wrong with it?

7 A. I thought it was a good hole. We got
8 within two feet of the mine.

9 Q. Were you concerned about where you were
10 going to come out underground?

11 A. No, sir.

12 Q. You weren't nervous about the survey?

13 A. I don't think I was. I had faith in
14 what I did, and I did it according to scientific
15 fact and engineering principle.

16 Q. Were they actually relying upon you to
17 cement that spot hole?

18 A. They asked me my opinion, and then they
19 told me what to do.

20 Q. Is the answer to my question no? Are
21 they relying upon your expertise in the oil and
22 gas business to put down that casing and cement?

23 A. They were relying on my expertise to
24 drill and case the hole. And when it came time
25 to cement both strings of casing in the hole, I

1 gave them my professional opinion as to how it
2 should be done. And they chose, after
3 understanding what I told them, not to adhere to
4 my recommendations.

5 Q. Referring to your Exhibit No. 38, which
6 is the map that has the LMR on it?

7 A. Do you have a copy of that in front of
8 you?

9 A. Yes, sir, I do.

10 Q. You testified, Mr. Muncy, it seemed to
11 be with some degree of authority, that the LMR of
12 New Mexico Potash included portions of Sections
13 10 and 11. Did you not say that?

14 A. That's the way I found it in the public
15 records of the NMOCDC.

16 Q. That's your interpretation of the
17 documents that you looked at when you erroneously
18 were given those from the OCD; correct?

19 A. I won't hold it up and show it to you,
20 but that's where the lines go.

21 Q. I understand that, but I'm trying to
22 get at the source of your information.

23 A. There was a--

24 Q. That solely is the paper we're looking
25 at or the map that you got; right?

1 A. I've got my notes right here.

2 Q. You don't have to get them. If you'd
3 just answer my question, we'll move on.

4 A. There was a legend in the bottom
5 right-hand corner of that map.

6 Q. Okay.

7 A. And that's what the legend depicted.

8 Q. Then can we agree that the only thing
9 you relied upon for your conclusion that parts of
10 Sections 10 and 11 were included in New Mexico
11 Potash's LMR was this map that you got and the
12 legend on it?

13 A. That's correct.

14 Q. No one from New Mexico Potash told you
15 that Sections 10 and 11 were part of their LMR,
16 did they?

17 A. They told me that because I know how to
18 read maps.

19 Q. Did anyone from New Mexico Potash tell
20 you that parts of 10 and 11 were in their LMR?

21 A. The signature on that map was by R. H.
22 Lain, and he told me that because I know how to
23 read maps.

24 Q. Did anyone from New Mexico Potash speak
25 words to you that went in your ears that said

1 parts of 10 and 11 were in their LMR?

2 A. No verbiage was conveyed.

3 Q. Now, the bottom portion of the map that
4 you looked at on the LMR is not closed, is it?

5 A. It's open-ended, as you described it.

6 Q. So the part that goes out into Sections
7 10 and 11 is not closed with any of those little
8 markers you indicated showing where the LMR is;
9 correct?

10 A. That's correct.

11 Q. Do you know why there's an opening
12 between those two lines at the bottom of that
13 LMR?

14 A. I do not know why specifically they did
15 that, but if you'd like me to ask me as to my
16 opinion I would venture an opinion.

17 Q. Do you think it would have been
18 important, Mr. Muncy, to try to find out why
19 those two lines were not joined together before
20 you get up here and give an opinion that those
21 two sections are included in New Mexico Potash's
22 LMR?

23 A. I was told that this was something that
24 I couldn't talk to the folks at New Mexico Potash
25 about. I would have been glad to do that if I

1 thought the door was open.

2 Q. Now, let's look for a minute -- I'm
3 almost through here -- look at New Mexico Potash
4 Exhibit No. 12.

5 A. The letter dated December 27, 1991, I
6 have it before me.

7 Q. Did I detect from the tone of your
8 testimony, Mr. Muncy, that you or you and Mr.
9 Carroll felt like New Mexico Potash was doing
10 something kind of sneaky here?

11 A. I only testified to my interpretation
12 of the language in the letter. I saw the word
13 "assignment," and I believe that's the way I
14 started off my testimony.

15 Q. Well, do you think that New Mexico
16 Potash would do something evil or sinister or
17 less than above-board here? Do you understand
18 what I'm getting at? I detected that in your
19 testimony. That's why I'm asking you.

20 A. I don't think you did. If you did,
21 that was a misinterpretation.

22 Q. Well, the reason I ask that is because
23 Mr. Carroll asked you some questions about
24 December 27, I thought he said, of 91 -- no, I'm
25 sorry. Ten days before this letter, which would

1 have been what?

2 A. No. Ten days after the letter -- or
3 eleven days before the letter, right. Ten or
4 eleven days.

5 Q. What happened eleven days before this
6 letter?

7 A. You mean after the letter?

8 Q. No. Before the letter.

9 A. I think what --

10 Q. No. I'm sorry. The LMR map, the
11 changes in New Mexico Potash. This letter
12 occurred prior to those changes in that map?

13 A. It preceded the changes in map. I
14 think that's the only point I was trying to make.

15 Q. Okay. Are you trying to say that this
16 letter generated the changes in New Mexico
17 Potash's LMR in January of 1992?

18 A. I'm just trying to say that as of
19 December 27, 1991, this letter tells me they
20 conveyed Section 2 to IMC. And then we find the
21 map, that the date on it of the 14th of January
22 on the letter of conveyance, the map dated
23 1/7/92, which showed Section 2 in the LMR for New
24 Mexico Potash.

25 Q. Were you involved in the discussions in

1 the fall of 1991 concerning Section 2 between the
2 potash and the oil and gas people?

3 A. No, sir. That was prior to my entrance
4 into this.

5 Q. Were you even aware that they were
6 going on?

7 A. Remotely.

8 Q. You've since learned that there was
9 some talk about Section 2 even prior to December
10 of 91?

11 A. Remotely.

12 Q. And you knew that IMC wanted to get the
13 langbeinite ore on the east side of WIPP?

14 A. No, sir.

15 Q. Do you know whether or not IMC wanted
16 to get Section 2 as part of that entire lease on
17 the north and east of WIPP?

18 A. The corehole in Section 2, corehole 162
19 is sylvite.

20 Q. Do you know why that corehole 162 was
21 drilled?

22 A. I assume it had to be drilled looking
23 for potash.

24 Q. Do you know what prompted that
25 drilling --

1 A. No, sir.

2 Q. -- that corehole 162?

3 A. No, sir.

4 Q. Do you know when it was drilled?

5 A. I'd have to refer back to my notes. I
6 know it was drilled in about two days.

7 Q. Let's just refer back to the exhibit in
8 front of you there, Exhibit No. 6. Go to page 2
9 of that document, if you would.

10 MR. HIGH: Mr. Chairman, I'll point out
11 that this document is also marked confidential,
12 and I've stamped each copy of it.

13 Q. Do you find that in front of you, Mr.
14 Muncy?

15 A. Yes, sir, I do.

16 Q. When was that corehole started?

17 A. According to this document, it was
18 commenced on the 11th day of the 12th month of
19 1991.

20 Q. When was it completed?

21 A. The following day.

22 Q. And that would have been December 12 of
23 1991; right?

24 A. Uh-huh.

25 Q. Well, let's look at this corehole data

1 and just tell me, if you'll look down -- and I'm
2 not going to get into numbers -- but I'm just
3 going to ask to you look at the results shown for
4 corehole No. 162 down toward the bottom for the
5 tenth ore zone. Do you see that?

6 A. Where we talk about before the
7 insolubles are subtracted, 16?

8 Q. Yes. Those numbers before the word
9 "Insolubles."

10 A. Uh-huh.

11 Q. In your opinion is that ore that can be
12 mined in a potash basin?

13 A. Yes.

14 Q. Can be mined by New Mexico Potash?

15 A. Pardon?

16 Q. Can be mined by New Mexico Potash?

17 A. I have to assume that they were the
18 ones that wanted to mine it because they put in
19 their LMR. If you look on this map, it is four
20 miles, I think, from the nearest workings and a
21 lot greater distance than that from New Mexico
22 Potash's shaft. We could count it off if you'd
23 like to.

24 Q. I don't want to do that. Is the
25 percentage shown from this corehole test higher

1 as a general rule or lower as a general rule to
2 the ore you've seen mined in the basin? How
3 would you characterize it?

4 A. With respect to the first ore zone at
5 AMAX, it's probably close to the same or a little
6 lower. And with respect to the third ore zone,
7 it's a little higher.

8 Q. It's good ore; right? Would you agree
9 with that?

10 A. Yes.

11 Q. Now, how many days after the completion
12 of this corehole was the new LMR designation
13 filed by New Mexico Potash?

14 A. The one that I found, letter of
15 conveyance signed by Bob Lang, and I again refer
16 to the notes that I made, 1/14/92.

17 Q. Okay. So it would have been roughly a
18 month after the completion of this corehole
19 showing ore New Mexico Potash filed a new LMR;
20 correct?

21 A. That's my understanding of what I found
22 in the public record.

23 Q. And are you aware that R-111-P allows
24 the changing of LMRs?

25 A. What I realize about R-111-P is by the

1 31st day of the first month of the year, you have
2 to file them.

3 Q. And January 14 of 92, when New Mexico
4 Potash filed this new LMR, would be prior to the
5 31st day of the year following completion of this
6 corehole?

7 A. But it did supercede a previous filing.

8 Q. Okay. But the new LMR was filed on or
9 before January 31, after this new corehole data
10 was completed on December 12 of 91, wasn't it?

11 A. As far as my investigation into the
12 NMOCD records, the public record section, yes.

13 Q. Now, look back at Exhibit No. 12. I
14 want to follow up on the word "assignment." You
15 said that New Mexico Potash assigned something to
16 IMC that you read in this letter; isn't that what
17 you testified to earlier?

18 A. That's what I testified to earlier.

19 Q. Have you had a chance to read and study
20 the letter, let's say, before today?

21 A. No. I haven't seen it until today.

22 Q. So the opinion that you gave earlier
23 was just based upon the small amount of time you
24 saw it this morning?

25 A. It's only two paragraphs.

1 Q. All right. Let's just talk about it.
2 The first sentence, the fourth word, what's the
3 fourth word?

4 A. Proposed agreement.

5 Q. All right. Do you know if that was
6 ever finalized?

7 A. I have no evidence.

8 Q. Well, would it be important to your
9 opinion, Mr. Muncy, before you come into this
10 hall and give an opinion to these people, that
11 this is an assignment that you'd know whether it
12 is in fact a final assignment?

13 A. I didn't go search the state or federal
14 records, no.

15 Q. And what does the last paragraph say in
16 Exhibit No. 12, Mr. Muncy, in talking about this
17 possible sublease of langbeinite between New
18 Mexico Potash and IMC? What does the last
19 paragraph say?

20 A. Where it starts out, "We look
21 forward"?

22 Q. Yes. Go ahead and read the rest of
23 it.

24 A. -- "to working with you on this matter
25 and hope to hear from you in the near future."

1 Q. Would that suggest to you that that
2 matter, at least as reflected from Exhibit No.
3 12, was not a final, quote, "assignment"?

4 A. I don't know what conclusion to draw
5 from it along those lines. It appears to me that
6 an assignment was made, conveyance was tendered.
7 It was tendered.

8 Q. Now, the final area, I believe it is,
9 that I want to ask you a few questions about is
10 Mr. Carroll asked you if you had seen any
11 problems in Carlsbad caused by subsidence to oil
12 and gas wells. I believe your answer was no?

13 A. Based upon my personal experience, no.

14 Q. Have you -- and that's all I want to
15 limit it to, is your personal experience, Mr.
16 Muncy. In your personal experience have you
17 observed any change in the ground in and around
18 Carlsbad caused by subsidence?

19 A. I have observed it on the highway. I
20 think we call it 360.

21 Q. And as you're driving down Highway 360,
22 you see the effects of subsidence, don't you?

23 A. Very limited, but I see them.

24 Q. You see them where the ground has
25 literally fallen from the surface downward?

1 A. I didn't observe that, but I saw where
2 the Highway Department had worked on the road.

3 Q. And had the subsidence damaged the
4 highway?

5 A. I don't know because I wasn't there.

6 Q. Do you know of anything in that area
7 out there that has ever been damaged by
8 subsidence: highways, telephone poles, or
9 anything?

10 A. Nothing about telephone poles or
11 anything. And the only thing I can talk about is
12 the fact that I saw that some work had been done
13 on 360.

14 Q. So you don't know of any damage done to
15 anything caused by subsidence; is that what
16 you're saying?

17 A. With respect to my personal
18 experience --

19 Q. That's all I'm asking about.

20 A. -- and that's my answer.

21 Q. Have you gone out and inspected any oil
22 or gas wells that have been in an area where
23 there has been subsidence?

24 A. Not to my recollection.

25 Q. Then would you agree with me that there

1 may in fact be some damage to oil and gas wells
2 in the potash basin if they are in the area of
3 influence and subsidence and we simply don't know
4 about it?

5 A. If you put the question in that
6 fashion, I have no choice but to answer it, yes.

7 MR. HIGH: Thank you. That's all the
8 questions I have.

9 CHAIRMAN LeMAY: Thank you, Mr. High.
10 Additional questions of the witness?

11 MR. CARROLL: I have just a couple.

12 CHAIRMAN LeMAY: Fine. Mr. Carroll.

13 FURTHER EXAMINATION

14 BY MR. CARROLL:

15 Q. Let's turn back to Exhibit No. 6 of New
16 Mexico Potash Company's list of the confidential
17 sundry notices report on the corehole 162.

18 MR. HIGH: Do you understand that
19 document is confidential?

20 MR. CARROLL: Yes. That's why I said
21 confidential.

22 Q. (BY MR. CARROLL) Mr. Muncy, you
23 performed an investigation of your own into the
24 drilling of this particular corehole, did you
25 not?

1 A. Yes, I did.

2 Q. First of all, looking at the time the
3 well was started 12/11/91 and completed 12/12/91,
4 did that cause you some concern?

5 A. It was a lot faster than my previous
6 experience had shown me.

7 Q. In other words, this well was drilled
8 over the period of somewhat less than two days?

9 A. That is affirmative. It was drilled
10 very fast.

11 Q. Is what is the normal time frame to
12 drill these kind of coreholes?

13 A. If you run two shifts a day or three
14 shifts a day, it's dependent upon the depth, but
15 for this particular hole, had I been in charge of
16 core drilling it, like I was when I worked for
17 AMAX and we used Pennsylvania Drilling Company, I
18 would expect that it would take at least two to
19 three times longer in the normal course of
20 events.

21 Q. Now, there's something also peculiar
22 about this corehole with respect to the casing of
23 it or the lack thereof.

24 A. Yes, there is. I never could find -- I
25 investigated it pretty thoroughly, and I never

1 could find where my casing at all was put in the
2 hole.

3 Q. In the well that you talked about
4 drilling, the electrical shaft, you cased that
5 hole, did you not?

6 A. Two strings.

7 Q. The coreholes that you drilled, the 20
8 some-odd, did you case those holes?

9 A. We shut off the freshwater, and I just
10 didn't see where they protected the freshwater
11 with this hole. Maybe they failed to report it,
12 but I couldn't find it in the public records.

13 Q. The time frame that this well was
14 drilled in, would that also indicate that there
15 was no casing run, cement run, cement allowed to
16 set, that kind of thing?

17 A. It would lead one to tend to believe
18 that, but I wasn't there.

19 Q. And if this corehole actually tested
20 the zones which we would someday hope to mine,
21 that if there was just some problem with pouring
22 cement in the hole and the infusion of anything
23 from above that hole into it, do you have an
24 opinion as to what kind of problem that seemed to
25 pose for the company drilling this hole in this

1 matter?

2 A. Well, this hole was bare naked and was
3 never cased and when you look at the -- well,
4 they haven't provided it here. I guess this is
5 not the complete -- I've got the complete form.
6 But, yes, it would because just in the manner in
7 which it was not cased and plugged.

8 Q. Doesn't this also -- in your opinion
9 does this tell us something about the regard that
10 this company had with respect to the issue of the
11 safety of miners?

12 A. It has to.

13 Q. And what is that, your opinion?

14 A. They just went out there and blatantly
15 drilled a hole and cored it and went home.

16 Q. Now, Mr. Muncy, would you turn to
17 Exhibit 12. Would you read paragraph No. 2?

18 A. "Also included are the assignments of
19 mineral lease, three signed originals required
20 and the affidavit of consideration received, one
21 signed original required, both of which are
22 required by the State Land Office."

23 Q. Mr. Muncy, doesn't that strike you as
24 strange that these companies were apparently that
25 close to an agreement and that just a short few

1 days prior to that that the same company or one
2 of the parties is out drilling very rapidly a
3 corehole such as 162?

4 MR. HIGH: Objection. That's
5 argumentative.

6 Q. (BY MR. CARROLL) Do you have an
7 opinion as to whether or not that is odd in your
8 experience?

9 A. Okay. Based upon my personal opinion,
10 it is odd.

11 Q. Do you feel that the fact that an LMR
12 was changed within a few days after these events
13 also odd?

14 A. Very odd in my personal opinion.

15 Q. Mr. Muncy, the highway that you spoke
16 about that collapsed or at least had suffered
17 damage, that was directly over the mine workings,
18 was it not?

19 A. It was directly over the mine workings,
20 and I think in the case of the mine involved, it
21 was AMAX. And I don't want to get into hearsay.
22 I'm kind of at a loss as to how to word this, but
23 I will tell you that I talked to some folks who
24 worked there, and it was their opinion that
25 resulted from pulling some pillars directly below

1 the road.

2 Q. Now, Mr. Muncy, when you and Mr. High
3 were in an exchange, and this was talking about
4 the Section 2 and the ore in that Section 2, and
5 you used the word "ore." Now, did you misspeak?
6 And I want you to go back and consider, or were
7 you trying to imply to the Commission that you
8 felt that as you defined ore at the very
9 beginning that such is found in Section 2?

10 A. With respect to the word "ore," and the
11 percentages that were reported in the tenth ore
12 zone for the sylvite, based upon the definition
13 of proven, can be mined at present day -- it can
14 be mined presently today economically, I would
15 have to call that particular corehole ore.

16 Q. What about Section 2, though, all of
17 the potash in Section 2?

18 A. All of the potash in Section 2 in my
19 opinion is not ore.

20 MR. CARROLL: That's all I have.

21 CHAIRMAN LeMAY: Thank you.

22 MR. HIGH: Just a few follow-ups, if I
23 may.

24 CHAIRMAN LeMAY: Mr. High.

25 FURTHER EXAMINATION

1 BY MR. HIGH:

2 Q. Mr. Muncy, I thought we'd put it to
3 rest and maybe I just used the wrong words. I
4 was trying to find out a minute ago from you
5 whether or not you thought New Mexico Potash did
6 something -- I think I used the word "sinister"
7 and that sort of stuff. But I didn't use the
8 word "odd," and Mr. Carroll did, and you said
9 yes.

10 Is it your belief that New Mexico
11 Potash did something -- and I'll use different
12 words -- odd or wrong when it changed its LMR in
13 January of 1992 based upon the corehole data they
14 got the prior month? Are you saying that's odd?

15 A. I say that it appears, based upon the
16 data that we've just talked about, the facts, it
17 was a hurry-up job. It was done in two days. I
18 did call the drilling company that performed
19 that, and they told me that all the data was
20 confidential, but they would tell that the dates
21 were right.

22 So I did confirm that it was done in
23 two days. They didn't convey to me any of the
24 particulars; that they were in and out in two
25 days.

1 Q. Are you aware of the fact that the
2 corehole data that existed prior to hole No. 162
3 showed, if anything, langbeinite in Section 2?
4 Are you aware of that?

5 A. I think we'll have someone that can
6 speak directly to that after me.

7 Q. My question is, are you aware of that?

8 A. There might have been an indication
9 that I was aware of it.

10 Q. And would you know that prior to hole
11 162 being drilled in Section 2, Section 2 was not
12 in the LMR of New Mexico Potash, was it?

13 A. Based upon what I found in the records,
14 yes.

15 Q. And New Mexico Potash doesn't mine
16 langbeinite, does it?

17 A. They mine the tenth ore zone, which is
18 sylvite, according to public record.

19 Q. And when corehole 162 was put down in
20 Section 2, it showed sylvite as well as
21 langbeinite; correct?

22 A. That is correct.

23 Q. And yet you find it odd that after
24 finding or discovering that Section 2 had
25 sylvite, that New Mexico Potash would within the

1 next month extend its LMR down to include ore it
2 could mine? Do you find it odd?

3 A. I find it odd because of the way the
4 coreholes were in there. And if you look at the
5 polygon method, I think they're too far apart.

6 Q. And you know that New Mexico Potash had
7 told Yates that we are going to drill this hole
8 and we'll let you know whether or not we object
9 to these wells. It told Yates it was going to
10 drill this hole; right?

11 A. The only thing that I know about that
12 is what was testified to yesterday.

13 Q. You're not suggesting that New Mexico
14 Potash went out and sneaked out and dug this
15 hole, overnight type of thing, are you?

16 A. The only thing I'm suggesting is that
17 they drilled it and cored it in two days. And
18 based upon my experience that was fast.

19 Q. And you know at this time in December
20 of 91, Yates wanted an answer as to whether or
21 not anyone would object to some wells down there?

22 A. I couldn't testify as to the exact time
23 frame.

24 MR. HIGH: All right. That's all I
25 have, Mr. LeMay. Thank you.

1 CHAIRMAN LeMAY: Additional questions
2 of the witness?

3 Commissioner Carlson?

4 COMMISSIONER CARLSON: Yes, couple of
5 questions.

6 EXAMINATION

7 BY COMMISSIONER CARLSON:

8 Q. If you go to your Exhibit No. 34 and
9 your map, Exhibit No. 30, I take it Exhibit 34
10 comes from essentially your calculations based on
11 -- I take that back. Your map, Exhibit No. 31 --
12 but your calculations on Exhibit No. 34 basically
13 is a compilation of what's shown on the map; is
14 that correct?

15 A. Yes, sir. That is a compilation by
16 columns of the way that I found the 1984 BLM map,
17 which would be the exhibit on the right.

18 Q. Now, if you were redrawing this map in
19 the blue and the green and what's shown for
20 indicated potash, applying the definitions that
21 you -- the BLM definitions that you say should
22 have been used for measured ore and inferred ore
23 and indicated ore, you would draw that map
24 substantially different; right?

25 A. Yes, sir, I would.

1 Q. Do you have numbers similar to Exhibit
2 No. 34 for your estimate of measured ore,
3 inferred ore, and indicated ore?

4 A. Not for the whole area because the bulk
5 of the potash coreholes are confidential. And
6 just -- I mean, that's part of the problem that
7 I've talked about today. If we had them, yes, I
8 could give you an answer.

9 Q. What about Section 2 specifically? If
10 I look on the map here, it's roughly divided into
11 three parts. I guess the northwest is barren,
12 and more or less the east half is inferred, and
13 the measured ore is in the southwest portion.
14 How would you draw those lines on Section 2?

15 A. We will do that with the later
16 witness. But, as I have previously testified, I
17 think that in round numbers you would have to
18 take out the northwest quarter generally speaking
19 -- or pardon me, the northeast quarter of Section
20 2.

21 Q. But you do admit the corehole data they
22 have does show some commercial deposits, and I
23 guess that's in the southeast quarter of Section
24 2; is that correct?

25 A. Yes, in the tenth ore zone.

1 Q. So, by your own admission, if there are
2 commercial deposits within Section 2, is it your
3 testimony that wells can still be drilled in
4 commercial deposits without wasting those
5 commercial deposits?

6 A. It definitely is because I think, when
7 we look at the time frame, that Section 2 could
8 possibly be mined. That would give us time to
9 develop the oil and gas and plug the wells
10 properly, as I previously talked about, and we
11 would have what I would call multiple use.

12 Q. So basically your approach to this is
13 your questioning if there are commercial
14 deposits; you admit there are some at least in
15 the southeast quarter around that drill hole.
16 And if even if there are, you can still develop
17 the oil and gas reserves and later mine right
18 through those drill holes?

19 A. I think so.

20 Q. You say a later witness will get into
21 the actual amount of measured reserves within
22 Section 2?

23 A. Yes. We have a definite opinion about
24 that, and he will be glad to talk about it.

25 Q. You testified that there were a lot of

1 oil and gas wells within existing potash mines in
2 the basin; is that correct?

3 A. Yes. And if we look at the Exhibit 31,
4 the map on the right-hand side there, the bulk of
5 them tend to be on the left-hand side, which
6 would be the west.

7 Q. Were those wells drilled after the
8 potash mining occurred or before? I'm unclear as
9 to the sequence of --

10 A. I think that a lot of them were drilled
11 in the 50s, in that era. But when I worked for
12 AMAX, on the right-hand side, which would be the
13 east side of the AMAX workings, during that time
14 period there were some deep gas wells drilled by
15 Southland Royalty, which is now Meridian.

16 Q. Into the mine operations themselves?

17 A. No. Just out ahead where mining might
18 possibly occur.

19 Q. When were those wells drilled? In the
20 50s?

21 A. I think the ones that are right in the
22 mine workings, the 16 that I spoke about, were
23 all in the 50s prior to the R-111-P casing
24 requirement.

25 Q. And that was prior to the actual area

1 of being mined?

2 A. Yes, I think so.

3 Q. And since then the mine has gone right
4 through some of those?

5 A. Well, they haven't gone right through
6 them. They've left some sort of a pillar. I was
7 down there one time when they accidentally mined
8 into one that had been plugged, and it didn't
9 present a problem.

10 Q. How big are those pillars? What kind
11 of --

12 A. Well, with respect to the mine that I
13 specifically talked about, this -- or I mean the
14 well that I specifically talked about, this
15 Culbertson-Irwin well in Section 13, I think we
16 planned on a 100-foot pillar. And call it
17 hearsay, if you may, that's what they plan on
18 doing this year, is leaving a 100-foot pillar.

19 Q. But there's other wells there that they
20 have done the same thing with?

21 A. No. There are other wells there where
22 they have done the same thing. Now, on the deep
23 gas wells, I don't think any of those that I'm
24 familiar with lie directly in the works, in the
25 mines, the mined out areas.

1 Q. But there are some that do lie in the
2 mined out areas?

3 A. Not deep gas wells.

4 Q. Not deep gas wells?

5 A. [Nodded.]

6 Q. Are they gas wells?

7 A. Yes. I think they were Morrow gas
8 wells.

9 Q. Morrow gas.

10 A. But I'm not aware of any of those that
11 lie in the mined out areas, and my study didn't
12 show that.

13 Q. I'm still unclear. There are wells
14 that did produce gas that are in the mined out
15 areas that they have just mined around leaving
16 100-foot, 100-foot radius around those wells?

17 A. In some cases, yes.

18 Q. How many cases? Do you know?

19 A. According to the public record, which I
20 did and I've got it tabulated, I grouped it
21 between first and second mine. And with respect
22 to Horizon, I found seven wells that were drilled
23 in the early days, the 50s, let's say, generally
24 speaking, seven that were in the first mined
25 area, four in the second mined area, five in the

1 measured ore zone, according to the 84 map, for a
2 total of sixteen.

3 Q. Are you familiar with the plugging and
4 cementing program that was used on those wells?

5 A. I have direct knowledge of only the
6 well in Section 13, which I referred to. I do
7 have some of the copies of the plugging reports
8 that went with the specific 16 wells I'm talking
9 about.

10 COMMISSIONER CARLSON: I guess that's
11 all.

12 CHAIRMAN LeMAY: Commissioner Weiss?

13 COMMISSIONER WEISS: Several
14 questions.

15 EXAMINATION

16 BY COMMISSIONER WEISS:

17 Q. I don't get the significance of 30 or
18 70 feet between the tenth and the third zone, or
19 whatever you mentioned earlier in your
20 testimony.

21 A. Okay. I guess I'll go real slow and
22 try a little harder to explain it. The first ore
23 zone is the bottom zone. And on the AMAX side of
24 the basin we found the third ore zone to be
25 approximately, more or less, 30 feet higher than

1 the first ore zone.

2 Q. Can you mine the two at a time?

3 A. You cannot mine them simultaneously.

4 Q. Okay. That's my question. That's the
5 significance of it?

6 A. Yes, that's the significance. And I
7 apologize for the confusion.

8 Q. Are there any maps with -- public maps,
9 with the coreholes posted? Not the analyses,
10 just the holes.

11 A. I have in my possession three maps that
12 show all of the coreholes in the potash basin
13 with the exception of 15 or so, and I've got that
14 list. So I can tell you where the coreholes are,
15 and we've got a later witness that will probably
16 point them all out. But the data has been
17 confidential for the large part.

18 Q. The location of the holes is
19 confidential?

20 A. No. The location of the holes is not,
21 but the data with respect to the core.

22 Q. Well, that might be helpful to see
23 those. Oh, I have a question here. Does a
24 single corehole in 100 square miles have any
25 meaning?

1 A. It's just merely an indication.

2 Q. Can you tell whether it's commercial
3 based on one corehole in 100 square miles?

4 A. No, sir.

5 Q. And then on the wells in the -- you may
6 not know this, but I'm going to ask you -- in
7 this Benson-Yates east field, they were drilled
8 in the 50s from the Grayburg, you say. And I see
9 here the gravity of the oil was 31 degrees in
10 1978. Do you know what it was initially and what
11 the GOR was and how much gas they made?

12 A. No, sir. It was probably pretty low,
13 but I don't have any specific --

14 Q. And how much methane has been detected
15 in the AMAX mine during the 20, 30 years of
16 production of these wells?

17 A. To my knowledge, and again we're just
18 going to have to talk about my personal
19 knowledge, the only time that methane has been
20 detected is when they ran into the nitrogen
21 pockets that naturally occur when they mine.

22 Q. And they find methane in that?

23 A. It has a small amount of methane in it,
24 and I think it's been pointed out that we don't
25 feel that that's a hazard.

1 COMMISSIONER WEISS: That's all the
2 questions I have. Thank you.

3 CHAIRMAN LeMAY: Just a couple.

4 EXAMINATION

5 BY CHAIRMAN LeMAY:

6 Q. You were at that potash sale. It was
7 described before, the one where Yates and Pogo, I
8 guess, bought that tract. Was that an oral sale
9 or written?

10 A. That was an oral sale held at the
11 Stevens Motel on a Tuesday morning at 10:00
12 o'clock.

13 Q. So anyone could bid, and no money was
14 left on the table?

15 A. That is absolutely true.

16 Q. Did they have a minimum bid? Do you
17 know?

18 A. I think the minimum bid started at \$1.

19 Q. Another question. Have you got an idea
20 of how much it cost to drill a corehole, a
21 2,000-foot corehole and core the respective
22 horizons?

23 A. I'll give you a range because I haven't
24 updated it since that time. But somewhere in the
25 neighborhood -- and I'll do it by feet --

1 somewhere in the neighborhood of \$5 to \$10 a
2 foot.

3 CHAIRMAN LeMAY: Thank you. That's all
4 I have.

5 Q. (BY CHAIRMAN LeMAY) That's from spud
6 to completion; right?

7 A. The right-of-way and the plugging and
8 the abandonment.

9 Q. And the cementing of the surface
10 casing?

11 A. Right. And in the case of AMAX, a lot
12 of times we'd just mud it in and pull it, but we
13 did protect the freshwater.

14 CHAIRMAN LeMAY: Okay. Additional
15 questions of the witnesses?

16 MR. HIGH: I have one, if I may.

17 FURTHER EXAMINATION

18 BY MR. HIGH:

19 Q. Mr. Muncy, do you know the depth --
20 first of all, do you know the name of the field,
21 the oil field where the wells are on the west
22 side by AMAX mine? Do you know the name of that
23 oil field?

24 A. There are several pools in there.

25 Q. Do you know if that's the old Getty

1 field?

2 A. No, sir.

3 Q. Do you know how deep the wells are
4 there in and around the AMAX mine?

5 A. Somewhere in the neighborhood, give or
6 take, 2,000.

7 Q. They're not 8,500 feet deep, are they?

8 A. But there are some that I previously
9 mentioned that were drilled to the Morrow that
10 are deeper than that.

11 Q. Not within the mine workings, are
12 there?

13 A. No. No.

14 Q. I'm talking about the ones that you
15 said were within AMAX's mine workings. Those are
16 what -- those were very shallow wells, are they
17 not?

18 A. They're classified as shallow pool
19 wells because they're less than 5,000 feet in
20 depth.

21 Q. And when was the mining done in and
22 around those wells, if you know?

23 A. It was going on when I was out there
24 twelve years ago, and it's going on today.

25 Q. As far as you know?

1 A. As far as I know.

2 MR. HIGH: I have nothing else.

3 CHAIRMAN LeMAY: Additional questions
4 of the witness? If not, he may be excused.

5 Let's come back at 1:15.

6 [The lunch recess was taken.]

7 CHAIRMAN LeMAY: Mr. Carroll.

8 MR. CARROLL: Thank you, Mr. LeMay.

9 Our next witness will be Leo Lammers.

10 LEO J. LAMMERS

11 Having been duly sworn upon his oath, was
12 examined and testified as follows:

13 EXAMINATION

14 BY MR. CARROLL:

15 Q. Would you, please, state your full
16 name, occupation, and place of residence, sir?

17 A. My name is Leo Joseph Lammers. I
18 reside at 40 Riverside Drive, Roswell, New
19 Mexico. My occupation is an independent
20 consulting geologist.

21 Q. How many years have you practiced as a
22 petroleum geologist -- or a geologist, excuse me?

23 A. I have been a practicing geologist for
24 over 36 years.

25 Q. Would you relate to the Commission your

1 educational background?

2 A. I have a bachelor of science degree in
3 geology with a minor in chemistry from the
4 University of Dayton and a master of science
5 degree in geology from the University of
6 Michigan, which I received in 1956.

7 Q. Did you do a thesis for your master's
8 degree?

9 A. Yes, I did do a thesis for my master's
10 degree.

11 Q. And what was that on?

12 A. I did an analysis of a salt corehole
13 provided to the university by the International
14 Salt Company, which they were drilling to extend
15 a new mine site at the Wayne County Airport,
16 which is southwest of Detroit.

17 Q. Could you relate to the Commission your
18 work experience?

19 A. I have 31 years of oil and gas
20 experience and over 5 years of mineral
21 exploration experience. My first 18 years were
22 with Atlantic Richfield. I started out, about 7
23 years, in the Roswell District. I worked mostly
24 the Delaware Basin, a little bit on the Central
25 Basin platform.

1 The next year I moved to Lafayette,
2 Louisiana, worked offshore. Then I got moved to
3 Houston into our sulfur group. And then I got
4 moved into the minerals exploration group on
5 staff in Dallas, where I was senior minerals
6 geologist, primary responsibility being potash
7 and sulfur.

8 Then I moved back to Houston, and at
9 that time I went to work for Tesoro Petroleum for
10 about three years. I was group leader for
11 eastern US -- the eastern US in their exploration
12 and research department. And since about 1978
13 I've been either working on retainer or contract
14 as an independent geologist.

15 Q. At the times that you were the senior
16 minerals geologist for Atlantic Richfield, could
17 you describe or elaborate what your duties were
18 with Arco?

19 A. My main job was to explore in areas for
20 potash and sulfur. In potash it was kind of a
21 two-pronged effort. I looked in old basins, such
22 as the Carlsbad Basin and to some extent in the
23 Canadian Basin.

24 And the second part that I did in those
25 five years was to explore new basins, such as

1 Michigan Basin. We looked in there. We went to
2 eastern Canada, and we did a little bit in Kansas
3 in the Salt Basin there.

4 Another thing, we had a big research
5 group, which we called our geoscience group at
6 that time. I worked -- we had four petrophysical
7 engineers or log analysts. I worked with them
8 and designed a log program for potash and for
9 sulfur.

10 Q. All right. Mr. Lammers, could you
11 expand upon your specific experience with respect
12 to the Carlsbad Potash Basin?

13 A. Yes. During the period, from 1966 to
14 probably late 1968, Arco drilled about 33
15 coreholes in the Carlsbad Potash District. At
16 that time we had two potash geologists in our
17 Roswell District Office.

18 My duties were to coordinate the data
19 from the Carlsbad District from what we got in
20 the Roswell District and present it to the Dallas
21 management. I made periodic visits to the
22 quarrying operations, presented the results to
23 management, and I helped lay out our future
24 corehole program.

25 We also in our minerals group had a --

1 I worked -- we had a mining engineer and a
2 mineral economist, and the three of us worked
3 together on this project.

4 Q. Mr. Lammers, do you belong to any
5 professional organizations or societies?

6 A. Yes. I belong to the American
7 Association of Petroleum Geologists. I'm a
8 Certified Petroleum Geologist. I've been a
9 member of the American Institute of Geological
10 Scientists for over 25 years. I'm a Certified
11 Professional Geologist with specialties listed as
12 oil, gas, potash, and sulfur.

13 Q. Now, you have had an occasion to
14 testify before the Oil Conservation Commission,
15 have you not, in the past?

16 A. I believe I last testified in October
17 of 1963.

18 Q. Did you have your credentials accepted
19 at that time?

20 A. Yes, I did.

21 Q. As a geologist?

22 A. Yes.

23 Q. And you have worked continuously as a
24 geologist since that period of time?

25 A. Correct.

1 MR. CARROLL: Chairman LeMay, I would
2 offer Mr. Lammers as an expert in the field of
3 geology.

4 CHAIRMAN LeMAY: His qualifications are
5 acceptable.

6 Q. (BY MR. CARROLL) Now, Mr. Lammers, one
7 of the things that I think you've touched upon in
8 listing what you were doing when you were working
9 for Atlantic Richfield was your work with the
10 Atlantic geoscience program or logging program
11 for minerals; is that correct?

12 A. Yes.

13 Q. Could you explain what that program was
14 and what the results were of the research and
15 study that you were involved in?

16 A. In natural occurring rock you have
17 three elements that can cause radioactivity:
18 uranium, thorium, and potassium. In the Salado
19 Formation in the Carlsbad District, this
20 radioactivity is probably due to the various
21 potash beds.

22 Therefore, you can use the gamma ray
23 log to correlate the marker beds to pick barren
24 zones and the mineralized zones and to some
25 degree you can tell if you have mineralization.

1 You cannot tell the degree or the percent of
2 mineralization.

3 Q. But you can tell whether or not the
4 mineralization of potash that we refer to as
5 potash is present; is that correct?

6 A. Yes.

7 Q. Okay. So then it would be your
8 professional expert opinion that you can use well
9 surveys that are normally performed in oil and
10 gas wells to determine whether or not
11 mineralization occurs?

12 A. Yes.

13 Q. All right. Now, have you performed any
14 studies with respect to well logs in the area of
15 concern? And I guess I should ask you the
16 preparatory question: You are familiar with the
17 four applications that Yates Petroleum has filed
18 and is being heard by the Commission?

19 A. Yes, I am familiar with those.

20 Q. All right. Then with respect to the
21 area of Section 2 that we have been discussing,
22 where all four well applications are, have you
23 performed a study in and around that area?

24 A. Yes, I have studied quite a few logs in
25 there. And my exhibit, I think it's marked

1 Exhibit No. 40 --

2 Q. If I could, just a minute, Exhibit 39,
3 which is also your exhibit, that is a copy of
4 your resume, is it not?

5 A. Yes, it is.

6 Q. All right. And your next exhibit would
7 be Exhibit 40, and that is a --

8 A. It's kind of a sketch section showing
9 log correlations, and these are three gamma ray
10 neutron logs. And north is on the left. South,
11 I've labeled as A-A prime. It starts out in the
12 Union Federal No. 1 in the northwest of 35, goes
13 to the south to the Yates AIS No. 5 in the
14 southwest-southwest of Section 36. And it goes
15 down through Section 2 to the AC No. 8 corehole.

16 Now, on the No. 8 corehole, it is a
17 corehole, and we also have a gamma ray log. What
18 this section is on -- its datum is the Vaca
19 Triste, which is the top of the McNutt. And I
20 have just put a few of the marker beds on there,
21 Marker Bed 119. And I've also showed the tenth
22 mineralization zone, the eighth and the fourth,
23 Union Anhydride in Marker Bed 123 and 124 and
24 129.

25 What I would like to do is take the

1 tenth ore zone, which is the productive zone in
2 the New Mexico mine and kind of go from north to
3 south. If you will see a large radioactive kick
4 there, this to me would be an indication of
5 mineralization. When you correlate it to the
6 Yates AIS No. 5, you can see that we could
7 classify this well barren.

8 And when you carry it over to the AC
9 No. 8, you can see again it's very radioactive,
10 and that well we know has 6.4 feet of 12 percent
11 sylvite. You can do similar with -- the eighth
12 zone is barren. And the fourth zone is
13 mineralized in the AC No. 8.

14 Q. Then with respect to the, I guess,
15 purpose of this exhibit then, what conclusion can
16 you draw or have you drawn?

17 A. My conclusion is that you can use oil
18 and gas logs to predict barren and to some degree
19 mineralized zones in the potash zones.

20 Q. Is it also possible using these logs to
21 correlate the relationship of these beds?

22 A. Definitely on most of the marker beds
23 are probably polyhalite. And, as you can see,
24 you go from 116 to 129 here. And if I drew all
25 the marker beds in, you can see I would have a

1 lot of lines on there.

2 But if you would take a look below the
3 fourth zone and above the 126, this is the
4 stratigraphic position where the producing zones
5 1, 2, and 3 are. And you can see there's no
6 gamma ray response, and these zones are all
7 barren in this part of the district.

8 Q. All right. You have prepared an
9 additional exhibit using then the information
10 that you've gained through the logs; is that
11 correct?

12 A. Yes.

13 MR. CARROLL: Exhibit 41. Mr. High,
14 Commissioner LeMay, this exhibit also contains
15 lines of the LMR, and it's necessary that we have
16 some discussion with them. I propose to go along
17 unless -- and if Mr. High thinks I've asked a
18 question that may be too revealing of the
19 confidential information, I would just ask him to
20 stand up or let me know, and we'll handle it. We
21 may or may not do anything. I just don't know.

22 MR. HIGH: That's fine with me. Sure.

23 CHAIRMAN LeMAY: We'll continue under
24 that format.

25 MR. CARROLL: We would, with our

1 agreement, we have no problem with designating
2 Exhibit No. 41 as a confidential exhibit.

3 Q. Now, would you explain basically what
4 is being depicted here, Mr. Lammers, what you're
5 attempting to do?

6 A. Well, first, I'd like to point out
7 where my section runs, which I think was the
8 previous exhibit.

9 Q. Certainly. Exhibit 40?

10 A. 40. If you'll look in the northwest
11 quarter of Section 35, that's the northernmost
12 well on my section. Then I come down to YPC,
13 which is Yates, AIS No. 5 in the
14 southwest-southwest of 36. Then I go across
15 Section 2 and pick up AC-8, which was the
16 corehole which I have a log on.

17 Now, if you would, what you should do
18 with this block diagram is pretend you're
19 standing to the south and looking at New Mexico
20 mines, their area, and looking at Section 2, 34,
21 35, and 36. Then if you could imagine that we
22 strip everything off down to the tenth ore zone,
23 then you could walk around on top of the tenth
24 ore zone, the tenth zone. The depths are given
25 to the tenth zone, and the dashed contours are

1 the structural configuration on that zone.

2 Now, if we could start out in the north
3 at the Union Federal No. 1, which I showed you
4 the gamma ray log -- let me just point out one
5 other thing. The scale is 1 inch equals 1,000
6 horizontal. And the slice of the block is 2-1/2
7 inches to 100 feet, which is the same scale as
8 the logs on a reduced scale.

9 In other words, you can take these logs
10 and put them by Yates No. 5, and the tenth ore
11 zone will line up with the tenth ore zone, and
12 the eighth, and so forth. If you could fold it
13 up, and if you will put -- in other words, on the
14 Yates well, take 1444 feet and put it
15 approximately where that little dot is, and you
16 will see that the marker beds and so forth line
17 up.

18 So starting at the Union well, which I
19 only -- this is from log data -- in my opinion
20 the tenth zone is mineralized on the log. The
21 eighth and the fourth appear barren. Then I come
22 down to what we call ERDA 6, which is in the
23 southeast corner of 35. The tenth ore zone is
24 barren there. The eighth zone is barren. And
25 the eleventh ore zone -- or the fourth ore zone

1 is barren. Those three ore zones are barren.

2 Q. Now, Mr. Lammers, you actually have
3 core data from that ERDA 6, do you not?

4 A. Yes, I do. Right. That's core data,
5 public data.

6 Q. All right. This particular hole was
7 drilled by a federal agency; is that correct?

8 A. That's correct. I believe that ERDA
9 stands -- I believe that it was the predecessor
10 to the Department of Energy. It became -- it is
11 what today is the Department of Energy. I
12 believe that's correct. It is a federal -- an
13 analysis. It is all covered in open file report
14 8146-A, which I inspected at the BLM office in
15 Roswell.

16 Q. All right. Would you continue on. I'm
17 sorry for interrupting you.

18 A. Okay. Let's for the moment go to the
19 YPC AIS No. 5. This one is on my cross-section,
20 this well. And the tenth, the eighth, and the
21 fourth zones all are barren. The next corehole
22 on the cross-section, this one is -- which I will
23 not give any -- this one is the one that's --

24 Q. K-162?

25 A. K-162.

1 Q. That is a confidential --

2 A. Confidential hole. To me it appears
3 mineralized in the tenth, barren in the eighth,
4 and mineralized in the fourth.

5 Q. Now, is there a differentiation between
6 the two kinds of mineralizations that you see?

7 A. Whether -- what? What kind of
8 mineral?

9 Q. Whether sylvite or langbeinite?

10 A. Yes, there is. The tenth is sylvite,
11 and the fourth is langbeinite.

12 Q. All right. If you'll continue.

13 A. Now, we come to AC No. 8, which is down
14 in Section 11. And we have both core data and
15 log data on this well. To me the tenth is
16 mineralized, the eighth is barren, and the fourth
17 is mineralized, same basis again, sylvite in the
18 tenth and langbeinite in the fourth.

19 Now, this data all came out of open
20 file report 7882-A, which is the WIPP report,
21 which contains all the WIPP holes. Then let's
22 move onto the west to FC-81. This is also
23 published in the same report. Plus it is on open
24 file at the BLM. And I got my information from
25 the BLM. This core test is barren in all zones.

1 The tenth -- you can see all four zones are
2 barren.

3 Q. The amount of mineralization there is
4 so small --

5 A. Right. You have 5.6 feet of 2.7
6 percent. And you have 12 percent in the AC-8.
7 So you could extrapolate where you put this red
8 line here from that.

9 Q. Now, Mr. Lammers, there are oil and gas
10 wells in Section 2; is that correct?

11 A. Yes, there's -- I believe I have them
12 spotted on my map here. I have -- I believe, I
13 think the two wells to the south are Pogo wells,
14 and the other ones are the Yates-Graham wells.

15 Q. You're talking about the four dots that
16 appear along --

17 A. If you took the west half of the -- or
18 no, excuse me. You take the east half-east half
19 of 2, that's where the four wells are located.

20 Q. That's the line of four dots that --

21 A. Right.

22 Q. -- appear that up and down the
23 easternmost edge of Section 2?

24 A. Uh-huh.

25 Q. Now, you have examined those logs, have

1 you not?

2 A. Correct.

3 Q. With respect to the northernmost of
4 these four wells, what conclusions did you reach
5 with respect to your examination of the logs on
6 that well?

7 A. The well, which would be the
8 Commission's A location, to me appears
9 mineralized.

10 Q. All right. What about the next well
11 down?

12 A. That would be in -- let's see, well it
13 would be -- the next would be the southeast of
14 the northeast. That one appears barren.

15 Q. Appears barren?

16 A. Yeah.

17 Q. No mineralization; is that correct?

18 A. No. It's barren to me.

19 Q. All right. Now, the next location
20 down?

21 A. Is barren.

22 Q. That would be the northernmost Pogo
23 well --

24 A. That's correct.

25 Q. -- in the southeast quarter. What

1 about the farthest south well?

2 A. "P" location, that would be barren.

3 Q. So with respect to the three southern
4 wells upon this eastern edge, they all in your
5 opinion appear barren of mineralization?

6 A. Yes.

7 Q. And that would be in all of the zones?

8 A. That would be in the tenth zone
9 definitely.

10 Q. Okay. Now, the tenth zone is the one
11 you're looking at because that's the zone being
12 mined by New Mexico Potash?

13 A. Right.

14 Q. Now, one of the other things that is
15 drawn on this map in the red is the outline at
16 least for this particular area of the LMR; is
17 that correct?

18 A. That is correct. The red area
19 represents the LMR.

20 Q. And, as you understand it, this was the
21 LMR that was created after 1/7 of 92?

22 A. Correct.

23 Q. Now, Mr. Lammers, I've noticed that
24 there is a dashed line that starts up in the
25 northern part of Section 36 and extends westward

1 around ERDA 6, and it tracks to the west of the
2 red line; is that correct?

3 A. That's correct. Probably half a mile.

4 Q. All right. Can you explain what that
5 line is and the significance of it?

6 A. That is where I would draw my barren
7 line or the -- on this color scheme purple or
8 lavender. In the ERDA 6, you have core data that
9 the tenth is barren. And, as I asked you to do
10 in the start, if you were walking on the tenth
11 zone and walked over ERDA 6, there it would be
12 barren. And that's core data, public data.

13 Q. All right. Is it a fair statement then
14 that you disagree with how this LMR was drawn?

15 A. That is a fair statement.

16 Q. All right. Can you, in your own words,
17 explain why you differ?

18 A. Well, with ERDA 6, or E-R-D-A 6, you
19 have core data that is given to us by the USGS
20 open file 8146-A, and they list the tenth zone at
21 1386 feet as barren. And that's -- I mean, we
22 have to accept the BLM's information.

23 Q. Is that why you have -- this white area
24 that surrounds ERDA 6, why is it white?

25 A. That is white because of ERDA 6.

1 Q. Okay. You do not feel that there is
2 any ore in the tenth zone there; is that correct?

3 A. That is correct.

4 Q. Like mineralization anyway?

5 A. Yes. I would say they do not even list
6 any mineralization there.

7 Q. Now, your line, your dashed line stays
8 within to the west of the red line. In your
9 opinion, is this typical or atypical of how you
10 find the laying down of the potash
11 mineralization?

12 A. In an evaporite environment it's very
13 typical. It's very erratic. Especially right in
14 this particular area of the tenth zone, it can
15 become barren with, you know, within one hole and
16 mineralized in the next. It's very -- in the
17 tenth zone, right in here, I would classify it as
18 very erratic.

19 Q. All right. Now, Mr. Lammers, in your
20 experience do you think it's fair for us to use
21 the core data from K-162 and extrapolate from it
22 even to the west of your line that you have drawn
23 that we can say conclusively that there's
24 mineralization there to the west of your line?

25 A. You must honor the data in ERDA 6 if

1 you are going to make a mineralized zone of the
2 tenth zone, mineralized map.

3 Q. All right.

4 A. And I think ERDA 6 is probably right at
5 a mile north-northeast of K-162; therefore,
6 between these two wells, or core tests, there has
7 to be a barren area.

8 Q. All right. And you feel -- what
9 opinion do you have with respect to the way the
10 LMR line was drawn by New Mexico Potash? Do you
11 feel it honored ERDA-6?

12 A. If their LMR represents the tenth ore
13 zone, they did not honor this core test, which is
14 public information.

15 Q. Mr. Lammers, you said you drilled some
16 33 holes for Arco; is that correct?

17 A. Yes. I think we started in either late
18 66 -- or probably early 66, and we completed them
19 late 68.

20 Q. This was an exploration type project;
21 is that correct?

22 A. Definitely.

23 Q. What happened with respect to that
24 project?

25 A. Well, the project got abandoned and

1 basically for two reasons. Our our sylvite zone,
2 we did not have enough reserves to justify doing
3 it any further. If you remember, I said I worked
4 with the mining engineer and a mineral
5 economist. Our mineral economist predicted that
6 there would be a tremendous oversupply of potash
7 when the Canadian mines came on.

8 And some of them came right around the
9 mid-60s; some of them made it plus or minus in
10 there. And we had to have such a high grade --
11 we had a minimum cutoff grade, and that was so
12 high that it just, in sylvite, it never
13 occurred. I mean, we didn't find it.

14 Q. How high was that?

15 A. Nineteen percent.

16 Q. Nineteen percent. And why was it set
17 at that level?

18 A. That's what we were given by -- we were
19 given that by the -- you understand what a
20 mineral economist -- the one we worked with had a
21 degree in mining geology and an MBA from
22 Stanford. He's the one that worked that up and
23 coordinated with me and the mining engineer. And
24 he gave us that number.

25 MR. HIGH: Excuse me, Mr. LeMay. I'm

1 going to object on the ground of relevancy. I
2 don't know what this has to do with Section 2.

3 CHAIRMAN LeMAY: It may have something
4 to do with why they abandoned the project. If
5 that's the reason you can just state it.

6 THE WITNESS: Can I finish, please?

7 MR. CARROLL: Yes, please.

8 THE WITNESS: The second project, which
9 was a langbeinite project, we found some
10 encouragement in this grade thickness, and we
11 drilled a little bit. In other words, in these
12 30-some holes, you kind of -- when you get your
13 first encouragement, you drill closer to it.

14 And we drilled several close coreholes
15 around our most promising deposit. And the
16 thickness and the grade could not justify the
17 cost of a mine, mill, or refinery. And, in other
18 words, it wasn't a big enough deposit to justify
19 a mine and a mill, and we abandoned that.

20 Q. With respect to drilling the number of
21 holes drilled, was there a rule that Arco
22 followed as to how many holes were necessary to
23 be drilled, distances for them? Could you
24 discuss that for us?

25 A. I believe we had a rule of thumb four

1 per section when you wanted to develop -- four to
2 five per section. If you thought you had a
3 deposit, you wanted to drill that many per
4 section.

5 Q. All right. Would that be for both
6 kinds of ore or just one kind?

7 A. I would say it would be for both kinds
8 of ore. The ones we drilled that many on, I
9 believe, or close to that anywhere, are
10 langbeinite. I think it would apply equally well
11 to both zones.

12 Q. Do you know why you settled on the four
13 to five per section?

14 A. Well, I think ore can change or, you
15 know, so that the mineralization can change so
16 fast from one hole to the next that you would
17 need that many before you want to sink -- I don't
18 know how much a mine did -- I did at that time,
19 but I'm sure it's inflated. If you wanted to put
20 a large sum of money into a shaft and a mill, you
21 would want to make sure you had enough reserves
22 to pay for it.

23 Q. And I believe it's your testimony that
24 a number of these coreholes, the four or five per
25 section, were necessitated because of the erratic

1 nature of these deposits; is that correct?

2 A. That is correct.

3 Q. With respect to Section 2 and the one
4 corehole that we have, 162, do you think that
5 that one corehole is sufficient to be able to
6 define Section 2 as having commercial ore in it?

7 A. No.

8 Q. What opinion do you have with respect
9 to the way this LMR is drawn? Do you feel it was
10 fairly drawn?

11 A. I'd sure disagree with it around
12 ERDA-6. If you're going to draw a tenth ore
13 zone, I think you have to honor that well.
14 That's where my white area is up there.

15 Q. Certainly. With respect to Section 2,
16 do you have an opinion there?

17 A. I would disagree with it on the east
18 half and quite possibly on the west half too.

19 Q. Why would you disagree with it on the
20 west half?

21 A. Well, you have a barren hole in 81, in
22 FC-81. I wouldn't want to -- I would want
23 another corehole in 2, probably 2 -- or that
24 would be my opinion. So I would disagree with it
25 over there.

1 MR. CARROLL: Chairman LeMay, I would
2 move admission of Exhibits 38-- oh, excuse me,
3 39, 40, and 41 at this time.

4 CHAIRMAN LeMAY: Without objections,
5 those exhibits, 38 through 41, will be admitted
6 into the record.

7 Mr. High?

8 MR. HIGH: Yes, I do have some
9 questions, Mr. LeMay.

10 EXAMINATION

11 BY MR. HIGH:

12 Q. Mr. Lammers, what are the three things
13 you said could cause radioactivity?

14 A. Thorium, uranium, and potassium.

15 Q. Have you generally found any of those
16 elements in the potash basin other than
17 potassium?

18 A. No. Generally potassium is the only
19 one found.

20 Q. And what do they cause your gamma log
21 to do when you find them?

22 A. They cause it to read a lot higher
23 radioactivity.

24 Q. So you get a big spike on your gamma
25 log?

1 A. Yes.

2 Q. You've been reading these gamma logs, I
3 guess, for a long time?

4 A. Oh, since 1956.

5 Q. That's a long time. You're fairly
6 comfortable with what you see on one of them, I
7 take it?

8 A. Yes.

9 Q. Is this an art or science that requires
10 judgment? Can reasonable people disagree over
11 what a gamma log does?

12 A. A gamma ray log is the simplest of all
13 logs. These logs are run in suites. As I
14 pointed out, these are gamma ray neutron density
15 logs on there.

16 Q. When I say gamma ray logs, I'm
17 referring to the whole universe of whatever they
18 are. Maybe a neutron.

19 A. The gamma ray is the simplest to read.

20 Q. And my question is can competent people
21 reasonably disagree over what they show, or is it
22 so black and white that anyone who knew anything
23 about it would know what was there?

24 A. I guess you could reasonably disagree
25 on most anything.

1 Q. So -- well, let me ask it differently.
2 Would it surprise you if I put a witness on the
3 stand and he looked at the same logs as you did
4 and came up with a different conclusion? Would
5 that be unusual? I'm just trying to get how fine
6 an art this is.

7 A. It would be in the case of the YPC-AIS
8 No. 5.

9 Q. And why is that?

10 A. There's no radioactive response at all.

11 Q. Just nothing there?

12 A. No. You've got 20 units.

13 Q. So when there's nothing showing up on
14 the log, it's easier to know what's not there
15 than if you do have some spikes?

16 A. Yes.

17 Q. In at least in terms of potassium?

18 A. Would you repeat that?

19 Q. Yes. At least in terms of potassium,
20 if there's no spikes on the log, you know there's
21 no potassium because if it was there, they'd have
22 spikes?

23 A. That is correct.

24 Q. Okay. And you believe you can tell
25 from these logs whether or not it's sylvite or

1 langbeinite?

2 A. I think whether -- if you had a
3 complete sweep of logs, it's documented that you
4 can tell.

5 Q. Can you do that?

6 A. I could if I had a gamma ray neutron, a
7 sonic, and a density log.

8 Q. What is it about the logs that
9 separates langbeinite from sylvite?

10 A. The density and the travel time on the
11 sonic.

12 Q. The size of the spike?

13 A. No.

14 Q. Anything else that you can name that
15 separates or would make a langbeinite and sylvite
16 show up differently on these logs?

17 A. Those would be all of it. The biggest
18 difference between langbeinite and sylvite is its
19 density.

20 Q. How about the height of the ore?

21 A. You can get some indication, but you
22 could not say. In other words, if it were in
23 AC-8, you know it's thicker -- it's fairly thick
24 there because -- if you -- it also depends. If
25 you logged the well and you drilled it yourself,

1 you would have a different set of logs sometimes
2 than if you have to get them from a commercial
3 source.

4 Q. How do you know how you have more
5 potassium there as opposed to lesser potassium?
6 Would it be the size of the spike?

7 A. It would be the size of the spike and
8 the thickness.

9 Q. I'm sorry. Go ahead.

10 A. No. That would be all.

11 Q. And the frequency of its occurrence in
12 a continuing pattern could have some indication
13 of depth of the potassium?

14 A. The frequency?

15 Q. Yes. If you had a spike that occurred
16 more than once, could that indicate a greater
17 thickness of potassium than a single spike?

18 A. Probably not.

19 Q. So just one spike, and that's enough to
20 show mineralization?

21 A. Well, you could get two spikes if you
22 had a 10-foot zone with sylvite in the top of
23 2-foot, 3-foot barren zone in the middle, and
24 another mineralized sylvite zone in the bottom,
25 then you would end up with two spikes.

1 Q. Now, what depth do you have for the
2 tenth ore zone in these areas, Mr. Lammers?

3 A. Well, at AC-8 I have it from core at
4 1589. And on the log I think it comes in at
5 1590. On the FC-81 I have it at 1526. I will
6 not give K-162. On the Yates I have it at 1440
7 feet. And in the Union well I have it right
8 around 1400 feet.

9 Q. Is the potash deposit dipping any
10 particular direction?

11 A. If you will note, there is a little
12 ridge right going through the center of 35. This
13 is also documented, I believe, in the ERDA-6
14 publication.

15 Q. Which way is the dip in Section 2?

16 A. If there's a ridge -- restate that
17 again, please.

18 Q. Is there a ridge in Section 2?

19 A. No.

20 Q. Is there a dip in Section 2?

21 A. Yes.

22 Q. What direction is the dip?

23 A. Dip is to the south.

24 Q. Directly south?

25 A. Maybe -- yes, almost directly south.

1 Q. And from corehole 162 down to AEC-8, at
2 least that area, would be a dip of how many feet?

3 A. You will have to give me the dip on
4 K-162.

5 Q. 1523.

6 A. Okay.

7 Q. And AEC-8 is 1589.

8 A. You have a dip of 1589 -- you have a
9 dip of just right at 50 feet, plus 2002 and
10 you're at 1953. If my quick arithmetic is right,
11 I believe that's 49 feet. So you have 49 feet of
12 south dip.

13 Q. All right. Look over to the right of
14 Section 2 along the edge on the line that you've
15 drawn. I assume you've drawn down from Yates No.
16 5. Do you see that line that goes about
17 two-thirds of the way down Section 1?

18 A. Yes. That straight line?

19 Q. Yes, sir.

20 A. Yes.

21 Q. What is that line?

22 A. That's the depths of zones in the Yates
23 well. The top of the tenth zone there is at
24 1440, and then you see my little 1500.

25 Q. I'm sorry. That's the side of your

1 cross-section?

2 A. If you will, take this and look at it
3 as a block, and those are a slice taken out of
4 the earth.

5 Q. I understood that when you said it a
6 minute ago. But when I was looking at it here --

7 A. All four coreholes are the same
8 vertical scale.

9 Q. Now, up on Yates No. 5, on your dashed
10 line, how did you decide to draw it out the
11 location you drew that out?

12 A. Well, that well is barren.

13 Q. I know it's barren. I don't dispute
14 that. My question is, how did you decide to get
15 the distance you got from the Yates No. 5 out to
16 that dashed line?

17 A. To the east?

18 Q. Yes, sir -- no. No. To the west.
19 Look at Yates No. 5.

20 A. Okay. To the west?

21 Q. Look to the west where the dashed line
22 is you told us about. Do you see that?

23 A. Yes.

24 Q. You put that line on this piece of
25 paper?

1 A. Right.

2 Q. My question is, how did you decide to
3 put it at that particular position?

4 A. Well, I have it west of the ERDA-6.

5 Q. I know you do, but you've also got it
6 coming down below Yates No. 5.

7 A. Oh, you're talking to the southwest?

8 Q. Yes.

9 A. The Graham -- I believe that's the
10 Graham No. 1 at the A location, that has
11 mineralization.

12 Q. Well, let me ask you a different way.
13 Why didn't you come in closer to Yates No. 5 with
14 your dashed line? You stayed away a distance
15 there, didn't you? Do you understand the
16 distance there I'm talking about? May I approach
17 the witness?

18 CHAIRMAN LeMAY: Sure.

19 Q. Let me just point out something.

20 A. You're asking why I didn't draw this
21 line?

22 Q. Yes. Southwest of Yates No. 5, there's
23 a dashed line. Do you see that dashed line?

24 A. Yes.

25 Q. And my question is, after you came

1 around ERDA-6, why did you keep that distance
2 away from Yates No. 5?

3 A. I believe I may have other well control
4 in here.

5 Q. Well, that's my question. Do you have
6 other well control?

7 A. Yes.

8 Q. Why isn't it on the map?

9 A. That data might be proprietary.

10 Q. Do you know if it showed mineralization
11 or not?

12 A. These -- I'll have to get -- I won't
13 answer that.

14 Q. Well, you told us a minute ago that the
15 northernmost Graham No. 1 is mineralized?

16 A. Yes.

17 Q. Okay. And you've got this line that
18 you call barren. How close to Graham No. 1?

19 A. Probably 4-, 500 feet.

20 Q. Okay. Yet you've got the barren line
21 away from Yates No. 5 how far?

22 A. One thousand feet.

23 Q. Are you giving a greater distance of
24 influence on the barren one than you are on the
25 mineralized one? Do you see what I'm getting at?

1 A. I do not think I am. This is a matter
2 of interpretation.

3 Q. Okay.

4 A. And this is the way I interpret it.

5 Q. Different people could put this line on
6 the map at a different location; correct?

7 A. Correct.

8 Q. Competent people could have made a
9 difference in judgment as to where that line
10 ought to go; right?

11 A. You could get two geologists to contour
12 most any map, and I doubt whether they would be
13 similar.

14 Q. Okay. But would it stand to reason,
15 Mr. Lammers, that the distance you stay away
16 from, or the influence you give on a log that you
17 conclude is barren, you ought to give an
18 equidistance on interpretation on a log that
19 shows mineralization; would you agree with that?

20 A. That would be a --

21 Q. Would you agree with me that you have
22 not done that in drawing this dashed line on
23 Exhibit No. 41?

24 A. If you only honor the Yates AIS-5 and
25 Graham 1.

1 Q. If you gave -- let me ask it a
2 different way. If you gave the same
3 interpretation to Graham No. 1, which you said
4 showed mineralization, as you did to the log on
5 Yates No. 5, that dashed line that you drew
6 should be equidistance between the two; right?

7 A. Unless you had an unmineralized well in
8 the northwest-northwest of 1.

9 Q. And we don't know that just looking at
10 this exhibit, do we?

11 A. No.

12 Q. Do you know whether or not the BLM uses
13 gamma or neutron logs for purposes of showing
14 mineralization or the absence of it?

15 A. I do not.

16 Q. Have you ever inquired?

17 A. I have inquired.

18 Q. And what response did you get back?

19 A. The response is they can only make
20 their triangles with core tests.

21 Q. In other words, they don't use them;
22 right?

23 A. That's correct.

24 Q. Now, when you were reading the log of
25 this Graham No. 2, I guess that would be the

1 second one down in the top of Section 2, wouldn't
2 it?

3 A. Uh-huh.

4 Q. When you were looking at the log, you
5 concluded that was barren on the tenth ore zone?

6 A. Yes.

7 Q. And there were no kicks on it; is that
8 what --

9 A. The kick on it is considerably less
10 than the polyhalite.

11 Q. Was there any mineralization shown by
12 the log on Graham No. 2?

13 A. I would not put any mineralization on
14 it.

15 Q. Even though it had some kick on it?

16 A. Correct.

17 Q. And why is that?

18 A. Sylvite reads 500 into infinity API
19 units. Polyhalite reads about 270. If it's
20 reading less than polyhalite, therefore it has a
21 lot less radioactivity. And with the sylvite
22 zone you can do that.

23 Q. Is there anything else in Section 2
24 that you know of that would cause a kick other
25 than potassium?

1 A. No.

2 Q. And the Pogo well, the second one from
3 the bottom in Section 2, does that corehole show
4 any mineralization at all?

5 A. They'd be -- both of those are in the
6 same category. The spike on them is considerably
7 less than the polyhalite spike.

8 Q. And how about the Pogo well down at the
9 end? Did you say that one showed mineralization?

10 A. No. The southeast-southeast?

11 Q. Yes, sir. The southernmost one?

12 A. Uh-huh.

13 Q. Did it show --

14 A. Same category as the other two.

15 Q. Did you use any set standard in what
16 influence you would give to these various holes?
17 Do you understand my question, Mr. Lammers?

18 A. No.

19 Q. Okay. Then let's go directly up to
20 ERDA-6. Your dashed line comes out around ERDA-6
21 at a specified distance, does it not? I don't
22 mean specified. At a measurable distance?

23 A. Yes. Approximately 1,000 feet.

24 Q. All right. How did you arrive at that
25 distance?

1 A. That was arbitrary because I had no
2 control to the north of there, to the northeast.
3 If I -- the Union well gives me control, but I
4 don't know whether the Union well has, say, 10
5 percent, 8 percent, or 16 percent.

6 Q. Do you know whether or not there's any
7 standards that are followed in the basin with
8 respect to the distances that you'll give on the
9 corehole results?

10 A. I think the BLM standard.

11 Q. And what is that?

12 A. I think they use a mile-and-a-half,
13 three holes.

14 Q. And how much influence would they then
15 give the core results in a single hole?

16 A. That I don't know for sure.

17 Q. But you didn't follow those BLM
18 standards in deciding whether to put your little
19 dashed line on here, did you?

20 A. No. But I probably was more than
21 generous keeping it that close to ERDA-6. If you
22 gave ERDA-6 zero, which it has and, you know, I
23 don't have any control to -- but my dashed line
24 is probably at 2 percent.

25 Q. Well, did you look at any of the logs

1 up in Section 16 above Yates No. 5?

2 A. I have no Section 16 on the map.

3 Q. I said Section 36.

4 A. Yes.

5 Q. In fact, in looking at another exhibit,
6 Mr. Lammers -- this is Yates Exhibit 38 -- it
7 shows in Section 36, in addition to Yates No. 5,
8 there are two, four, six, eight, nine more
9 wells. Did you look at any of those logs?

10 A. Yes, I did.

11 Q. And did they show any mineralization?

12 THE WITNESS: I'd have to ask counsel
13 if I could answer that.

14 MR. CARROLL: There is no problem with
15 it, Mr. Lammers.

16 THE WITNESS: We're giving out data
17 that we got ourselves.

18 Q. (BY MR. HIGH) Whatever that data was,
19 it's not shown on Exhibit 41; is that right?

20 A. No. Some of these wells in 36 do not
21 -- they didn't log the salt section. The other
22 one is predominantly barren.

23 Q. Is your only disagreement, Mr. Lammers,
24 with -- let me come back to that in a minute.
25 The blue you show on Exhibit No. 41, you painted

1 that blue?

2 A. Correct.

3 Q. And you don't have any problem with
4 that being -- I assume that blue means
5 mineralized; right?

6 A. That means mineralized.

7 Q. And you don't have any argument over
8 that area shown as being mineralized except those
9 areas that you've talked about here with the
10 dashed line?

11 A. I would have a problem between AEC-8
12 and FC-81. I think if you extrapolate 2.7 and
13 12.3, that red line comes approximately 1/8 plus
14 or minus percent.

15 Q. An extrapolation is a mathematical
16 tool, is it not?

17 A. That's what the BLM uses.

18 Q. And would you agree that wherever that
19 extrapolation line fell on a certain cutoff,
20 that's where that red line ought to be? Assuming
21 the extrapolation is correctly done, would you
22 then have a problem with where the line was?

23 A. Right. I wouldn't have a problem. I
24 don't think -- if it checks out, I just did this
25 in my head.

1 Q. Okay.

2 A. If it checks out at 8 percent, I'd have
3 a problem with it.

4 Q. I would too. Okay. But if that red
5 line falls at a location where through
6 extrapolation it's supposed to be, you wouldn't
7 have any problem with it then, would you?

8 A. No. But I'd want to check.

9 Q. Sure. Assuming the map is correct?

10 A. I think it's too far to the east.

11 Q. Okay. But you don't have any dashed
12 lines drawn over there like you do on the east
13 side, do you?

14 A. The reason I don't is I put -- the last
15 thing I did with this on Labor Day was put the
16 New Mexico -- that's your LMR.

17 Q. I accept that. And my question is that
18 the only place you put a dashed line showing
19 where the LMR should be, as opposed to where it
20 is, is along the east side; right?

21 A. That is correct. However, I'm not
22 privy to the data on the other, so we have no way
23 of checking.

24 Q. And did you arrive at the distance from
25 the Pogo well in Graham No. 2 where the line is,

1 the little dashed line, the distance from that
2 just by using what you thought you were
3 comfortable with in interpreting the data?

4 A. Yes.

5 Q. Now, on this project I'm talking about
6 for Arco --

7 A. Yes.

8 Q. -- Arco did not own a mine at the time
9 you were working on that project, did it?

10 A. No.

11 Q. So Arco was looking to make a rather
12 large investment in not only a mine, but a
13 milling facility?

14 A. That's correct.

15 Q. You can't have a mine without the mill,
16 can you?

17 A. Not unless you can sell the ores.

18 Q. And that would involve a very large
19 expenditure to get in the mining business?

20 A. Along with a conveyer belt.

21 Q. Okay. Do you think there's a
22 difference, Mr. Lammers, in the number of
23 coreholes you would drill if you were considering
24 making an investment like that, as opposed to
25 already having a mine and mill in place, and

1 looking for other ore where you've already made
2 the investment?

3 A. There would be a difference.

4 Q. And if you've already made the
5 investment and you have the mine and mill in
6 place, you want to save and cut down on expenses
7 as much as you can; right?

8 A. I would assume so.

9 Q. And drilling too many coreholes would
10 be an expense, wouldn't it?

11 A. I think we had a saying, "It's
12 difficult to drill too many coreholes."

13 Q. Well, from a geological or geologist's
14 standpoint, you may be entirely correct because
15 you're looking for certainty where none may
16 exist; right?

17 A. You bet.

18 Q. In a mine you're not necessarily
19 looking for that, are you?

20 A. Yes, that's true.

21 MR. HIGH: We have nothing else.

22 CHAIRMAN LeMAY: Additional questions
23 of the witness?

24 MR. CARROLL: Just a couple.

25 FURTHER EXAMINATION

1 BY MR. CARROLL:

2 Q. Mr. Lammers, if you'd look at your
3 Exhibit No. 41, and let's talk about ERDA-6 in
4 Section 35 and also coreholes K-157 and K-158
5 just to the north in Section 26.

6 A. Yes, I see that.

7 Q. Are you located?

8 A. I'm located.

9 Q. All right. Now, as this map is drawn,
10 K-157 and K-158 are drawn in a barren zone; is
11 that correct?

12 A. Yes.

13 Q. All right. And if we used the method
14 of extrapolation that Mr. High and you were
15 discussing a moment ago, if we drew a line from
16 ERDA-6 to K-158, and if both of them are barren,
17 couldn't it also be just as reasonable to say
18 there's no ore at all between ERDA-6 and K-158?

19 A. Certainly. What you could do is take
20 the southernmost barren line and connect it up
21 with the -- or that would be the westernmost
22 barren line and connect it up with my westernmost
23 dashed line, and that would be a very logical
24 conclusion. And you could do the same with the
25 northern line.

1 We're assuming K-157 and 158 are both
2 barren, because it's in their barren zone, and
3 ERDA-6 is barren. There's no reason at all to
4 put the blue in between, like I show it, which is
5 their LMR.

6 Q. So really your dashed line is being
7 very generous?

8 A. Very generous.

9 Q. All right. And in fact, Mr. Lammers,
10 you could also connect up ERDA-6 with FC-81,
11 couldn't you?

12 A. Yes. There's no coreholes to keep you
13 from doing that.

14 Q. And in fact you could then, if you
15 connected it up and perform the same analysis,
16 that would say all of Section 2 is barren except
17 for the area around the one little corehole?

18 A. That's correct. And I think, if I
19 remember right, I may have the geologist from the
20 State Land Commission, Mr. Szabo, is it?

21 Q. Yes.

22 A. I think he pointed that out.

23 Q. In his testimony?

24 A. In his testimony.

25 MR. CARROLL: That's all I have -- oh,

1 excuse me. Was there something else you'd like
2 to add?

3 THE WITNESS: No.

4 CHAIRMAN LeMAY: Additional questions?
5 Commissioner Carlson?

6 EXAMINATION

7 BY COMMISSIONER CARLSON:

8 Q. If I'm eyeballing the four locations
9 that Yates wants to drill on, they'd be in your
10 blue area that shows mineralization; is that
11 correct?

12 A. More correctly they would be within
13 their LMR, blue area.

14 COMMISSIONER CARLSON: That's all I
15 have.

16 CHAIRMAN LeMAY: Commissioner Weiss?

17 COMMISSIONER WEISS: Yes.

18 EXAMINATION

19 BY COMMISSIONER WEISS:

20 Q. Leo, did I hear you say that Arco was
21 going to mine langbeinite?

22 A. Within the basin, we had it fairly --
23 we had a langbeinite deposit.

24 Q. I thought I had heard that nobody knew
25 how to do that or process it except IMC.

1 A. In 1966 they didn't tell us that.

2 COMMISSIONER WEISS: Thank you.

3 CHAIRMAN LeMAY: Couple questions, Mr.
4 Lammers.

5 EXAMINATION

6 BY CHAIRMAN LeMAY:

7 Q. On your gamma ray curve, what was your
8 baseline for polyhalite? Seventy-five units
9 anything --

10 A. Well, let me, if I could, read -- you
11 can get this information on page 143 of
12 Schlumberger's logging book. And the polyhalite
13 has a response of 180, now, and sylvite is 500.
14 And when you -- that's pure. If you mix them
15 with salt, the polyhalite is always going -- the
16 sylvite is always going to be greatest. And
17 whether you want to put it at -- it would
18 probably be 50 API units.

19 It also depends -- in other words, if
20 you would want to do a scale, you find a good
21 polyhalite bed and then go from there.

22 Q. So the ratio is really what you scale?

23 A. Right.

24 Q. Is that affected by casing in a hole
25 versus openhole logging on the gamma ray?

1 A. The gamma ray is the least affected.
2 There again it affects all zones equally. And do
3 you see what I mean? The casing and the cement
4 depress the effect, but it does the same to each
5 one.

6 Q. And is the assumption that we had
7 mineralization progressively from zero to
8 commercial grade, or do we have, like, faults or
9 abrupt terminations of mineralization? Or is it
10 more uniform than maybe some of our oil fields?

11 A. Within the tenth zone?

12 Q. Within the tenth zone you can really
13 pretty well contour from zero -- I mean,
14 percentage-wise from zero to maybe 10 percent
15 mineralization, between a zero point and a 10
16 percent point? What I'm getting at is when
17 you're looking at -- you all work with shows.
18 You have noncommercial mineralization that might
19 indicate proximity to commercial mineralization?

20 A. Okay. In the tenth zone, in any
21 evaporite, I would say it's much more erratic
22 than take the Yates sand. What you have going
23 for you in the Yates or the Queen or any of those
24 Permians is you drill a dry hole, you've got the
25 Yates or the Queen or whatever. You drill a

1 producer, you've still got the Yates.

2 When you drill a dry hole or a dry core
3 test or a producer, you don't -- the mineralized
4 zones are not continuous and they're not like,
5 say, coal where you can trace the seam, you know,
6 all the way around the mountains.

7 CHAIRMAN LeMAY: I have no further
8 questions.

9 Anything additional of the witness?

10 MR. HIGH: I'd just like to follow up.

11 FURTHER EXAMINATION

12 BY MR. HIGH:

13 Q. Mr. Lammers, do you have any mining
14 experience in the potash basin?

15 A. What do you mean by that?

16 Q. Well, you're talking about what
17 happened in the tenth ore zone. Have you done
18 any mining in the tenth ore zone?

19 A. No, I haven't.

20 Q. Have you ever worked for a potash mine
21 in the Carlsbad Basin?

22 A. I worked for one of the largest mining
23 companies.

24 Q. Which one is that?

25 A. Atlantic Richfield.

1 Q. Have you ever worked for a company that
2 has an operating mine in the potash basin?

3 A. No.

4 Q. So you don't have any idea of what's
5 going on down in the mining horizons when a mine
6 is mining on the tenth ore zone, do you?

7 A. Just from when I've been in the mines.

8 Q. But you've never been there in a
9 working capacity or a supervisory capacity over
10 the mining operation, have you?

11 A. No I've never been in a potash mine in
12 a working capacity.

13 MR. HIGH: Thank you.

14 CHAIRMAN LeMAY: Any questions of the
15 witness?

16 If not, he may be excused. Let's
17 recess until 2:15. Thank you very much for your
18 timing in this, gentlemen. I appreciate it.

19 [A recess was taken.]

20 CHAIRMAN LeMAY: We'll continue. Mr.
21 Carroll.

22 MR. CARROLL: Thank you.

23 MR. CARROLL: Our next witness will be
24 Gary Hutchinson.

25 GARY L. HUTCHINSON

1 Having been duly sworn upon his oath, was
2 examined and testified as follows:

3 EXAMINATION

4 BY MR. CARROLL:

5 Q. Would you, please, state your name,
6 place of residence, and occupation?

7 A. Gary L. Hutchinson. I live at 956
8 South Elizabeth, Denver, Colorado. I have a
9 minerals management consulting business.

10 Q. Mr. Hutchinson, would you first start
11 with -- let's start with your educational
12 background.

13 A. I have an engineer of mines degree from
14 the Colorado School of Mines. I have a master's
15 degree from the same institution in mineral
16 economics.

17 Q. Did you write a thesis with respect to
18 your master's degree, Mr. Hutchinson?

19 A. My degree was through an executive
20 program. We had to write many papers. We did
21 not have to write a thesis.

22 Q. But that master's degree was in mine
23 economics?

24 A. Mineral economics.

25 Q. Mineral economics. Are you a member of

1 any professional societies or organizations?

2 A. Oh, many. Among them AIME,
3 International Association of Energy Economists.
4 There is a new organization that I'm a founding
5 member of concerning mineral economics,
6 principally in the United States. I've forgotten
7 the name of it.

8 Q. Mr. Hutchinson, how long have you been
9 involved or has your work experience period been?

10 A. I began working in the heavy
11 construction industry when I was 16 years old. I
12 worked my way through college. And upon
13 graduating from the Colorado School of Mines in
14 1962, I pursued a career in the heavy
15 construction industry, principally in major
16 underground structures, powerhouses, subways,
17 shafts.

18 In the early 70s, mid-70s I was working
19 for S. J. Groves & Sons Company. I had started a
20 tunnel division for them. The president of the
21 company asked me to do some development, business
22 development work, and that took me to Saudi
23 Arabia, Brazil, Central America, but mainly to
24 the west, western states, to look into the mining
25 industry. We started a mining company there. A

1 few years later we started an oil and gas
2 company.

3 In the beginning of 1981, I started my
4 own consulting business. And since then I've had
5 many projects principally in the management and
6 evaluation of all minerals properties including
7 oil and gas.

8 During that period of time, I founded a
9 small oil and gas exploration company, which was
10 quite successful, and sold my share of that in
11 1985.

12 I managed the entire mineral estate of
13 the Rock Island Railroad while it was in
14 trusteeship through liquidation. I continued to
15 manage it as a reorganized company and then a
16 large financier in Los Angeles bought those
17 minerals and much real estate from the railroad,
18 and I continued to manage those minerals plus his
19 for several years.

20 Q. Mr. Hutchinson, with respect to the
21 kind of problem we have or are experiencing with
22 this particular case, we have two competing type
23 interests applying to develop the minerals that
24 they're interested in.

25 Have you had any direct experience in

1 handling situations like that or mediating a
2 situation where you have two competing forces
3 trying to mine minerals and to develop where one
4 may in some way interfere or make inconvenient
5 the development of the other?

6 A. Yes. Many times when I was managing
7 the Rock Island Railroad minerals, I'll call
8 them, we had 15,000 parcels in 12 states, and I
9 think we had 600 wells in total, 60,000 acres of
10 coal reserves, and some other minable minerals.
11 Most of the revenue was from royalties. That was
12 my mandate: Maximize our long-term royalty.

13 And as a matter of course, I did
14 resolve many conflicts between the petroleum
15 companies that we had granted leases to and the
16 coal companies. Primarily those were in Oklahoma
17 and Texas.

18 Q. Basically then your work experience has
19 covered three areas: mining engineering, mine
20 economics, and minerals management?

21 A. Yes, with a considerable amount of time
22 in the very competitive heavy construction
23 industry.

24 Q. Now, Mr. Hutchinson, have you had
25 occasion to testify before regulatory agencies

1 within the United States?

2 A. Yes, I have.

3 Q. What states have you testified before?

4 A. In Oklahoma, Texas, and in Kansas.

5 Q. Have you had your credentials as an
6 expert in these fields that you have just talked
7 about accepted before those agencies or within
8 those states?

9 A. They were primarily in oil and gas and
10 mining.

11 Q. All right. You have not testified
12 before the Oil Conservation Commission or
13 regulatory agency within the state of New Mexico,
14 have you?

15 A. No, I have not.

16 Q. Have you managed properties in and
17 around the state of New Mexico?

18 A. Yes, in a couple of instances. I
19 evaluated a very large company for purchase or --
20 it wasn't actually for purchase. It was for
21 really a breaking up of the company with
22 considerable property in the San Juan Basin and
23 just across the Colorado line in an industry that
24 is probably more prevalent in New Mexico than in
25 Colorado. I was the Court-appointed receiver of

1 some coalbed methane gas wells.

2 Q. So your experience does cross over both
3 the mining and petroleum industries?

4 A. Yes, it does.

5 MR. CARROLL: Mr. LeMay, I would tender
6 Mr. Hutchinson as an expert in the fields of mine
7 engineering, mine economics, and minerals
8 management.

9 CHAIRMAN LeMAY: He is so qualified.

10 Q. (BY MR. CARROLL) Now, Mr. Hutchinson,
11 as a consultant there has to be a beginning point
12 for your involvement in any case. Could you
13 explain to the Commission just exactly how your
14 involvement in this case began and how your
15 research and study began?

16 A. Well, all of my consulting business
17 comes from law firms or predominantly from law
18 firms, mainly law firms involved in mineral law.
19 And from other, you know, large consulting
20 companies that know of me and my special
21 expertise.

22 A consulting firm representative called
23 me early this year, probably in early April, and
24 asked if I was available to work on a problem
25 that involved both oil and gas and mining, and I

1 was the only one that he knew of that could do
2 that. And he put me in touch with the Yates
3 Corporation, and I talked with their
4 representatives and traveled to Artesia to see
5 what was on their mind and whether or not I could
6 help.

7 Q. What did you conclude after your
8 contact with Yates Petroleum?

9 A. Well, we had a short meeting one
10 afternoon and -- not really a short meeting, but
11 they identified the problem, as they saw it, that
12 they were being kept out of what we know now as
13 the -- or I know now as the New Mexico Potash
14 area, and that they knew mining was important to
15 that area. I mean, after all, they're
16 headquartered in Artesia, just a few miles from
17 this area.

18 But they were troubled that they
19 weren't getting a fair shake on whether or not
20 they could get in and drill some wells. They
21 gave me about 8 inches of documents to read that
22 night, and the next day I went back and told them
23 that they had some -- they did have some major
24 problems; that there were a lot of safety issues
25 that I had read about; and that they might have a

1 real difficult time.

2 They asked me if I felt that I could
3 try to help them in interpreting for them what
4 really goes on in the mining industry to see if
5 we could work together and solve their problems
6 without compromising my situation, being a mining
7 engineer and deriving some of my revenue from
8 that industry.

9 I told them that I would be happy to do
10 that; that I had done it in the past. I thought
11 I could help them at least understand the
12 problems of the mining industry. And I extracted
13 from them a commitment that, if I were to see a
14 situation in this project where I thought they
15 were out of line or wanted to do something in the
16 potash mining area that I felt would hurt a
17 mining company, I would tell them and they would
18 respect my judgment, and they agreed to that.
19 And they have lived up to that agreement to this
20 day.

21 Q. I take it that an agreement was
22 reached, and you performed some kind of initial
23 review of that; is that correct?

24 A. Yes. I told them I needed, I think,
25 three weeks to digest the information that they

1 had given me and to do my own research. After
2 that period of time, I went back with what I
3 thought to be an identification of the problems
4 and a plan to attack those problems in a
5 constructive way.

6 Q. What were those problems that you
7 identified?

8 A. Well, there are really maybe as many as
9 half a dozen problems, four really predominate.
10 The potash mines are fighting for their economic
11 lives. They've got a tough uphill battle to
12 fight. They're price takers in an economic
13 sense. The Yates people understood that because
14 that's what they are too.

15 I discovered that there had been
16 considerable misinformation being projected by
17 the potash industry representatives towards the
18 regulatory agencies. That was certainly my
19 opinion.

20 The oil and gas companies were
21 frustrated, very frustrated, by the unilateral
22 abilities of the mine companies to arbitrarily
23 keep them from drilling. And the frustration was
24 founded in the fact that they were just unable to
25 get any information to confirm or deny whether or

1 not they were encroaching upon mining rights.

2 Even through the BLM or the state,
3 specific information was totally withheld and in
4 confidence. And you fellows know a lot more
5 about the history of that than I do. I'm just
6 talking about the problems that I identified
7 early this year.

8 Yates, to reiterate, Yates did not want
9 to interfere with the legitimate mining plan or
10 place any mining operations in jeopardy as a
11 result of its operation. So that was my starting
12 point.

13 Q. Mr. Hutchinson, you have mentioned the
14 problem of this confidentiality of material. Was
15 there sufficient material in your opinion,
16 available to you in the realm of public
17 information, to be able to perform the tasks that
18 were placed on you by Yates Petroleum and would
19 enable you to render some expert opinions with
20 respect to the main question that we have before
21 us, and that's whether or not the drilling of
22 these four wells will create an undue waste of
23 commercial potash?

24 A. All of the information that I had
25 gained at that point was public information. It

1 was information that I dug out of the libraries
2 and out of my own files and my economic
3 evaluation.

4 So understanding the limitations and
5 the background and workings of your regulation,
6 R-111-P, I told the Yates people that probably
7 the best thing I could do for them would be to
8 analyze the situation based on only public
9 information; that I did have an appreciation at
10 that point for the competitive industry in New
11 Mexico that the New Mexico Potash operators are
12 in. They're fighting tooth and nail to dispose
13 of their product in a very tough market where
14 they can't set their own price. And that I could
15 appreciate within certain limits that they needed
16 to have that confidence -- some of the
17 information kept confidential.

18 So with that presentation to Yates they
19 said, "Have at it," and I then put together the
20 information that I have for this hearing on what
21 I believe to be 100 percent public information.

22 Q. Well, Mr. Hutchinson, have you formed
23 an opinion as of today's date, with respect to
24 whether or not the drilling of the four subject
25 wells would create an undue waste of commercial

1 potash?

2 A. Yes, I have. It's my opinion that
3 there are no economically minable reserves in
4 Section 2 today. And without economical reserves
5 to exploit, no mining of potash will take place,
6 and therefore the drilling of an oil or gas well
7 will not result in the waste of economic potash.

8 Q. Would you explain for the Commission
9 how you reached that opinion?

10 A. Again discovering that the potash
11 production and marketing information was being
12 held confidential by the companies and the
13 regulatory bodies, I started digging up public
14 information on the industry and how it's
15 regulated in New Mexico.

16 Looking for a starting point, I did
17 concentrate on R-111-P and therein really found
18 the reason for the petroleum industry's
19 frustration. As you're aware, no drilling is
20 allowed within the LMRs without the permission of
21 the mining company. The mining companies may
22 unilaterally determine the extent of their LMRs.

23 The state regulatory agencies
24 apparently have no right to question the validity
25 of the LMRs. And if they do have the right,

1 which it doesn't appear that way to me, they do
2 not have the technical expertise or information
3 to make a judgment as to the validity of the LMR
4 as it is defined in R-111-P.

5 In my opinion the R-111-P was not
6 written with an eye towards practicality of
7 allowing the industries to work out compromises
8 through regulation, but very craftily drafted to
9 hold oil and gas development at bay
10 unilaterally.

11 It's my understanding, however, that
12 R-111-P should not be the subject of these
13 proceedings and that the Commission has the right
14 to grant exceptions to the rule, which disallows
15 drilling within the LMR, which brings us to this
16 point.

17 Q. All right. So on that basis you have,
18 I guess, planned or organized your testimony
19 then?

20 A. Yes. Being an engineer, really growing
21 up with an engineer, I'm accustomed to working
22 with natural laws. I researched the economic
23 laws of supply and demand, laws bendable by
24 regulation in the short-run, but not breakable in
25 the long-run.

1 The economic research enabled me to put
2 the conflict into perspective and to better
3 understand the position of the potash industry in
4 New Mexico and to project that understanding to
5 my client and now this Commission.

6 In fact, the questions before us will
7 ultimately be determined by economic forces. For
8 one, the question of how long and at what rate
9 the existing mines can produce muriate of potash
10 into the marketplace and then the pressure of the
11 loss of oil and gas revenues to the state.

12 Correspondingly, without access to the
13 specific information now held confidential, the
14 best source of information for analysis is supply
15 and demand characteristics of the industry to
16 which all mines must comply sooner or later in
17 our capitalistic society.

18 MR. HIGH: Excuse me, Mr. Lemay. Could
19 I get a copy of what Mr. Hutchinson is reading?
20 I don't have a copy in the exhibits.

21 MR. CARROLL: It is not an exhibit. It
22 is something that I prepared for the use of Mr.
23 Hutchinson and myself. And there really aren't
24 any copies without my notes and thoughts in it.
25 I'm not sure that he's entitled to it. We don't

1 propose to introduce it as an exhibit. He's
2 testifying to it, and it's really just an aid for
3 us because this is lengthy testimony to keep
4 track of where we're going.

5 MR. HIGH: I'm entitled to it in
6 preparation for cross-examination. I mean, the
7 witness can't read something that I can't
8 cross-examine from.

9 THE WITNESS: I prepared these notes.
10 I have a lot of things to talk about. This is a
11 very complex problem. And I'd have to be about
12 300 years old to get up here and repeat this from
13 my brain only. I am unable to write longhand due
14 to an accident, so I am able to type, and that's
15 where this comes from predominantly.

16 CHAIRMAN LeMAY: Let me ask Bob Stovall
17 to give us his opinion of whether that
18 constitutes.

19 MR. STOVALL: You guys are really doing
20 a job of testing my rules of evidence. At least
21 I brought the book this time.

22 Mr. Chairman, what I'm going to suggest
23 is, while I look this up, I think you can proceed
24 with the question.

25 MR. HIGH: 26. Look at Rule 26.

1 MR. STOVALL: Thank you, Mr. High.

2 And then I'll get you an answer.

3 CHAIRMAN LeMAY: Can we proceed with
4 the testimony and then when Stovall has an answer
5 he'll break in and give us a legal opinion?

6 MR. HIGH: That's fine.

7 Q. (BY MR. CARROLL) Would you continue?
8 I'm not sure exactly. I guess right now you have
9 testified that you did perform some economic
10 research and you have prepared certain exhibits,
11 have you not, to aid in presenting the results of
12 this research to the Commission?

13 A. I have. And I've blown up, so that I
14 can talk from that, and you all have 8-1/2-by-11
15 copies of these. But it might be --

16 MR. STOVALL: I need to go off the
17 record for a second.

18 [A discussion was held off the record.]

19 THE WITNESS: This shows US potash
20 consumption thousands of metric tons of K_2O ,
21 years from 1981 to 1991. This black vertical
22 column is consumption in any given year. The red
23 line is the price in 1991 dollars. You would
24 think that as price drops, demand would go up.
25 That isn't the case in potash.

1 This aberration here in 1984 shows up
2 that demand is really not purely a function of
3 price. Other considerations where the demand in
4 the last four years has been relatively constant,
5 the price has, in constant dollars, been
6 relatively constant also.

7 Trying to figure out why potash doesn't
8 respond to what we think would be normal supply
9 and demand curves --

10 Q. (BY MR. CARROLL) This is Exhibit 43,
11 is it not?

12 A. This is Exhibit 43. I apologize. This
13 shows agricultural demand, this line with the
14 open squares, again for a ten-, eleven-year
15 period, shows the crop income -- or excuse me,
16 the consumption. The crop income to the farmers
17 is shown in the line that has the solid black
18 points along it. You can see that crop income
19 generally declined from 1981 to a low in 1987.
20 Then it's climbed back up to where it is in
21 1991.

22 Thinking about what causes a big
23 fluctuation in crop income, as you all may know,
24 we're a big exporter of food in this country. We
25 supply the world with a lot of food. But if our

1 dollar is strong, we don't sell much food to
2 other countries.

3 And when I plotted and lagged by year
4 the dollar strength, I found a pretty good
5 indication that when the dollar is strong, crop
6 income is going to be low. When crop income --
7 or when the dollar drops, crop income increases.

8 Q. Now, when you speak on this exhibit, US
9 consumption, you are talking about the
10 consumption of potash; is that correct?

11 A. Yes, muriate of potash in terms of
12 metric tons of K_2O or prices per metric ton of
13 K_2O .

14 Q. And the conclusion to be drawn from
15 this exhibit is that basically consumption of
16 potash follows the rises and falls of farm
17 income?

18 A. Rather than the price, it's more of a
19 function of what the farmers want. And I don't
20 think I have to tell this group that potash, the
21 potassium in potash is a necessary ingredient for
22 crops, along with phosphorous and nitrogen.

23 Q. This next exhibit is 44?

24 A. Yes, Exhibit 44. I took all the
25 information I could find across the X axis.

1 Horizontally we have thousands of metric tons
2 consumed. And on the abscissa, we have the price
3 in 91 dollars per metric ton of K_2O .

4 In 81 we had a very high consumption
5 and a very high price. That was great for
6 everybody. In 82 it dropped down to here. 83 is
7 here. 84 it went back up. I mean, consumption
8 went from 5.2 million tons way up here to almost
9 6 million tons. Then in 85 it dropped down
10 here. 87 and 86 was a terribly bad year. And,
11 lo and behold, here we are with the highest
12 strength of dollar we've had in the last ten
13 years. 87 started moving back. Then we hit 88,
14 89, 90, and 91.

15 What I was looking for here is getting
16 the other problems, or the other influences on
17 the price of potash out of the picture. I'm
18 looking for a demand curve so that we can
19 anticipate, since we did find a trend -- I was
20 happy to find that -- that at a given within this
21 range at a given demand, we can anticipate a
22 price.

23 The next I did was try to figure out
24 where the potash supply to US came from.

25 Q. That would be Exhibit 45; is that

1 correct?

2 A. Exhibit 45, correct.

3 A. Again these tall solid black lines, in
4 terms of metric tons of K_2O , represent the US
5 demand. That's how much we consumed each year.
6 The gray crosshatched indicates the same tons
7 imported from Canada. The red on mine -- and
8 yours may not be colored red; it may just be the
9 short line here that has dots on it -- that
10 indicates the amount of potash that went into the
11 US -- or that was produced in New Mexico.

12 So you can see this gave me a good idea
13 of what the relative importance of potash from
14 New Mexico was to the US demand. I had read in
15 some of the publications information that led us
16 to believe that this is much stronger than it
17 actually is.

18 Q. It would appear from this exhibit that
19 the US demand is somewhat less than 50 percent
20 supplied by New Mexico; is that correct?

21 A. Oh, it's far less than 50 percent.
22 It's -- well, last year it was 1.5 million tons
23 of K_2O , and the demand was over 5 million tons of
24 K_2O , so less than 30 percent.

25 There are some considerations that we

1 need to take into account here that I'd like to
2 mention that came across. The Canadian
3 production does come from Saskatchewan, just
4 north of our border.

5 New Mexico does have a unique industry
6 in the potash basin, and that's the production of
7 sulfates of potash here from the mineral
8 langbeinite. And it's in -- it demands a very
9 high price. The quantity demand is quite low
10 because of the high price, I assume. But there
11 are certain crops that just need to be treated
12 with sulfates of potash because the soils are
13 chlorine sensitive, and normally potash is
14 shipped as potassium chloride.

15 So grapes, tobacco, many fruit crops in
16 areas that just, you know, have a
17 chlorine-sensitive soil have to use this stuff to
18 be their source of potash for their plants. I
19 haven't really dealt with that too much. I can
20 answer questions about it. But New Mexico Potash
21 doesn't produce any sulfates of potash. And so,
22 you know, it may be of academic interest to us,
23 and I'll be happy to answer any questions, if you
24 would like.

25 A couple of other things came out of

1 this study. I found that there have been some
2 trade constraints. If you'll look at the
3 Canadian input here, it's declined a little bit
4 from its high in 1984, but it's remained somewhat
5 steady through here. I found, because I knew
6 they had lots of unused capacity up there, I
7 discovered that there is an anti-dumping
8 agreement that expires at the end of this year.

9 Also, looking through the literature,
10 the Bureau of Mines does a study of critical
11 minerals to the US economy. And they don't find
12 potash to be critical at all because our biggest
13 trading partner in the world is right across the
14 border. And in fact any day now, I think, if it
15 hasn't already come out, we'll have a North
16 America Free Trade Act, and it will be
17 interesting to see what's in that as far as
18 potash goes.

19 The other thing that is going on is
20 that the European economic community is gradually
21 coming together, and it will be coming together
22 more so over the next few years. They will
23 surpass the US and Canada as the biggest market
24 in the world when that happens.

25 Getting back to what goes on with --

1 I'll give you a picture of where New Mexico fits
2 in this potash picture. Here's approximately
3 where -- a focal point of where most of the
4 potash is produced in Saskatchewan.

5 Q. This is Exhibit 46, is it not, Mr.
6 Hutchinson?

7 A. Correct. Just keep kicking me in the
8 shins.

9 This is the New Mexico area. This
10 shows the sylvite designation as having dots on
11 it. And you can see how small this is compared
12 to how large this is. Take note of this. Up
13 here in the Michigan basin, which they have their
14 own evaporites up there and also produce some oil
15 -- some into my pocket, I hope -- they have some
16 large sylvite deposits up here.

17 Earlier today someone spoke of the Kane
18 Creek area, or the Kane Creek mine in Utah, it's
19 located here, close to the Utah-Colorado border,
20 towards the southern part of it. So those are
21 really the principal things. Texas Gulf Coast,
22 but that's underwater.

23 This is one that we need to watch for
24 in the future. They currently have a pilot plant
25 up here trying to solution mine sylvite. It's

1 still in the pilot plant stage.

2 On this map this brown area -- there's
3 one state here of Missouri that is both brown and
4 blue. But the brown reflects from year to year
5 55 to 70 percent of the US demand from both the
6 US and Canada.

7 The blue areas, Florida, Louisiana,
8 Arkansas, part of Missouri, Kansas, Texas, of
9 course, and California represent 70 to 75 percent
10 of the potash that's produced in the US. And
11 since approximately 85 to 87 percent of the
12 potash that's produced in the US is produced
13 right here in New Mexico, most of it comes from
14 New Mexico.

15 The relative volumes here are reflected
16 in the greater demand -- excuse me, greater
17 demand for potash by corn crops. Corn requires a
18 lot more potash than wheat. You notice some red
19 lines on here. This is 500 miles from
20 Saskatchewan as the crow flies. This is 500
21 miles from Carlsbad. This is 1,000 from
22 Carlsbad. 1,000 from Saskatchewan. Out here
23 this little "x" shows where the 1,500 mile
24 circles would intersect.

25 You would think then that it's natural

1 being in close proximity that most of the potash
2 from Canada would go to where the demand is
3 greatest or the market here would derive its
4 supply from Canada. But these -- connecting
5 these you would see where they were approximately
6 equidistant. You'll find Ohio, Indiana, and
7 Illinois are kind of on the fence.

8 Now, Missouri gets approximately 60 to
9 70 percent of its potash from New Mexico, but
10 it's the largest. It provides the largest demand
11 for New Mexico potash, and it's purely a subject
12 of transportation advantage.

13 All potash is provided at a minimum
14 grade, at least by the North American producers.
15 The Russians are also big potash producers.
16 Their grade isn't quite as good as ours. So
17 these are all based on the same minimum grades.

18 What happens in these states that are
19 kind of on the fence is that Ohio only derives 3
20 to 4 percent from New Mexico; Indiana, 5 to 15
21 percent, and Illinois, 2 to 12 percent. That's
22 over a period of time. That's why there's a
23 fluctuation there. But some of this,
24 particularly in Ohio, is sulfate of potash, so it
25 colors a little bit. New Mexico is the only

1 place they can get it.

2 I would draw your attention to this red
3 dot up here. That's in New Brunswick. There are
4 two mines being developed, a third mine
5 contemplated. I think all three of them, if my
6 information is correct, will be mined by
7 US-backed companies.

8 They have found a deposit of sylvite,
9 which develops into muriate of potash, the big
10 demand here, that are 12 to 25 feet thick with a
11 30 percent grade. That means they only have to
12 mine 2 tons at that rate to make a ton of
13 product. That by water is going to hurt some of
14 the other muriate producers, including these in
15 Saskatchewan.

16 Q. Now, Mr. Hutchinson, a minute ago you
17 were talking about the percentages of New Mexico
18 potash going to some of these states, Ohio
19 Indiana, Illinois. I note on your exhibit there
20 are written in percentage points. And it
21 appeared that you were reading that those are the
22 numbers, and that's the purpose on these
23 exhibits?

24 A. Yes. That's to give you some idea of
25 the total consumption of that state, how much

1 comes from New Mexico.

2 Q. So in Wisconsin, 2 percent or a
3 fluctuation between 1 and 2 percent; is that
4 correct?

5 A. That's right.

6 Q. And Minnesota would be the same amount?

7 A. That's correct.

8 Q. And then Iowa was between 8 and 11
9 percent?

10 A. That's right. Missouri is where it
11 really jumps up, and Kansas is much closer, but
12 there's a transportation advantage there.

13 I mentioned the development of the in
14 situ mining technology will further compromise
15 the New Mexico share of the market. It will also
16 hurt the Canadians because they're sitting right
17 here by Wisconsin and Minnesota, which are very
18 large consumers because of the demand for their
19 wheat.

20 Just as a matter of interest, I'll
21 stick a small map up here for a second.

22 Q. This is Exhibit 47, is it not?

23 A. Yes. This is sulfates of potash. And
24 the major consumers, as we would guess,
25 California, with all of its agricultural industry

1 is great. Georgia. Florida. North and South
2 Carolina are fairly strong. Texas needs a lot of
3 it. As I mentioned before, Ohio. But it just
4 gives you -- you can bet that the Seral Lake
5 evaporites out here, all of that goes to
6 California. Some of it is exported.

7 Also much of the sulfate -- many of the
8 tons of sulfate of potash from New Mexico are
9 exported. There's quite a demand in South
10 America particularly for that product.

11 Q. Is it a fair statement then, Mr.
12 Hutchinson, that based on this analysis of US
13 demand and the effect that supply location has on
14 it -- have you reached any conclusion with
15 respect to that?

16 A. Would you --

17 Q. As I understand then, what you've been
18 telling us, is that there are severe limitations
19 being placed on the growth of this industry
20 because of these considerations that you're
21 talking about; is that a fair interpretation?

22 A. No question about it. I mean, there
23 are huge supplies of muriate of potash out here,
24 which is New Mexico's biggest product. And they
25 just have -- not only have a production

1 advantage, they have a big transportation
2 advantage.

3 Certainly New Mexico will maintain its
4 shipments to Texas. Arkansas most likely.
5 Missouri is on the cusp, and some years it
6 fluctuates. I found one year where only less
7 than 5 percent of the potash that went -- that
8 was used in Missouri came from New Mexico. But
9 that's -- maybe there was a railroad strike or
10 something that year that would have caused it.

11 So getting back to the langbeinite, to
12 give you some picture of what that means in the
13 overall scope of things, I calculated that only
14 3-1/2 percent of potash demand in the United
15 States is for sulfates of potash. And 14 percent
16 of the total produced in New Mexico is that, and
17 most of that is exported.

18 Q. In talking about the grade of potash,
19 how do the New Mexico mines compare to the
20 Canadian mines?

21 A. The Canadian mines that I've researched
22 have in-place-grades -- all are in excess of 25
23 percent. The average is maybe 28 -- 27 to 29
24 percent K_2O in the ground drill-indicated
25 grades.

1 In New Mexico, not considering
2 langbeinite because it's a whole different ball
3 game, but grades that I'm aware of that are being
4 mined right now will vary anywhere from a low of
5 11-1/2 percent up to 18 percent. The average is
6 probably in the neighborhood of 13-1/2 percent.
7 It will be a little bit higher on a comparative
8 basis to drill indicated reserves, maybe in the
9 neighborhood of 15 percent as an overall
10 average.

11 So we're a little less than half --
12 we're a little more than half the grade on an
13 apples-to-apples basis that the Canadians have in
14 place.

15 Q. What about the thickness of the
16 deposit? Is there a difference there?

17 A. Oh, quite a difference. In Canada the
18 thicknesses go from maybe 9 feet to 20, 21 feet.
19 Here the thicknesses are mined, and I might add
20 very efficiently mined, at 4 feet. Average
21 probably being in the neighborhood of 6-1/2 feet,
22 including the langbeinite mines. But in the
23 neighborhood of 6 feet.

24 Q. What are these differences in
25 percentage of K_2O and the thicknesses of the ore

1 body play with respect to the competitive
2 advantages that one -- that Canada may or may not
3 have over the United States?

4 A. Well, certainly the cost of production
5 when you have such a high grade and the cost of
6 producing a milled product is going to be much
7 help. For example, I had worked out some numbers
8 here that -- digging deeply for information.
9 Some costs per metric ton of ore mined, hoisted,
10 and milled measured as that amount mined and
11 hoisted and sent to the mill, but including the
12 cost of milling per metric ton are approximately
13 \$15.18 at Horizon; \$27.67 at Western Ag; and
14 \$25.35 from the studies made by the US Bureau of
15 Mines, which fall in line.

16 Now, there's quite a disparity between
17 the Western Ag prices and Horizon because Horizon
18 is mining in a much softer bed with continuous
19 miners that were especially made for that mine
20 and that the Western Ag mine, which mines
21 langbeinite exclusively, has to drill and chute
22 their ore. Mr. Lammers testified that there's a
23 much higher density. And that causes the
24 requirement for them to drill and chute their
25 ore. That's going to add considerably to the

1 cost of producing that ore. I don't know what it
2 does in the milling process because that
3 information is just not available to the public.

4 Compared to that, just on a cost per
5 ton, 2204 pounds coming out of a mine in Canada,
6 based on information I was able to get from
7 public companies there, they're mining at the
8 rate of \$10.84 a metric ton. Well, without
9 anything to do with grade so far, I think one of
10 the most efficient mines here is their cost per
11 ton is about 50 percent over the Saskatchewan
12 costs.

13 So with a higher cost in New Mexico --
14 or let's back up a minute and let's just say that
15 -- okay. Let's say that any given mine in New
16 Mexico can be so efficient that it can compete
17 with the \$10 to \$12 that they're able to mine and
18 hoist a ton out of the mine in Canada. We look
19 at the difference in grade. And using a raw
20 product of 12 to 18 percent and after accounting
21 for clay seams, as Mexico Potash has to do,
22 Horizon doesn't have to do, trying to give you
23 some idea of what the range might be, I hit upon
24 what I think to be a generous grade delivered to
25 the mill of 14 percent K_2O on average.

1 That means to ship 60 percent K_2O , you
2 divide 60 by 14, you get about 4.25 tons of ore
3 -- must be mined, hoisted, and milled to make a
4 ton of product; whereas, in Canada, if their
5 production grade to a mill is 25 percent,
6 including dilution and the same factors that we
7 have here, they only have to mine 2.4 tons.

8 So you can take any number per ton you
9 want. If your mine has to hoist 4-1/4 tons and
10 somebody else's mine only has to mine and hoist
11 2.4 tons, you're in trouble, if everybody is
12 operating from the same basis.

13 Q. So basically what you've described,
14 there is a natural competitive advantage that the
15 Canadians have over the United States?

16 A. It's tremendous. And there's
17 absolutely nothing that anybody can do about it.
18 It's there and exists, and it shall continue to
19 exist because their deposits are so huge.

20 Q. What then is your conclusion about the
21 future of the New Mexico potash industry?

22 A. Well, the Canadians must have hired a
23 mineral economist or something. And when they
24 got into trouble with our US Department of Labor
25 and Commerce -- or I guess it was the Commerce

1 Department that brought the anti-dumping suit or
2 threatened it. And their economist told them
3 that, hey fellows, look at what's going on in
4 Saudi Arabia. Those guys over there can produce
5 a barrel of oil for two bucks, but they're
6 producing now after 1985 -- 86, I guess, when our
7 price of oil got so low and the Saudis showed us
8 who was boss -- they will produce up to what we
9 call their marginal revenue.

10 Now, in a competitive industry all of
11 the producers produce up to their individual
12 marginal cost. So that when that next item of
13 production, that next ton in this case, goes out
14 of their mill and they have lost money on it,
15 they're not going to ship that ton.

16 But the Canadians are sitting up there
17 saying we don't have to do it that way, fellows.
18 We'll just mine up to the point where the next
19 ton is going to reduce our profit margin, and
20 that's where they stop. Through that they can
21 set the price. They'll go to a demand curve that
22 they generate, like I showed you, and they'll
23 say, okay, here's what -- if we go over this
24 production rate per year, we'll lose money; we
25 won't make as much profit. They won't lose money

1 at all. We won't make as much profit. So let's
2 stop here. They go up to the command curve, and
3 they find out what that price is and they set the
4 price there.

5 Now, the marginal operators, which we
6 clearly have here in New Mexico, have to take
7 that price. They have no choice. And so they
8 are marginal producers. Individually they can
9 just produce up to a point where they actually
10 lose money. But with the age of the industry
11 here in New Mexico, they actually produce up to
12 where they have a negative cash flow.

13 Q. Mr. Hutchinson, what you've just
14 described is very similar with respect to the
15 experience the United States petroleum industry
16 has had in the petroleum market in the Arab
17 countries?

18 A. That's correct. And I think Randy
19 Patterson said he thought \$20 was great. Well,
20 Yates, believe me, doesn't have any control over
21 that price. That price is set by the OPEC
22 countries, and I think he alluded to that.

23 Q. And the major mechanism is the amount
24 of supply. And if that increases, the price goes
25 down; as that decreases, the price will go up?

1 A. Yeah. The Canadians could bury us any
2 time they want, but it's a politically very
3 unwise thing for them to do, wanting to negotiate
4 this North America Free Trade Agreement.

5 Q. If you'd continue on. I apologize for
6 the interruption.

7 A. I've hit upon supply here in New
8 Mexico. Let's just take all these down.

9 Q. Your next exhibit will be Exhibit 48;
10 is that correct?

11 A. Right. I want to give credit where
12 credit is due. This chart came out of the
13 "Miner's Bible" that we spoke of earlier. Not
14 all of that information in there is bad. This is
15 particularly good. The shows, going back to
16 1931, the mines as they came on stream and what
17 year they came on stream and what cumulative
18 production was sold.

19 So you would think that this is
20 probably the most efficient mine with the best
21 reserves, next and next, on up here. This tells
22 who the players are. You would think that the
23 last mine to come on-line would be the most
24 marginal mine. That's the way it works in the
25 manufacturing industry, and that's really what

1 we're doing here, is manufacturing a product for
2 sale.

3 By the same token in a declining
4 economy, which, you know, this one started to
5 decline as early, as far as this chart goes, as
6 early as, oh, 1966 or so. I don't know, I didn't
7 plot what happened to it here, but the essence of
8 my comment is to say that if mines were going to
9 shut down, they would shut down in the reverse
10 order unless they ran out of reserves.

11 And, sure enough, that's what
12 happened. In 1985 the Kerr-McGee mine sold for
13 \$3 million. Clearly and purely an abandonment
14 price. Kerr-McGee wanted to get out of
15 business. Their mine was not economic. It did
16 not meet their big company plans. And you can
17 see \$3 million worth of salvage value out there
18 in the equipment.

19 Logically the next mine to close would
20 then be the AMAX mine, which is No. 6 here. No.
21 Excuse me. The next one to close would be the
22 National Potash Company. And it got itself out
23 of sync. It was really the first one to close in
24 1982. Of course, Kerr-McGee has not closed. It
25 just changed ownership at a very nice price to

1 the current operators.

2 Q. Now, the current operator is New Mexico
3 Potash Company; is that correct?

4 A. Yeah. New Mexico Potash is owned, as I
5 understand it, is owned by another company called
6 Trans-Resources, but I'm not privy to that
7 information. That's just what I read.

8 Q. But the Kerr-McGee mine is the New
9 Mexico Potash mine?

10 A. It's the same property, yeah. Excuse
11 me.

12 Q. That's the mine that we are concerned
13 with today?

14 A. Right.

15 Q. And the AMAX mine that you're -- the
16 National Potash mine is a Mississippi Chemical
17 mine, which is closed and has been since 1982,
18 just to the north?

19 A. Immediately north of New Mexico Potash.

20 Q. And then the AMAX mine is the mine
21 we've been referring to throughout the last two
22 days as the Horizon mine?

23 A. Horizon mine, correct. I might add
24 that, since you bring that up, that both the
25 Mississippi Chemical, National Potash mine, and

1 the New Mexico Potash mine, mine from the tenth
2 ore zone exclusively. That's by its permission.

3 Going back down the line, you would
4 think that No. 5 would be the next to go. And I
5 got ahead of myself. AMAX Chemical -- AMAX
6 Potash, I should say, in 1988 announced that the
7 mine would close. They brought one of their
8 people in, a man steeped in environmental
9 expertise to close the mine.

10 Some of the mine people there convinced
11 management to open up a zone above the first ore
12 zone, I think it's the third ore zone, and
13 they've been after them for years to open that
14 up. Finally they said okay, have at it, we'll
15 see if we can develop some more reserves up
16 there.

17 They're very efficient people at that
18 mine. And they went up there and built some
19 4-foot vertically mounted continuous miners and a
20 slick conveyor system, and they started making a
21 little money with that. Proved that they could
22 mine it economically. And AMAX then put it on
23 the market and sold it for three million bucks,
24 plus some cash consideration for product
25 inventory and some spare parts and things like

1 that they had.

2 It's hard to tell what the total
3 purchase price was, but the initial cash payment
4 by Horizon for the stock was three million bucks.

5 Q. Well, Mr. Hutchinson, is that \$3
6 million representative of what it would take to
7 go out and start a new mine?

8 A. Oh, not at all. In fact, there's
9 probably in excess of \$5 million of hoists,
10 electrical gear, buildings, structures, and
11 equipment in the mine. So it turned out to be,
12 in my view, in both the situation of Kerr-McGee
13 and AMAX, they did a lot of people, including
14 themselves, a big favor.

15 A smaller company who can operate more
16 efficiently came in. The big companies got the
17 environmental liability off their books. I'm
18 sure they had built up a reserve for that. They
19 all have such deep pockets that somebody is going
20 to go after them. And it keeps the mines
21 operating. The workers, the miners are still out
22 there collecting a salary. They're able to
23 survive. It was a terrific deal for everybody.

24 But the fact of my presentation is that
25 those mines essentially sold for salvage value.

1 Hopefully they'll be able to stay open for a
2 considerable amount of time.

3 Tax revenue, as a result of that, to
4 the state and feds is good, and I'm sure that
5 there's some considerable royalty that comes out
6 of that that isn't coming out of the Mississippi
7 Chemical-National Potash mine.

8 The large companies got the -- they
9 were able to reduce their equity, so they
10 automatically got a higher return on equity.
11 They have their stockholders to satisfy, and
12 they're interested in that.

13 The demise of the muriate producers, I
14 think, to answer your question specifically in
15 New Mexico is inevitable. They're going to
16 slowly fall by the wayside once they get to the
17 point where they can't meet a positive cash flow,
18 unless they have langbeinite. Then they've got a
19 whole different product and have a pretty good
20 situation.

21 In our case, for New Mexico Potash to
22 ramp down to some of the langbeinite that they
23 have found, it's going to take tremendous capital
24 expense, and I'll get into some more of that
25 later.

1 Continuing on with the economic
2 evaluation I did, having figured out what the
3 demand situation was in the United States, I did
4 some research on the supply.

5 Q. This is Exhibit 49?

6 A. Correct. The way we put these supply
7 charts together is that we'll take a cost -- in
8 this case it's a cost per metric ton in 1991
9 dollars. We'll take -- and I don't know what
10 these mines are. I just get this information
11 that has been held confidential except in
12 unidentified operations. I don't know what mine
13 this is. But it's capable on an annual basis of
14 recovering, what, about one-and-a-half million
15 tons a year.

16 This is the next least expensive mine
17 to operate, and the next, and the next, and the
18 next. These, on this lower level here, are
19 Canadian mines. These that start out up here in
20 the cost per metric ton of in excess of 80 bucks
21 are shown on the same basis.

22 Now, you can see that on a supply basis
23 per ton of product, we just can't compete with
24 the Canadians. And since 85 to 87 percent of the
25 US potash is produced from New Mexico, the New

1 Mexico mines must be very well represented in
2 this group of operations.

3 Q. Well, then the potash supply, your
4 potash supply exhibit actually shows a source of
5 the supply used to meet most of the United States
6 demand; is that correct?

7 A. Yeah, I think we import -- other than
8 from Canada -- I think Canada supplies 90-plus,
9 91, 93 percent of the potash that's imported in
10 the United States. So we do get some from I
11 think the Red Sea, perhaps some from Europe.
12 Eastern Europe has quite a good supply of potash
13 also.

14 Well, the next logical step is to match
15 up the supply and demand.

16 Q. This is Exhibit 50?

17 A. Right. So if you recall back to the
18 demand curve, these are a little different scale
19 so I can get them on this chart. Here are the
20 Canadian operating costs. By the way, these
21 supply costs are operating costs. They have no
22 capital recovery in them. And they also include,
23 because it's a serious consideration, they
24 include some transportation costs to the nearest
25 market.

1 So here we have the supply curve. The
2 demand curve that I talked about earlier, where
3 from 82 to 91 with an aberration in 84, 85, 86,
4 and 87 down here. A pretty good demand curve.
5 The Canadian supply curve is very flat along the
6 bottom. The red line here is the US supply
7 operating cost including transportation
8 allowances.

9 Now, last year Canadian imports were
10 about 3.2 million tons of K_2O , metric tons of
11 K_2O . If we move this across as economics works,
12 and we start and we say that, okay,
13 transportation included, after the Canadians have
14 sold all they want to sell, we'll start picking
15 up with US producers. And we see that -- I'm a
16 little bit off here.

17 Q. What you're actually doing here, Mr.
18 Hutchinson, because our exhibits differ, you have
19 superimposed the US supply operating cost curve
20 onto the right hand of your diagram?

21 A. Yeah. So we have a combined Canadian
22 supply, and then it jumps up and we have the US
23 supply. And here, underneath here -- it's the
24 only way I could think of to do this -- I think
25 on your copies there's this one and then there's

1 this one. There's two separate curves. So you
2 understand where they come from.

3 Q. The dashed line is that curve over
4 there on that exhibit?

5 A. I think that's the way I did it,
6 correct. Anyway I just, you know, with an
7 overlay like this, you could pick any amount of
8 tonnage out of Canada that you wanted and you
9 could say, okay, we'll pick up what's over. And
10 you can see that up here, one mine that can't
11 produce up to its capacity because it would lose
12 money over the demand, and another mine just
13 can't do it at all. Perhaps that's the
14 Mississippi Chemical mine. I really have no
15 idea.

16 But that's the idea behind why I can
17 say that the days of muriate production in New
18 Mexico are numbered and what control the
19 Canadians have.

20 That was Exhibit 50; right?

21 Q. Yes. Well, then in summation of the
22 presentation that you've made thus far on the
23 economics, what are your conclusions then?

24 A. Muriate of potash production from New
25 Mexico is and will remain marginal at best. Only

1 the most efficient mines will be able to survive
2 and shall only survive as long as the Canadians
3 find it in their best interest to do so.

4 If the production from New Brunswick
5 starts eating into the other Canadian production
6 out of Saskatchewan too much, which might be five
7 years from now, that will put the Saskatchewan
8 production into a more competitive situation.
9 They're going to lower their prices because they
10 have huge mines. They're operating anywhere from
11 45 to 60 percent of their already built and paid
12 for capacity.

13 So the days are numbered here, but it's
14 been a really terrific history. I mean, starting
15 in 1930, I mean we have 60 years of a terrific
16 industry here. Canadians are going to enjoy it
17 for a while until the Russians perhaps come up
18 with a more efficient system and then cut the
19 Canadians out. That's just the way the shark
20 business works.

21 AMAX discovered this. They've got some
22 very bright people. Kerr-McGee discovered this.
23 Ray Rock-Yellow Knife, Western Ag parent, knows
24 it. That's why they're restricted to the
25 specialty product of langbeinite. That's mainly

1 where the only big mining company left is
2 concentrating its efforts, and that's IMC in
3 sulfates of potash. And they're doing some very
4 ingenious things about combining their production
5 to maximize their income in the sulfates of
6 potash markets.

7 They do also produce muriate. But in
8 Canada they produce easily three to four times as
9 much potash per year as they do from New Mexico.
10 They know -- they're one of the pioneers up
11 there. In fact, they took a lot of technology
12 developed here in New Mexico to Canada and made
13 it work even better.

14 Narranda, a company in total twice the
15 size of AMAX and twice the size of Kerr-McGee,
16 has had a large lease position here in New
17 Mexico. And the laws of economics did a couple
18 of things. They recently dropped a big block of
19 leases, federal leases. And they would like to
20 sell their remaining leases. But, as the thing
21 flowed along and they got into this thing a
22 little bit late, in the early 70s, their deposit
23 never was -- the next marginal deposit, and it
24 was so marginal that it has never been economic.
25 It might be economic for a smaller company or in

1 association with one of the companies here now.
2 But Narranda knows, as a large company, that they
3 have no business here in developing their
4 property.

5 I think I covered most of those points,
6 Ernie. There's a lot of things here.

7 Q. I understand. But basically what
8 you're saying is that New Mexico potash industry
9 is a cash flow industry; that if it were required
10 to influx any appreciable amount of capital
11 expenditure, it just couldn't do it?

12 A. It's totally out of the question.
13 Anyone, any bank, anybody that would hire
14 somebody like me or people to do what I do to
15 evaluate an investment in a capital expansion of
16 a New Mexico potash mine, sylvite potash mine,
17 knowing that huge companies in Canada have 200
18 years of reserves and they're only operating at
19 half of their already paid for plant capacity,
20 they're going to say, hey, the cost of entry into
21 that business is just not a good thing to do.

22 Alternative uses of their capital are
23 far and many compared to investing in New Mexico
24 potash -- or not the New Mexico potash, the
25 company, but the industry.

1 Q. All right. Mr. Hutchinson, let's turn
2 our focus more closely to the case at hand. And,
3 having learned this about the industry in
4 general, what have you been able to determine
5 about New Mexico Potash Corporation itself?

6 A. I was -- I'll get into this. But I was
7 a little shocked this morning, and I want to
8 explain to the Commission where I'm coming from
9 on this. When I got my mandate from Yates to go
10 ahead and do this thing my way on public
11 information, it was, I think May 5, I came to
12 this building for the first time in my life, and
13 I went to the OCD.

14 I had read R-111-P, and I knew that the
15 mines had to submit their mine plans -- not their
16 mine plans but their mined-out areas. And I also
17 know, having operated some mines myself, that
18 they're required to submit mined areas, I think,
19 every six months to MSHA.

20 Well, I thought I don't want to go to
21 Dallas and deal with that, so I came here. I
22 went to the OCD, and I very carefully asked if I
23 could see the information that was available to
24 the public on what had been mined out. And I was
25 brought files and I was given a room and a desk,

1 and I sat down with those maps and I looked at
2 them.

3 I was primarily interested as my main
4 objective in New Mexico Potash, and so I picked
5 theirs out first. And I didn't really notice or
6 really understand what life of mine reserves
7 meant. In the mining industry outside
8 southeastern New Mexico it doesn't mean a thing.
9 They change constantly with the price of the
10 product and whether it's open pit or
11 underground.

12 And I saw one map that showed a cutoff
13 grade, and I thought, well, that's what they're
14 using as their cutoff grade. That's fine with
15 me. And I built up a series of maps, which I'll
16 show you soon, that showed where they were in
17 October of 88, which was the first requirement by
18 R-111-P. And I think the next one I found was
19 January 1, 1990. They're required to submit
20 these annually. And the next one I found was for
21 January 7, 1992, which came up as a subject of
22 comments this morning.

23 I did not find a map, and I asked the
24 OCD person if there was a map for January 1991.
25 He was unable to find it, so I didn't use it.

1 But what you're about to see I consider public
2 information. I asked for that specifically;
3 that's what I was given; and that's what I used.

4 And I don't think under those
5 circumstances that I have -- and my
6 interpretation of those maps, which frankly show
7 quite a good mining operation; they seem to do
8 things right. And I will show you where I
9 noticed that they change their economic and
10 uneconomic grade barriers.

11 But as to be a political life of mine
12 reserve thing, I want to stay out of it. And so
13 you understand that's what I did, and that's what
14 I got. And that was May 5.

15 Q. All right. Then turning to your first
16 exhibit, Exhibit 51.

17 A. This is a base map in the area, Lea
18 County, Eddy County line, the New Mexico Potash
19 shaft location.

20 Q. Just a moment, Gary.

21 A. It is what you're calling the LMR, but
22 that's not what I saw.

23 Q. I understand, but I needed to allow --

24 A. Whatever I have to do.

25 MR. HIGH: Let's deal with it again,

1 Mr. LeMay. We're going to object.

2 CHAIRMAN LeMAY: Sure.

3 MR. HIGH: The LMR map that was filed
4 with the OCD should not have been released to Mr.
5 Hutchinson. The information that they have in
6 error, that they have now, they received in error
7 by release of that from the OCD.

8 At the very minimum, I would like that
9 marked "confidential" and treated confidential.
10 But more important than that, I want to move at
11 this time to preclude Yates from using any
12 confidential information they received from the
13 OCD in violation of R-111-P.

14 The OCD should not have released the
15 LMR map to Yates as they did. That is in
16 violation of R-111-P, and I would move at this
17 time to preclude the use of that information.

18 CHAIRMAN LeMAY: I think some
19 clarification. Go ahead, Bob.

20 MR. STOVALL: Let me clarify the
21 record. I think it's more appropriate to say the
22 LMR map should not have been filed with the OCD.
23 My understanding of the situation that's being
24 referred to is that the New Mexico Potash was
25 filing their mined-out area maps, and they

1 included an LMR on those maps.

2 The LMRs were intended under the rule
3 to be filed with the State Land Office, and they
4 were to keep those confidential. It was never
5 the intent that they be filed with the OCD.

6 So New Mexico Potash has created this
7 situation by filing those maps with the OCD as
8 part of their mine workings maps, which were
9 required to be filed. So they have created that
10 situation and placed those in the public domain.
11 And I don't think the OCD were ever made aware
12 that those were LMRs on that map until actually
13 today, I don't believe.

14 MR. HIGH: Let me also add to the
15 record that the letter that came out insisting
16 that the LMRs be filed came from Mr. LeMay from
17 the OCD.

18 CHAIRMAN LeMAY: That's true.

19 MR. HIGH: The letter that came in that
20 included the map that was released to Mr.
21 Hutchinson that had the LMR attached to it said
22 in response to Mr. LeMay's letter, here's the
23 information you requested. And it was thereafter
24 it was released to the public.

25 The letter specifically says that that

1 document is being sent to Mr. LeMay in accordance
2 with R-111-P. It even referred to the paragraph
3 number, which includes the confidentiality and
4 the no public disclosure.

5 CHAIRMAN LeMAY: I'm not sure I
6 understand you, counsel me. You mean the letter
7 that accompanied the map --

8 MR. HIGH: Yes, sir.

9 CHAIRMAN LeMAY: -- to be filed
10 indicated there was an LMR on that?

11 MR. HIGH: Yes, sir. It is entitled
12 "LMR." Yes, sir, it is.

13 CHAIRMAN LeMAY: Is that in your list?
14 Do you have a copy of that letter?

15 MR. HIGH: We have it here from the
16 purged file. We understand that counsel purged
17 the public file this morning and gave us back
18 what should not have been in the public file. We
19 have those documents here.

20 CHAIRMAN LeMAY: Generally our policy
21 when those are filed, because they are filed, I
22 don't see them. They go in file. And it's not
23 our intent to analyze that.

24 MR. HIGH: But, Mr. LeMay, just for the
25 record again, before we ever filed anything with

1 the state, you may recall there was some concern
2 on behalf of the potash industry that if we
3 started filing these confidential documents with
4 the state, in addition to the BLM, which we had
5 done for years, that they would be inadvertently
6 released.

7 We discussed that with the State Land
8 Office in your office. The person retired. I
9 forget his name now.

10 CHAIRMAN LeMAY: ^{Vic} Dick Lyon?

11 MR. HIGH: ^{Vic} Dick Lyon. And we got a
12 letter back assuring the potash industry that
13 procedures were in place where this information
14 would not be inadvertently disclosed. And we
15 already have an instance here where it has been.

16 CHAIRMAN LeMAY: I'm still confused.
17 If it shouldn't have been filed with us, how
18 could it be inadvertently disclosed?

19 MR. HIGH: Here's in the letter that's
20 in response to your letter asking for it.

21 CHAIRMAN LeMAY: Asking for the LMRs or
22 asking that the LMRs be filed with the
23 appropriate agency?

24 MR. HIGH: I don't have a copy of your
25 letter up here. I just have a copy of the

1 response to it.

2 CHAIRMAN LeMAY: Thank you.

3 MR. HIGH: I'd have to look at your
4 letter. I really don't know.

5 CHAIRMAN LeMAY: Well, that indicates
6 that they have -- it was an LMR. I'm not sure I
7 even saw that letter, but I see what you're
8 referring to.

9 MR. CARROLL: Chairman LeMay, if I
10 might also state for the record, is that Order
11 R-111-P required New Mexico Potash to file on an
12 annual basis their open mine workings.

13 CHAIRMAN LeMAY: Right.

14 MR. CARROLL: There was no requirement
15 that they place that LMR on the open mine
16 workings. I think that was a decision that was
17 made by New Mexico Potash. And when they made
18 that decision and then sent that to the OCD,
19 knowing full well the wording of R-111-P, which
20 states, "which plat shall be available for public
21 inspection and on a scale acceptable to the
22 Division," they should have known that if they
23 put confidential material on something that was
24 required to be released and be available for
25 public inspection, I think they took care of the

1 problem.

2 I don't see any fault falling on the
3 part of the OCD or any laxity of procedures. I
4 think the OCD did what they represented by Mr.
5 Lyon. It was the fact that New Mexico Potash did
6 something which they should not have done, at
7 least under their interpretation and my
8 interpretation.

9 I don't know why they did it unless
10 maybe they were hoping that even the open mine
11 workings would be become confidential by putting
12 confidential material on it. And that would be a
13 subversion of the statute or the order.

14 And again I think the position is this
15 material was put into the public domain by New
16 Mexico Potash. It was not something that was
17 required of them. They did it of their own free
18 volition. I think the law is very clear on these
19 subjects, that if they have put something into
20 the public domain, then they have waived all
21 rights of confidentiality.

22 And, furthermore, I think -- of course
23 Mr. High's objection was twofold: He wanted to
24 strike it, but he wanted to also prevent us from
25 using it. I think that's improper. It was there

1 in the public domain. This is critical to the
2 issue.

3 The LMR is in existence not only in
4 their own exhibits, but we have talked about it
5 all throughout this hearing. And I think that
6 motion is just way too late, and I would ask that
7 -- I think the motions of Mr. High were to strike
8 this evidence and prevent us from using it, and
9 on both counts this Commission should overrule
10 it.

11 CHAIRMAN LeMAY: I'm not sure, what is
12 your motion at this time, Mr. High?

13 MR. HIGH: I just don't want to be
14 disadvantaged by the erroneous release of the
15 information by the OCD. We will be introducing
16 ourselves a portion of the LMR. It's central to
17 the case, and I agree with counsel, that a
18 portion of the LMR is central to the Commission's
19 resolution of this case.

20 And we have some documents in the
21 exhibits that we have provided to the Commission
22 already that have a portion of our LMR, but we
23 don't have the full thing. We only have that
24 portion of the LMR that's relevant to this
25 proceeding in our judgment, namely, that down

1 around Section 2.

2 What has happened here, Yates has
3 gained access to our entire LMR. And I can't
4 tell you how sensitive that is, Mr. LeMay. You
5 recall those discussions earlier on.

6 CHAIRMAN LeMAY: Well, I do. And let's
7 just recess for about five minutes. What you're
8 saying is you want to go ahead with the testimony
9 based on this exhibit?

10 MR. CARROLL: That's correct.

11 CHAIRMAN LeMAY: And whether the
12 hearing room here is clear or not, it's not what
13 you're worried about; it's the fact that it's
14 being used, period, in the evidence?

15 MR. HIGH: I don't want it used,
16 period, in the evidence. Secondarily, if the
17 Commission doesn't grant that, clearly we want it
18 treated confidential.

19 MR. CARROLL: We have no objection to
20 it being treated confidential. We've stated that
21 all through this proceeding.

22 CHAIRMAN LeMAY: Let's take five
23 minutes.

24 COMMISSIONER CARLSON: Before we
25 recess, does anybody have a copy of the letter

1 that Mr. LeMay wrote asking for the LMRs? Nobody
2 knows whether it was asking that it be filed
3 immediately with the State Land Office and the
4 BLM or that it be filed with the OCD?

5 MR. HIGH: I'm sorry, Mr. Carlson. We
6 don't have one with us. We just found out this
7 morning that the OCD had inadvertently released
8 this.

9 MR. STOVALL: Commissioner Carlson, I
10 think if we take a recess, I think that we can
11 obtain a copy from our files hopefully.

12 COMMISSIONER CARLSON: That may be very
13 critical to this determination.

14 MR. STOVALL: My recollection is that
15 at the time that the LMRs had not been filed with
16 the State Land Office so we could not determine
17 -- couldn't even find out from the State Land
18 Office or the BLM whether there was an LMR. And
19 I believe the memo was intended to have those
20 filed with the State Land Office. But I think if
21 we take the recess, we can find that memo and
22 see.

23 I will enter an objection on behalf of
24 the Division as to the characterization as it
25 being an improper release by the Division because

1 I don't think the Division was on notice that it
2 had confidential information there.

3 MR. HIGH: Could I get back, though,
4 the letter?

5 MR. STOVALL: That's disappeared, I'm
6 sorry.

7 MR. HIGH: I'm sure it will be released
8 sometime in the future.

9 [A recess was taken.]

10 CHAIRMAN LeMAY: Let the record show
11 we're back on the record.

12 MR. STOVALL: Mr. Chairman, at the time
13 before we took a break, there was some discussion
14 about how Yates Petroleum and its witness got
15 ahold of an LMR map, which apparently New Mexico
16 Potash had filed with the Oil Conservation
17 Division, and there was reference to some
18 correspondence back in 1989.

19 During the break we went to the
20 official files of the OCD and have recovered
21 three letters: One dated January 3, 1989, from
22 William J. LeMay, Director of the Division, to
23 Charlie High -- pardon me, Charles C. High, Jr.,
24 just to make the record correct; a return letter
25 from Mr. High to Mr. LeMay; and a third letter

1 from Mr. LeMay to Mr. High, dated February 20,
2 1989. The second letter was dated January 30,
3 1989.

4 The essence, having reviewed these
5 letters -- and I would invite counsel to comment
6 on additions -- is that the Oil Conservation
7 Division had written the letter to Mr. High
8 stating that LMR maps had so far not been filed
9 with the State Land Office in accordance with
10 provisions of R-111-P.

11 Mr. High wrote back essentially saying
12 that they had not been filed because the BLM had
13 not signed off on the agreement, which was an
14 exhibit to R-111-P between the two industries.
15 The Division then wrote back and essentially said
16 that the implementation of R-111-P was not
17 contingent upon BLM agreement; that neither the
18 OCD, nor the BLM, nor the State Land Office would
19 actually become parties to that agreement; and
20 that the filing of the LMRs was not contingent
21 upon any action by the BLM but was due.

22 All of the letters refer to filing of
23 the LMR with the State Land Office. There was
24 never any request that they be filed with the Oil
25 Conservation Division.

1 For whatever reason, and I wouldn't
2 delve into the history at this point, apparently
3 the referenced material was sent to the Oil
4 Conservation Division. There are no specific
5 confidentiality statutes that specifically
6 protect this type of information, which is one of
7 the reasons that the SLO was the repository for
8 the information.

9 Therefore, I think it is incorrect to
10 characterize any failure on the part of the OCD,
11 as far as protecting the confidential information
12 -- it was filed with the wrong agency is what the
13 problem was. And in accordance with Division
14 policy, my understanding is that the specific
15 information or map or exhibit filed was not
16 allowed to be copied or removed from the office,
17 but it was allowed to be examined by anybody and
18 specifically Yates. And that is how they came by
19 the information.

20 And it is my advice and recommendation
21 that neither the Division nor Yates Petroleum
22 acted improperly or illegally in obtaining the
23 information. And I would therefore say it's
24 admissible but certainly could be subject to
25 confidentiality to prevent any other persons from

1 gaining access to the information thereon and
2 could be covered by that.

3 And let me, just for the sake of record
4 keeping and for the record, the three exhibits
5 I've marked, I am going to suggest that they be
6 incorporated or taken notice of by the Commission
7 as official records of the Division. And simply
8 for the purpose of identification we can call
9 them Commission Exhibit A just to -- the
10 Division, of course, is not a party and not a
11 proponent. But it's simply to have a designation
12 so they can be referred to in the record in the
13 simplest fashion.

14 MR. CARROLL: I would concur with Mr.
15 Stovall's request and ask that it be so
16 designated and included as part of the record.

17 CHAIRMAN LeMAY: Mr. High.

18 MR. HIGH: We have no comment, Mr.
19 LeMay. R-111-P is an order of the OCD. And
20 regardless of how it got into your office,
21 R-111-P says it will remain confidential, not
22 subject to disclosure. So notwithstanding Mr.
23 Stovall's ruling, we still believe it should not
24 have been disclosed.

25 As far as the exhibit is concerned, if

1 you want to mark it as Exhibit A, I have no
2 objection.

3 CHAIRMAN LeMAY: Fine. I think we
4 concur with Bob's recommendation. We'll put it
5 in the record.

6 When we come back tomorrow -- it is
7 your recommendation, isn't it, Mr. High, that we
8 treat this as confidential as far as clearing the
9 hearing room, like we did in other -- and keep it
10 confidential from this point on, I guess?

11 MR. HIGH: Yes, sir. If the reference
12 is the testimony will cover the LMR, we would ask
13 that be confidential.

14 CHAIRMAN LeMAY: I think we can
15 accommodate that.

16 MR. HIGH: If we can ask questions or
17 get answers around it like we've been doing so
18 far, I have no problem with that.

19 MR. CARROLL: I think we will attempt
20 to do that. We will refrain from identifying
21 where it lies by giving --

22 CHAIRMAN LeMAY: Well, then you're
23 agreeable to treating it like we did before,
24 leave it there, leave everyone here, but if it
25 does get into specific references beyond where

1 you think we should be, then you'll raise an
2 objection?

3 MR. HIGH: That's correct. And the
4 less we clear the room the happier I am also
5 because that takes time away from the hearing.

6 CHAIRMAN LeMAY: Sure. It's your call
7 too on that part of it.

8 MR. STOVALL: The record should also
9 reflect that when the Division became aware this
10 morning that this actually was an LMR which
11 should not have been filed, the Division did
12 purge its files, and I believe the document was
13 either turned over to the New Mexico Potash or
14 the State Land Office. So it is no longer in the
15 Division records.

16 The second issue is --

17 CHAIRMAN LeMAY: Go ahead, please.

18 MR. STOVALL: The second issue is at
19 the beginning of Mr. Hutchinson's testimony, Mr.
20 High had requested that the document which he was
21 using -- that a copy be made available to Mr.
22 High. I believe the Commission operates under
23 relaxed rules of evidence. And I refer to the
24 Rules of Evidence of the Civil Procedure for the
25 courts of New Mexico.

1 The applicable rule appears to be
2 11-612, Writing Used to Refresh Memory. In
3 summary, I would say that the language basically
4 says that the court, in this case the Commission,
5 at its discretion, if it determines that it's
6 necessary in the interest of justice, may give
7 the adverse party the writing and have the
8 opportunity to inspect it, cross-examine the
9 witness thereon, and introduce in evidence those
10 portions which relate to the testimony of the
11 witness.

12 My advice would be that it is in the
13 discretion of the Commission that the Commission
14 can at this point allow Mr. Hutchinson to
15 testify. I understand that the objection to
16 making it a record is that it contains some
17 communication with the attorney and notes of the
18 attorneys as well as the witness.

19 If, at the conclusion of the testimony,
20 Mr. High feels the need to look at those notes,
21 then the Commission would have its discretion, if
22 in the interest of justice it believes he needs
23 to -- he should have the opportunity or if it
24 would be useful for cross-examination or
25 otherwise.

1 My recommendation is that you may
2 withhold ruling until the end of the testimony,
3 at which time Mr. High can renew his request and
4 you can make a decision, if you determine it's
5 necessary in the interest of justice.

6 CHAIRMAN LeMAY: Mr. High, is it
7 necessary in the interest of justice so far, you
8 think?

9 MR. HIGH: Mr. LeMay, I'd like to add
10 that the cases Mr. Stovall also cites, that we
11 are entitled to attorney's notes if they are
12 shown to a witness. And the case law would bear
13 that out. If a lawyer shows a testifying witness
14 his notes, we are entitled to those notes because
15 he has waived the attorney-client privilege, if
16 one ever existed, and one does not exist here
17 between Mr. Hutchinson and Mr. Carroll.

18 And I remind you also that this is an
19 expert witness. And under the rule we are
20 entitled to get every document given to this
21 expert witness. That's a special rule applicable
22 only to experts.

23 MR. STOVALL: Could you point me in the
24 direction?

25 MR. HIGH: I'm not going to guess

1 again. I tried twice a while ago. But the rule
2 on expert witnesses, under the discovery we are
3 entitled to every document that this witness
4 received from Yates Corporation, Mr. Carroll.

5 Aside from that, let me just say one
6 other thing on the map, we also ask that the
7 Commission enter an order directing Yates not to
8 divulge the contents of this confidential
9 information. I don't know if that may be
10 implicit in what you said earlier, but I'd just
11 ask that the Commission make it clear that it not
12 be divulged or used in any other way.

13 MR. STOVALL: If I may respond to Mr.
14 High's comments as far as the privilege issue. I
15 would be inclined to agree that it may not be
16 privileged under those circumstances. I think
17 the point is that even, I think, Rule 705,
18 11-705, Disclosure of Facts or Data Underlying
19 Expert Opinion, I believe that may be what you're
20 relying on, Mr. High?

21 MR. HIGH: Yes, sir, it is.

22 MR. STOVALL: Again the expert may in
23 any event be required to disclose the underlying
24 facts or data on cross-examination. So I believe
25 that would be the appropriate time to make these

1 available, if the Commission wishes to do so. I
2 think it has some discretion, and I think Mr.
3 High makes a valid point for requesting them.
4 But I think that should be done at the time of
5 cross-examination.

6 MR. CARROLL: I think one of the points
7 I'd like to point out, first of all, I totally
8 disagree with Mr. High's representation that if I
9 make a note and give it to Mr. Hutchinson that
10 that automatically waives any privilege. Well,
11 there's also the attorney work product rule.

12 I am entitled to communicate with my
13 witness, and if I am supplying him data on which
14 to testify, that's one thing. If he is using
15 that to form an expert opinion, I agree, he
16 should have access to it.

17 But in no way does the document that
18 we've been talking about, which is an outline for
19 our own purposes to be able to keep track of the
20 numerous exhibits that Mr. Hutchinson was doing,
21 should be used by Mr. Hutchinson in any of the
22 personal notes that I have, which were notes to
23 -- because there's only two copies of this thing,
24 the one Mr. Hutchinson has and the one I have.
25 They've been made of each other, and I'm really

1 not sure until I look at his to know what's on
2 his and whether they even comply or are
3 consistent.

4 But again I object to any disclosure of
5 this because this is not document used in the
6 true sense to refresh Mr. Hutchinson's
7 testimony. Now, if we were going to some
8 document, because he did not and was not aware of
9 something and it would be some resource material
10 or something like that, again Mr. Hutchinson
11 [sic] would have full access to it.

12 But these were our notes and outline of
13 the testimony, to be used to be able to
14 communicate between ourselves and to keep at
15 least some continuity in the presentation of
16 exhibits and was not used for the purposes of
17 actually generating or data to be used in his
18 testimony.

19 CHAIRMAN LeMAY: I think what we'll do
20 is, when we hear the testimony, think again
21 whether you think these notes, or whatever they
22 are, are critical to your cross-examination,
23 renew the motion, and maybe we can reach an
24 agreement there. If not, I guess we'll have to
25 rule on whether we feel it's in the interest of

1 justice to release his notes to you.

2 MR. HIGH: Could I ask that the witness
3 be directed not to alter in any way the document
4 he has in front of him over the course of the
5 adjournment?

6 MR. STOVALL: I would think that's --

7 CHAIRMAN LeMAY: I think that's a valid
8 request. Don't alter your record between now and
9 tomorrow.

10 But recognize, Mr. High, in the
11 interest of what we have done in administrative
12 hearings, we don't adhere to the strict rules of
13 discovery, nor are we required to adhere to the
14 strict rules that are present in courts.

15 MR. HIGH: Mr. LeMay, I know that.
16 And, as you know, I've been here before. And I
17 know people get up there and read documents in
18 almost every instance. In fact, the geology
19 stuff is always read. I always get a copy of
20 it. This is the first time I've been denied a
21 copy of what a witness is reading from that
22 witness stand. I don't have any objection to the
23 procedure, it's just not getting a copy where I
24 can follow along.

25 CHAIRMAN LeMAY: There's reading

1 something and this are notes to refresh memories,
2 and that can be a fine line, as you well know.

3 Okay. We are going to break and come
4 back here tomorrow at 8:30 to finish up Yates'
5 presentation.

6 I think you have one more witness; is
7 that correct?

8 MR. CARROLL: That's correct.

9 CHAIRMAN LeMAY: Will that be a long
10 one or short one?

11 MR. CARROLL: It will be much, much
12 shorter than Mr. Hutchinson. I think we will be
13 able to complete tomorrow.

14 CHAIRMAN LeMAY: By noon?

15 MR. CARROLL: Again the
16 cross-examination -- I could put all the direct
17 on by noon, I'm sure.

18 CHAIRMAN LeMAY: The direct by noon?

19 MR. CARROLL: The direct.

20 CHAIRMAN LeMAY: We'll still break
21 now. I don't think 15 minutes is going to help
22 us. But we will keep going until we get through
23 tomorrow on Yates' presentation. Check your
24 calendar, Mr. High.

25 MR. HIGH: I will.

1 MR. STOVALL: I'll keep the Rules of
2 Evidence handy.

3 CHAIRMAN LeMAY: Adjourned until
4 tomorrow.

5 [And the proceedings were adjourned
6 at the approximate hour of 5:30 p.m.]

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) ss.
COUNTY OF SANTA FE)

5
6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Commission was reported by
10 me; that I caused my notes to be transcribed
11 under my personal supervision; and that the
12 foregoing is a true and accurate record of the
13 proceedings.

14 I FURTHER CERTIFY that I am not a
15 relative or employee of any of the parties or
16 attorneys involved in this matter and that I have
17 no personal interest in the final disposition of
18 this matter.

19 WITNESS MY HAND AND SEAL SEPTEMBER 20,
20 1992.

21
22
23
24 
25 DEBBIE VESTAL, RPR
NEW MEXICO CSR NO. 3