

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

CASE 10,769

EXAMINER HEARING


IN THE MATTER OF:

Application of H.L. Brown for an unorthodox gas  
well location, Roosevelt County, New Mexico

TRANSCRIPT OF PROCEEDINGS

**ORIGINAL**

BEFORE: DAVID R. CATANACH, EXAMINER



STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

July 15, 1993

## A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
Attorneys at Law  
By: W. THOMAS KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265

\* \* \*

## I N D E X

## Page Number

Appearances

2

Exhibits

4

PETER COURTNEY

Direct Examination by Mr. Kellahin

6

Examination by Examiner Catanach

10

JACK W. WELLS

Direct Examination by Mr. Kellahin

12

Examination by Examiner Catanach

22

JOHN T. GREY

Direct Examination by Mr. Kellahin

25

Examination by Examiner Catanach

30

Certificate of Reporter

32

\* \* \*

## E X H I B I T S

## APPLICANT'S EXHIBITS:

Exhibit 1	6
Exhibit 2	9
Exhibit 3	13
Exhibit 4	16
Exhibit 5	21
Exhibit 6	26
Exhibit 7	26
Exhibit 8	26
Exhibit 9	26

\* \* \*

1                   WHEREUPON, the following proceedings were had  
2                   at 1:12 p.m.:

3

4

5

6

7

8                   EXAMINER CATANACH: Call the hearing back to  
9                   order.

10                  At this time we will call Case 10,769.

11                  MR. STOVALL: Application of H.L. Brown for  
12                  an unorthodox oil well location, Roosevelt County, New  
13                  Mexico.

14                  EXAMINER CATANACH: Are there appearances in  
15                  this case?

16                  MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin  
17                  of the Santa Fe law firm Kellahin and Kellahin,  
18                  appearing on behalf of the Applicant in this case, and  
19                  I have three witnesses to be sworn.

20                  EXAMINER CATANACH: Any additional  
21                  appearances?

22                  Will the three witnesses please stand to be  
23                  sworn in?

24                  (Thereupon, the witnesses were sworn.)

25                  MR. KELLAHIN: Call Mr. Peter Courtney.

1                                    PETER COURTNEY,  
2       the witness herein, after having been first duly sworn  
3       upon his oath, was examined and testified as follows:

4                                    DIRECT EXAMINATION

5       BY MR. KELLAHIN:

6                    Q.     Mr. Courtney, would you please state your  
7       name and occupation?

8                    A.     My name is Peter Courtney. I'm the land  
9       manager for H.L. Brown, Jr.

10                  Q.     On prior occasions have you testified as a  
11       petroleum landman before the Division?

12                  A.     Yes, sir, I have.

13                  Q.     And pursuant to your employment by H.L. Brown  
14       in the capacity as a landman, are you familiar with the  
15       land ownership with regards to oil and gas minerals  
16       underlying Sections 27 and 28 of the subject area  
17       that's under discussion in this case?

18                  A.     Yes, I am.

19                  MR. KELLAHIN: We tender Mr. Courtney as an  
20       expert petroleum landman.

21                  EXAMINER CATANACH: He is so qualified.

22                  Q.     (By Mr. Kellahin) Let me direct your  
23       attention, sir, to Exhibit Number 1. That's the  
24       landman's plat.

25                                Help us understand the significance of the

1 area in the different colored shadings on the display.

2 A. Okay, the two sections which are outlined  
3 with different colors, the different colors  
4 representing the five federal leases covering the  
5 acreage in these two sections, all leases are federal.

6 Q. The proposed well for which you're seeking a  
7 nonstandard location is to be dedicated, if successful,  
8 to the North Bluit Siluro-Devonian Pool?

9 A. That's correct.

10 Q. What's the -- That's an oil pool, is it?

11 A. Yes, sir.

12 Q. And what is the spacing for that pool?

13 A. The 80 acres.

14 Q. What is your proposed dedication of acreage  
15 for that well if you're successful with completing it  
16 as a commercial well?

17 A. It would be the north half of the southwest  
18 of Section 27.

19 Q. Okay. The pool rules for that pool, I  
20 believe, require a well to be within 150 feet of the  
21 center of either of its 40 acres?

22 A. That's correct.

23 Q. Okay. Your proposed location crowds the  
24 north line of its spacing unit and the west line,  
25 right?

1 A. That's correct.

2 Q. What is the ownership with regards to royalty  
3 on the spacing unit to the north, towards which you're  
4 encroaching?

5 A. The royalty ownership is federal, federal  
6 royalty.

7 Q. Same base federal lease --

8 A. Yes, sir.

9 Q. -- involved in the spacing unit for which the  
10 well is located and the one it encroaches in the north?

11 A. That's correct.

12 Q. Is there the same identity of working  
13 interest owners and royalty owners?

14 A. Yes, sir.

15 Q. Overriding royalties as well?

16 A. That's correct.

17 Q. So everybody in the offending well  
18 participates in the offsetting spacing unit?

19 A. To the north, yes.

20 Q. Okay. As we look to the west, there's an  
21 area shaded in blue. The well is slightly unorthodox  
22 to the west boundary, is it not?

23 A. Slightly.

24 Q. I think it's 330 off that west boundary?

25 A. Uh-huh.



1           Q.    Is the ownership the same with regards to  
2 royalty between the north half of the southwest of 27  
3 and any of the spacing units on the west that it  
4 encroaches upon?

5           A.    The royalty is the same.

6           Q.    Okay. Are the working interest owners the  
7 same?

8           A.    The working interests are identical.

9           Q.    Are there any differences in overriding  
10 royalties?

11          A.    Yes, sir, there are differences in overriding  
12 royalties.

13          Q.    Okay, let me ask you now to turn to Exhibit  
14 Number 2. Did you cause notification of this  
15 Application in the hearing of this case to be sent to  
16 all the interest owners, the overriding royalty owners  
17 and the working interest owners that are involved here?

18          A.    Yes, sir.

19          Q.    Okay. Let's turn to Exhibit 2. Is this your  
20 certificate, your affidavit?

21          A.    Yes, sir.

22          Q.    Turn to Exhibit 2 and show me those  
23 overriding royalty owners which do not have an interest  
24 in the spacing unit in which the encroaching well is  
25 located.

1 A. On the proposing well?

2 Q. Yes, sir.

3 A. It would be on the first page of the address  
4 list, B.A. O'Brien.

5 Q. Uh-huh.

6 A. Following that, Seabrook Corporation. And on  
7 the next page, the Ronadero Company.

8 Q. Okay. Have you received any objection to the  
9 encroachment of the well towards the spacing unit in  
10 which they have their overriding royalty?

11 A. No, I have not.

12 Q. Have you received an objection from anyone  
13 with regards to the encroachment?

14 A. No, I have not.

15 MR. KELLAHIN: Okay. That concludes my  
16 examination of Mr. Courtney.

17 We would move the introduction of Exhibits 1  
18 and 2.

19 EXAMINER CATANACH: Exhibits 1 and 2 will be  
20 admitted as evidence.

21 EXAMINATION

22 BY EXAMINER CATANACH:

23 Q. Just again to clarify, Mr. Courtney, the  
24 acreage in pink is all commonly owned, working  
25 interest, royalty interest and overriding royalty

1 interest?

2 A. That's correct.

3 Q. There's a slight difference in overriding  
4 royalty interest between the acreage in pink and the  
5 acreage in blue?

6 A. Yes, sir, the blue and the yellow.

7 Q. Well -- okay.

8 A. The blue is different from the pink, yes,  
9 sir, than the overriding royalties.

10 Q. Okay, and the parties that you just named off  
11 to Mr. Kellahin, the three parties, those interest  
12 owners have an interest in what, now?

13 A. Those are the overriding royalties that would  
14 own under the proration unit for the 28-1, which would  
15 be the south half of the northeast of 28. That  
16 communitized 40 acres of the yellow lease and 40 acres  
17 of the blue lease. The proration unit is outlined by  
18 the dashed line.

19 Q. Okay, and those parties would not have an  
20 interest in the proposed well?

21 A. That's correct.

22 Q. Okay. Have you had any discussion with any  
23 of these parties?

24 A. No. We have sent them notification of our  
25 Application and heard nothing.

1 MR. STOVALL: Do you have a well proposed for  
2 the north half, southeast of 28?

3 THE WITNESS: Not at this time.

4 MR. STOVALL: Do those overrides that you  
5 referred to increase the burden on that federal lease,  
6 compared to the federal lease on which you're drilling?  
7 In other words, is the burden higher there?

8 THE WITNESS: Yeah, it would be more heavily  
9 burdened.

10 Q. (By Examiner Catanach) Within all those  
11 leases that you've got described on Exhibit 1, are  
12 those all H.L. Brown leases?

13 A. Yes, sir.

14 Q. Okay. So there was no offset operators to  
15 notify of this Application?

16 A. That's correct.

17 EXAMINER CATANACH: Okay. That's all I have.  
18 You may be excused.

19 MR. KELLAHIN: Call at this time Jack Wells.

20 JACK W. WELLS,  
21 the witness herein, after having been first duly sworn  
22 upon his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. KELLAHIN:

25 Q. Mr. Wells, would you please state your name

1 and occupation?

2 A. I'm Jack W. Wells, geologist.

3 Q. On prior occasions, Mr. Wells, have you  
4 testified as an expert geologist before the Division?

5 A. Yes, I have.

6 Q. Are you currently employed as a geologist by  
7 H.L. Brown?

8 A. I'm a consulting geologist for H.L. Brown.

9 Q. As part of your duties as a consulting  
10 geologist, have you made a geologic study of the  
11 opportunity for further development in the North Bluit  
12 Siluro-Devonian Pool?

13 A. Yes, I have.

14 Q. Were all the exhibits that we're about to  
15 discuss, the geologic displays, prepared by you?

16 A. Yes, they were.

17 Q. And do these represent your own conclusions?

18 A. Yes, they do.

19 MR. KELLAHIN: We would tender Mr. Wells as  
20 an expert geologist.

21 EXAMINER CATANACH: Mr. Wells is so  
22 qualified.

23 Q. (By Mr. Kellahin) Let's turn to Exhibit  
24 Number 3. I think it best serves to illustrate what  
25 you're proposing to do, Mr. Wells.

1           To -- Before we talk about your conclusions  
2       let's orient the Examiner to what he's seeing. There  
3       are lines of seismic runs that are shown on this  
4       display?

5           A.    Yes, this is a seismic map on the top of the  
6       Wolfcamp, and we have five lines that we've utilized in  
7       this.

8                    There are four different vintages, so it's  
9       kind of a hodge-podge tying them all together.

10          Q.    There's one line that's hard to see, but it  
11       runs north and south and splits the boundary between  
12       Sections 28 and 27?

13          A.    That is correct.

14          Q.    Your proposed well location is the well spot  
15       outlined in red?

16          A.    The red dot, yes, sir.

17          Q.    Yes, sir. Summarize for us what has caused  
18       you to reach the conclusion that this is the optimum  
19       place to put the next well in this pool.

20          A.    This is from the seismic standpoint in that  
21       the only -- deepest reflection we can map on is the top  
22       of the Wolfcamp, which is about 700 feet above the top  
23       of the Siluro-Devonian.

24                   And even though we expect the structures to  
25       be coincident, we do not see the faulting in the

1       Wolfcamp that we know they're in the Siluro-Devonian.

2               So this is an attempt to just map the  
3       Wolfcamp to find the structure on that level.

4               And what we have come up with is on the  
5       north-south line, which is between the two sections,  
6       it's a Cities Service line that was shot in 1980. Just  
7       going to the northwest of the proposed location is shot  
8       point 155, and that is the highest point we can find on  
9       that line.

10              For the east-west control, just north of our  
11       proposed, is an old single-fold data line that was shot  
12       in the Fifties, and we see a flattening of three points  
13       that are listed as 1.22 across there.

14              So we feel that the high is right within the  
15       area of closure of the 1.22, second line.

16              Like I say, this map was kind of difficult to  
17       make in that the different vintages of the data, the  
18       different processing of the data, we had to time-tie  
19       them all together. We time-tied to the north-south  
20       line.

21              And this is -- When you go back and if you  
22       would take this map and make it tie to well data, it  
23       will not tie. You have to throw a velocity gradient  
24       into the thing.

25              So this is strictly a time map from the

1 geophysical data.

2 Q. Let's move to the next geologic display and  
3 have you identify Exhibit Number 4.

4 A. Exhibit Number 4 is a map on the Siluro-  
5 Devonian, which we call zone 3, which we've divided the  
6 Siluro-Devonian interval -- it's about 400 feet thick  
7 -- into three intervals. And this is the lowermost  
8 interval, and this is the zone that's pertinent to our  
9 location.

10 What I've shown on this is, to the northwest  
11 there's a fault running northeast-southwest, just south  
12 of the well number 1-28-A. That's got -- didn't go  
13 deep enough.

14 What we thought -- We were in the reservoir,  
15 we were on structure, based on our seismic map. We  
16 fell off, we crossed the fault. That fault -- We never  
17 got to the Siluro-Devonian, but we were 600 feet low to  
18 where it should have been. So we've got a 600-foot  
19 fault or greater.

20 The fault on the south side is based on  
21 seismic and on the well data in that in going from the  
22 well number 1-28 to the well number 5, well number 5 is  
23 some 200 feet low to the 1-28 well.

24 And our seismic data shows that we are coming  
25 up till we hit something, and then we've got to drop



1 back down. And we have to put a fault in there, and it  
2 would be about 200 foot a throw, or 250, depending how  
3 far updip we come. And -- That being the south  
4 boundary.

5 Then based on well data, we have a dashed  
6 line between the 4850 and the 4900 which we're calling  
7 it 4880, and we feel that is the oil/water contact for  
8 this zone 3 reservoir.

9 At the present time, the 1-28 well was  
10 completed in that reservoir. It was initially a very  
11 good well. It started off producing about 250 barrels  
12 a day. We produced that for about six months. It was  
13 very steady.

14 We increased the choke size, so we could  
15 produce approximately 300 barrels a day. We did that,  
16 and within about five days we started cutting water.  
17 So we immediately cut it back. And at that point we  
18 have never gotten rid of the water.

19 The well today is making about 25 barrels of  
20 oil and 125 to 130 barrels of water. And what we feel  
21 like...

22 Well, then go on to the 1-27. The 1-27 --  
23 I'll have a cross-section in a minute to show this.  
24 But it's completed out of zone 2 with just a trace of  
25 zone -- one low perf down in zone 3.

1           So essentially the zone 3 interval is being  
2       depleted right now by the number 1-28 well.

3           And from our map, we feel that if we don't  
4       drill another well we will be leaving reserves behind  
5       in this reservoir.

6           Q.     Summarize for us the geologic risks, if you  
7       will, that are involved in this particular pick of a  
8       location. What are the components that have given you  
9       such a difficult time in finding the location for this  
10      well?

11          A.     Well, we tried to fit all the data together.  
12      And you can eliminate, say, the south bounding fault  
13      and put steep dip in there. I don't necessarily  
14      believe that, but it's a possibility. So...

15                 And then the other point was, we thought we  
16      had a good location up there at the 1-28-A. And where  
17      we mapped the fault on the seismic, where the Wolfcamp  
18      started its steep dip, we thought we were all right  
19      till we got to that steep dip. But we found that was  
20      not true.

21                 So we're kind of afraid to get too close to  
22      the number 5 well. We want to back off just as far as  
23      we can.

24                 We want to try to get close to the high point  
25      on the seismic line that we saw, the north-south

1 seismic line, which is northwest of the location.

2 And then doing so, we have a dipmeter in the  
3 1-28 which shows mostly north to northeast dip at about  
4 two degrees. Not a lot, but the dipmeter was run from  
5 the Wolfcamp through the Devonian in predominantly a  
6 carbonate section, and it's not the best dipmeter in  
7 the world.

8 The well did migrate or -- while drilling,  
9 sort of to the south a little bit, not enough to talk  
10 about. But that would indicate you were going updip  
11 from the 1-28 to the south.

12 So what we are essentially doing is trying to  
13 pick a safe location that would hopefully gain more oil  
14 out of this reservoir.

15 Q. When you look at the standard dimension  
16 north-south, the reason for the unorthodox encroachment  
17 to the north is based upon what, sir?

18 A. Trying to get as far north as we can, away  
19 from the Number 5 well.

20 Q. Because it is interpreted to be on the  
21 downthrown side of that fault?

22 A. Yes, it is.

23 Q. And therefore not productive?

24 A. Not productive. I'm not sure just where the  
25 fault is, is one of my problems.

1           Q.    When you look at the east-west dimension,  
2           what is your reason to have the well located  
3           encroaching to the west?  I believe it's 330 off that  
4           boundary instead of 510.

5           A.    For that reason, we're trying to stay between  
6           the 1-28 and number 5, and we were trying to get to the  
7           high point of the Wolfcamp structure on seismic.

8           Q.    If this well is successful, do you then have  
9           an opportunity for yet another well over in Section 28?

10          A.    Yes, we would.

11          Q.    And that would be in a similar location  
12          within the contour map, but over on the 28 side of the  
13          line?

14          A.    Yes, sir.  Again, we would have to be pushing  
15          to the north line.

16                This well might give us some, with the  
17          dipmeter, new data that we could change our map  
18          somewhat.

19          Q.    What's the reason to choose the location in  
20          27, rather than moving over into 28 at this point?

21          A.    I have the well control from the number 5  
22          well in Section 27.

23          Q.    And as you move to 28, you're moving farther  
24          away from your well control?

25          A.    Right.

1           Q.    Do you have a geologic opinion as to whether  
2           this location represents the best opportunity for  
3           additional oil recovery out of this spacing unit?

4           A.    That was my job when I started this, was to  
5           find the best location that I felt was safe and would  
6           drain the remaining part of the reservoir, and this is  
7           what I came up with.

8           Q.    Let's go to the cross-section, Exhibit Number  
9           5.  Illustrate for us your conclusions about the cross-  
10          section now that we have it in front of us.

11          A.    Okay, this is sort of a cross-section that  
12          wanders through the wells in the immediate vicinity.

13                The one on the right is the Holly Federal,  
14          which was drilled to the Siluro-Devonian, was tested  
15          tight, and we now have that as a San Andres saltwater  
16          disposal well.

17                From there we went to the northwest, to the  
18          Brown Federal 27 A 1, then to the 27, on over to the  
19          28, and then southeast to the old Federal 51.

20                And in so doing, I'm trying to show the top  
21          of the Devonian, which is in orange, the top of the  
22          basement, which is in lavender or purple.

23                We're showing where I think the gas/oil  
24          contact is, the oil/water contact is, and where the  
25          perforations are within the three wells, and then my

1 correlation of zone 1, zone 2 and zone 3.

2 Q. Your primary target in the pool is what zone?

3 A. It's -- If you look at the 28 well, which is  
4 second from the left --

5 Q. Yes.

6 A. -- we show two perforations or two sets of  
7 perforations, two zones of porosity.

8 There has now been a bridge plug set between  
9 the two, trying to cut off the water, which was not  
10 successful. And what we were hoping to do is to find  
11 those two stringers a little bit updip, away from the  
12 water, and go back to making 200-some barrels a day  
13 from that zone.

14 MR. KELLAHIN: Okay, that concludes my  
15 examination of Mr. Wells.

16 We move the introduction of his Exhibits 3, 4  
17 and 5.

18 EXAMINER CATANACH: Exhibits 3, 4 and 5 will  
19 be admitted as evidence.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Mr. Wells, you've got pretty good information  
23 on the existence of that northern fault?

24 A. Yes, sir.

25 Q. The southern fault you don't quite know that

1 it's there; you're just assuming that it is?

2 A. Well, my basis for that is, where you come  
3 with the Wolfcamp seismic, when you start to steepen  
4 dip, that is where we saw the fault, plus it was -- It  
5 really moved back before we hit the steep dip in the  
6 fault to the north.

7 So what we're seeing is the steep dip going  
8 on the seismic map from the shot point 155 south to  
9 160. We see -- We go from like 10 milliseconds of dip  
10 at the Wolfcamp, plus the well is some 180 foot low to  
11 the 1A. And to me it's much easier to put the fault in  
12 there than to keep coming up from the 1-28 to the shot  
13 point 155 and then go into your steep dip.

14 I think the fault is the more reasonable of  
15 the interpretations.

16 Q. In terms of trying to drill a location that's  
17 producible, it wouldn't make much difference, though,  
18 if it was a fault or if it was a steep dip?

19 A. That's correct, but the one thing I'm worried  
20 about is, this might not be one fault; it might be a  
21 series of little slivers since we don't see on the  
22 seismic what the Devonian looked like. All we can see  
23 is what the Wolfcamp's doing.

24 Q. You said one of the wells is starting to  
25 water out? Is that what you said? The one that you

1       tried to set the --

2           A.    The 1-28, yes, sir.

3           Q.    That's the 1-28?

4           A.    Yes.

5           Q.    Okay. That 1-28 well appears to be up above  
6 the oil/water contact. How do you assume or explain  
7 the water in that well?

8           A.    I think we must have coned it when we tried  
9 to up the production, is my -- If we could get away  
10 from that borehole, we might, you know, have the  
11 oil/water contact that we see in the other wells.

12          Q.    I see. The number 5 well, that was tested in  
13 the Devonian, and that was tight, did you say?

14          A.    No, they made a little bit of oil. It was a  
15 re-entry, and it was determined at the time that they  
16 were testing it -- They didn't have a good cement bond,  
17 and whenever they tested it they made a little bit of  
18 oil but lots of water.

19                So you can't really determine where the  
20 oil/water contact might be in that well.

21                You can see we had three DSTs and two sets of  
22 perforations.

23                EXAMINER CATANACH: That's all I have. The  
24 witness may be excused.

25                MR. KELLAHIN: No further questions.



1 Call at this time Mr. John Grey.

2 JOHN T. GREY,

3 the witness herein, after having been first duly sworn  
4 upon his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q. Would you please state your name and  
8 occupation?

9 A. My name is John T. Grey. I'm a petroleum  
10 engineer.

11 Q. Have you previously testified before the  
12 Division, Mr. Grey?

13 A. Yes, sir, I have.

14 Q. And how are you employed by Mr. Brown for  
15 this case?

16 A. I'm employed as a petroleum engineer.

17 Q. Have you made engineering studies and  
18 calculations concerning this particular project?

19 A. Yes, sir, I have.

20 MR. KELLAHIN: We tender Mr. Grey as an  
21 expert petroleum engineer.

22 EXAMINER CATANACH: Mr. Grey is so qualified.

23 Q. (By Mr. Kellahin) For purposes of the  
24 record, Mr. Grey, I'd like you to identify your four  
25 exhibits, and then let's put them aside and let me ask

1 you some general questions.

2 Let's have you go through each of them and  
3 tell me what we're looking at.

4 A. Yes, sir. Exhibit 6 is the production  
5 history of the Federal "27" Number 1. The water  
6 production is marked in blue, oil production is marked  
7 in green and gas production is marked in red.

8 Exhibit Number 7 is the production history of  
9 Federal "27" A Number 1, similarly marked.

10 Exhibit 8 is the production history of  
11 Federal "28" Number 1, again marked like the others.

12 Q. Okay.

13 A. Exhibit 9 is my drainage calculations on the  
14 front page, and the rest of the exhibit is the backup  
15 data supporting that calculation.

16 Q. Okay, let me have you turn to a locator map,  
17 and perhaps Exhibit is as good as any, Mr. Wells'  
18 Exhibit 4. Mr. Wells has picked his best geologic  
19 location for this next well at the proposed unorthodox  
20 location.

21 My question for you as the reservoir engineer  
22 is whether or not a well located here is going to have  
23 the opportunity to recover oil reserves that might not  
24 otherwise be produced by any of the existing wells. Do  
25 you have an opinion on that?

1           A.    Yes, sir, I do.

2           Q.    And what is that opinion?

3           A.    By looking at all the data, I believe that we  
4 will recover additional oil that, if we don't do  
5 anything, will be left behind.

6           Q.    Give us the reasons that support that  
7 conclusion.

8           A.    The drainage calculations show that the 1-28  
9 and the 1-27 are not draining 80 acres, more closer to  
10 40 acres. They have -- exhibit -- Both of them exhibit  
11 water encroachment problems, and the economics of  
12 handling that much water will just prevent us from  
13 getting all the oil out of the ground on these wells.

14          Q.    Let's assume we don't drill the well under  
15 question, and all we're trying to do is deplete the  
16 reservoir with the current wells.

17                   What's going to preclude the current wells  
18 from extracting all the recoverable oil from the  
19 reservoir?

20          A.    Mainly the inability of us to separate the  
21 water production from the oil production. We've made  
22 attempts to do this, and it's been unsuccessful. And  
23 this is from that bottom zone 3.

24          Q.    Even if the wells had the capacity to drain  
25 80 acres -- and I know you're going to show us some

1 examples where they do -- but for the two closest  
2 wells, they're not draining 80 acres. But assume they  
3 did.

4 Neither one of those existing wells is  
5 located in the reservoir so that it's going to capture  
6 this upstructure oil that's above the oil leg, is it?

7 A. That's correct, sir.

8 Q. They're going to be watered out before they  
9 ever get that oil?

10 A. That's correct.

11 Q. So regardless of the well spacing, if we want  
12 the additional recoverable oil that has the opportunity  
13 to be produced in the reservoir, we've got to find a  
14 location, as Mr. Wells proposes, on the northern edge  
15 of that fault if we can find where that fault is?

16 A. That's correct.

17 Q. Have you determined whether or not there's  
18 sufficient recoverable reserves in the reservoir to  
19 justify the risk of drilling this well?

20 A. Yes, sir, I did volumetric calculations.

21 Q. Okay. The drainage calculations, let's go to  
22 those in a summary fashion.

23 We'll leave it to the Examiner to look at the  
24 calculations if he desires, but show me the acreages  
25 you've calculated for the three wells that are in the

1 immediate area.

2 A. On the first page of Exhibit Number 9, in the  
3 column labeled A, I've calculated that the Federal 27  
4 Number 1 is draining 46 acres, the Federal 27 A Number  
5 1 is 179 acres, and the Federal 28 Number 1 is draining  
6 49 acres.

7 Q. The one with the largest drainage area is the  
8 27 A-1 on the north half of the section?

9 A. That's correct.

10 Q. That's simply because you're in a thinner  
11 portion of the reservoir and you have spread out the  
12 recoverable hydrocarbons over a larger horizontal area?

13 A. That's correct. Their porosity development  
14 here is more stringy. It's not as well developed as  
15 the porosity calculations show: only eight percent  
16 compared to ten percent, plus the peak porosities are  
17 much different.

18 Q. Are we drilling an unnecessary well?

19 A. Not in my opinion, we're not.

20 MR. KELLAHIN: That concludes my examination  
21 of Mr. Grey.

22 We would move the introduction of his  
23 Exhibits 6 through 9.

24 EXAMINER CATANACH: Exhibits 6 through 9 will  
25 be admitted as evidence.

## EXAMINATION

BY EXAMINER CATANACH:

Q. Mr. Grey, your estimated ultimate recovery was based on decline curve?

A. Yes, sir.

Q. On the 27 Number 1, I show a significant increase in production during 1992. Do you know what that was a result of? About mid-1992?

A. We did no work on the well. The only thing that we can attribute it to is a natural flood performance from the water encroachment.

Q. And it's your opinion that these wells are going to recover all the downstructure oil and not recover too much of the upstructure?

A. That's correct.

Q. That will be recovered by the proposed well?

A. By the two wells, the 27 Number 1 and the 28 Number 1. The water drive is so strong on those two wells that -- and it's coming from the bottom -- that it's going to prevent us from recovering significant oil above the zones that are perf'd.

Q. Do you have any estimates on how much that proposed well may recover?

A. It should be at least as good as the 28 Number 1, 150,000 to 160,000 barrels of oil.

1 I anticipate it to act pretty similar to the  
2 28 Number 1.

3 EXAMINER CATANACH: I don't have anything  
4 further.

5 The witness may be excused.

6 MR. KELLAHIN: That concludes our  
7 presentation.

8 (Off the record)

9 EXAMINER CATANACH: There being nothing  
10 further, Case 10,769 will be taken under advisement.

11 (Thereupon, these proceedings were concluded  
12 at 1:51 p.m.)

13 \* \* \*

14

15

16

17

18

19

20

21

22

23

24

25


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 21, 1993.

  
STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 1994

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 10769, heard by me on July 15 1993.

  
\_\_\_\_\_, Examiner  
Oil Conservation Division