

1 STATE OF NEW MEXICO
2 ENERGY AND MINERALS DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BLDG.
5 SANTA FE, NEW MEXICO

6 25 July 1984

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Gulf Oil Corporation CASE
10 for dual completion, Eddy County, New 8280
11 Mexico.

12 BEFORE: Michael E. Stogner, Examiner

13
14 TRANSCRIPT OF HEARING

15
16
17 A P P E A R A N C E S

18
19 For the Oil Conservation Division: W. Perry Pearce
20 Attorney at Law
21 Oil Conservation Commission
State Land Office Bldg.
Santa Fe, New Mexico 87501

22 For the Applicant: Anthony V. Sorrentino
23 Attorney at Law
24 The Gulf Companies
P. O. BOX 3725
Houston, Texas 77253

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

2

I N D E X

STATEMENT BY MR. SORRENTINO	3
LES D. MUNSON	
Direct Examination by Mr. Sorrentino	4
Cross Examination by Mr. Stogner	8

E X H I B I T S

Gulf Exhibit One, Wellbore Diagram	5
Gulf Exhibit Two, Plat	6
Gulf Exhibit Three, Tabulation	6
Gulf Exhibit Four, Tabulation	6
Gulf Exhibit Five, Dwight's Curve	
(To be submitted later.)	

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: We will now call Case Number 8280.

MR. PEARCE: That case is on the application of Gulf Oil Corporation for a dual completion in Eddy County, New Mexico.

MR. SORRENTINO: Mr. Examiner, I'm Tony Sorrentino, Houston attorney for Gulf Oil.

I'm appearing here today in association with the Kellahin and Kellahin firm, and I have one witness.

MR. PEARCE: Are there other appearances in this matter?

(Witness sworn.)

MR. SORRENTINO: Mr. Examiner, Mr. Pearce has correctly stated the nature of our application today. We are here seeking approval to dually complete the Artesia State Com No. 1 Well, located in Eddy County.

The Division has requested that we present this application in a hearing format.

I have one witness from our Midland, Texas office in support of our application, Mr. Les Munson, who I will call at this time.

1
2 LES D. MUNSON,

3 being called as a witness and being duly sworn upon his
4 oath, testified as follows, to-wit:

5 DIRECT EXAMINATION

6 BY MR. SORRENTINO:

7 Q Mr. Munson, for the record could you
8 state your name and by whom you're employed, please?

9 A My name is Les D. Munson. I'm employed
10 by Gulf Oil Corporation.

11 Q What is your educational background, Mr.
12 Munson?

13 A I received a Bachelor of Science in in-
14 dustrial engineering at University of Texas, Arlington, and
15 was hired by Gulf and have been practicing as a petroleum
16 engineer with them since August, 1980.

17 I am currently assigned to the Proration
18 Unit in our Midland Division, Midland Office, Western Divi-
19 sion.

20 MR. SORRENTINO: Mr. Examiner,
21 do you have any questions of the witness' qualifications as
22 an expert in petroleum engineering?

23 MR. STOGNER: Mr. Munson, have
24 you testified at this Division hearing or a Commission hear-
25 ing here in Santa Fe before?

A No, sir.

MR. STOGNER: Mr. Munson is so

1
2 qualified.

3 MR. SORRENTINO: Thank you.

4 Q Mr. Munson, are you familiar with the Ar-
5 tesia State Com No. 1 Well?

6 A Yes. Our Exhibit One is a wellbore dia-
7 gram which describes the -- describes the well physically as
8 well as the proposed equipment installation.

9 Q Gulf made an administrative application
10 to dually complete this well on June 18th, 1984.

11 Could you give us the relevant details of
12 that application, please?

13 A Yes. The original application was made
14 by Form C-107, as required. The pertinent, the relative
15 information shows there are two zones to be -- the well's to
16 be dually completed in two zones.

17 The upper zone is the Travis Upper Penn,
18 just completed from 9669 to 9780 feet and is productive of
19 oil and gas and currently flowing.

20 The initial production from that well was
21 150 barrels of oil and 260 Mcf gas per day.

22 The lower zone is the Turkey Track North
23 Morrow Gas Zone, which would be from 10,678 to 10,860 feet
24 and is gas productive and flows.

25 Its initial potential was 396 Mcf gas per
day and 3 barrels of water.

The application was signed by the Area
Production Manager in our Hobbs office.

1
2 Q What is the general location of this
3 well?

4 A Exhibit Two is a 16-section plat and
5 includes the section our well is located in.

6 Specifically, our well is the Gulf
7 Artesia State No. 1, located Section 23, Township 18 South,
8 Range 28 East. You can see in Section 23 where it's
9 located.

10 Q Are there other wells completed in this
11 field in a similar manner?

12 A Yes. The Holly Energy Corporation State
13 B-14 Com No. 1 is completed in a similar manner. It's
14 directly north of us within a half mile north of our well.
15 It was granted administratively in September, 1981 and
16 mechanically is identical to our proposed installation.

17 Q Could you please describe the producing
18 characteristics of the Holly Well?

19 A Exhibit Three is a production tabulation
20 and graphical representation of production from the Holly
21 Energy Well, B-14.

22 The first stable month's production was
23 May, 1981. It was 6007 barrels of oil, 14,861 Mcf gas, 384
24 barrels of water monthly figures.

25 The current production as of February, or
production for the month of February, was 3570 barrels of
oil, 14,342 Mcf gas, and 100 barrels of water.

Our Exhibit Four is a similar history for

1 the Empire Morrow South gas which is present in this well.

2 First month stable production was April,
3 1981, 1419 barrels condensate, 46,860 Mcf gas, 106 barrels
4 of water.

5 Production for the month of February,
6 1984 was 318 barrels condensate, 13,475 Mcf gas, and 12 bar-
7 rels of water.

8 Q What producing pressures are found in the
9 Holly B-14 Well?

10 A The flowing -- flowing pressure for the
11 Morrow zone is approximately 760 psi and the flowing pres-
12 sure for the Travis Upper Penn zone in that well is approxi-
13 mately 420 psi.

14 Q To your knowledge has Holly Energy ex-
15 perience any problems in producing this well?

16 A None to date. The only problems they've
17 had were they've had down time for packer leakage test and
18 they've been curtailed from time to time due to lack of mar-
19 ket demand.

20 Q Mr. Munson, in your opinion will granting
21 of this application prevent waste and result in the protec-
22 tion of correlative rights?

23 A Yes.

24 Q Were Exhibits Numbers One through Four
25 prepared by you or under your supervision and control?

A Yes, they were.

MR. SORRENTINO: Mr. Examiner,

1
2 at this point I'd like to offer Exhibits Numbers One through
3 Four into evidence and tender the witness for any questions
4 that you may have.

5 MR. STOGNER: Exhibits One
6 through Four will be admitted into evidence.

7
8 CROSS EXAMINATION

9 BY MR. STOGNER:

10 Q Mr. Munson, when was your Artesia State
11 Com Well No. 1 drilled?

12 A Let's see, I'm looking for my spud date.
13 Okay, March 2nd, 1984.

14 Q And what was its initial goal, what for-
15 mation?

16 A I believe it was the Travis Upper Penn
17 and the well is completed down through the Morrow to test to
18 see if the -- see if it would be productive.

19 Q So your Penn was your initial goal with
20 your Morrow as a secondary goal?

21 A Yes, sir.

22 Q What size of production casing is in this
23 hole?

24 A 5-1/2 inch, Mr. Examiner.

25 Q This would make it, because of the 5-1/2
inch casing, this would make it impossible to run dual com-
pletion?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Yes, sir.

Q Okay, on your schematic marked Exhibit Number One, what's the top of the cement in your production casing?

A It is 8690 feet. That's by temperature survey.

Q And what is the 9-5/8ths inch intermediate set at? Is that 2999?

A Well, 2999.

Q So essentially you've got an uncased area, I mean an uncemented area in the production string from 8690 to 2999?

A That's right.

Q Did you run any pressure test on that production casing when this hole was drilled?

A Yes, sir, that test was run as soon as the -- as soon as the production string was set and cemented, before any perforations were made. That string was tested for 2500 psi and that was January 26, 1984, and there was one of the sundry notices also reflected that, a sundry notice dated April or dated January 30, 1984.

Q Well, let's back up a little bit here. This test was run when?

A My drill core shows January 26th. I believe I've given you an incorrect spud date on that. Let me look if it was.

Okay, spud date -- I'm sorry, spud date

1
2 was December 6th, 1983.

3 Q Okay. Thank you.

4 Do you know of any producing formations,
5 either oil, gas, or water, between 8690 and 3000 feet that
6 could be corrosive or have been corrosive in the past in any
7 wells at that depth?

8 A No. There's a Wolfcamp -- there's a
9 Wolfcamp zone that is -- the bottom of the Wolfcamp zone is
10 approximately 8630 at this point. That zone is the only
11 zone that would be productive of anything.

12 In this particular area it is thought to
13 be water productive and there's no production from that zone
14 in the general area.

15 I believe the Wolfcamp is generally sweet
16 where it's found in this -- found in this area.

17 Q Is there any water disposal into that
18 Wolfcamp anywhere around here?

19 A None to my knowledge.

20 Q On your schematic, then, again on Exhibit
21 Number One, you show to produce the Morrow.

22 A Yes, sir.

23 Q Up through some tubing, through the Can-
24 yon Penn interval between two packers.

25 A Uh-huh.

Q And then cross over to the annulus be-
tween the tubing and the 5-1/2 inch casing.

A Yes, sir.

1
2 Q All the way to the rest -- all the way to
3 the surface, and you show your Canyon Penn production inter-
4 val coming into the annulus between the tubing and the 5-1/2
5 inch casing between those two packers and then crossing over
6 into the tubing.

6 A Uh-huh.

7 Q Is that correct?

8 A That's right.

9 Q What size of tubing are you going to be
10 running?

11 A 2-3/8ths inch tubing.

12 Q How about between the packers?

13 A I believe it will be the same size.

14 Q The Morrow production in that area, do
15 you know of any corrosive -- corrosiveness that exists in
16 either the gas or any of the water that's in there?

16 A No. Not really. I talked to some per-
17 sonnel from Holly Energy and they indicated they hadn't had
18 -- they haven't seen any indication of corrosiveness in
19 their wells and they've been -- they've been producing since
20 1980.

21 We've had analysis run and hydrogen sul-
22 fide is not a problem in this area.

22 Q This Baker Model C Tandem Tension Packer
23 with wireline set crossover assembly, who manufactures this?
24 Does Baker manufacture --

25 A I assume Baker manufactures this -- this

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

packer assembly.

Q So it's readily available in the industry?

A Yes, it is.

Q Do you have any pressure data in either the Morrow or the Canyon Penn in this area?

A I don't have any -- any producing data except -- except what was in the Holly, what's been in the Holly Well.

I do have a DST on the Travis Upper Penn and other than that I don't have any other pressure data.

Q So you don't know what your bottom hole pressure in the Morrow was?

A The Morrow, I do believe, let's see, I've got the 4-point test that was run on that, so that would give some pressure data.

Their 72-hour closing pressure was 2400 psi on the tubing, tubing pressure 2400 psi on the Morrow.

Q Okay.

A It looks like bottom hole pressure 3455.

Q If the Morrow had to be shut in at any time, could it be shut in down hole in this packer assembly?

A I believe it could. You can run a -- you can run a wireline blanking plug and set it in the crossover assembly. That crossover assembly gives freedom to change your flow -- change your flow many different ways, but that is one possibility, so you could blank off that flow nipple

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

and the effectively close in the Morrow.

Q Do you know if that's standard practice if you had to shut in the Morrow?

A I don't know.

Q What worries me is you've tested the casing at 2500 feet. You tell me the bottom hole pressure in the Morrow is 3450. What is the minimum bursting pressure in the 5-1/2 inch string?

A I'd have to look it up to be sure but I believe it's -- it's somewhere around 4800 psi.

Q What kind of condensate production do you anticipate from the Morrow?

A We expect 6 or 7 barrels per day. We may -- it may produce more than that, I don't know, but the first -- first test we've made on it indicates there will be 6 or 7 barrels per day condensate.

And water was negligible after the -- after the completion fluids are cleaned up the water production was negligible.

Q What's the present status of this Artesia State Com No. 1?

A It's shut in. It's shut in awaiting -- awaiting for approval to dual complete.

Q Okay. In the Holly Energy Incorporated Well No. 1 that you alluded to several times and had exhibits on, it has this same type of downhole assembly.

A Let me -- let me add one thing. Their --

1
2 their tools of choice are Otis but the configuration of
3 those tools is essentially the same as the Baker.

4 Q The production that -- from the Morrow
5 that you show on Exhibit Number Four, essentially shows the
6 water production in the beginning to be relatively high,
7 then dropping off, and it seems to be stabilized at around
8 10 barrels of water.

9 Do you anticipate this same type of pro-
10 duction configuration in your well?

11 A From what we've seen. We haven't seen
12 evidence that we'll start out with that much water but the
13 end of the month allocation could -- we could start out as
14 high as that, and we would expect it to be very similar in
15 producing behavior.

16 Q Did you run a gas/oil ratio test or
17 water/gas ratio test on this well, other than your deliver-
18 ability?

19 A No, sir.

20 Q Do you have any pressure data on that
21 Holly Well, how much the pressure has dropped over the
22 years?

23 A I -- I may have. I know -- I know what
24 their producing pressures are right now.

25 I've got a Dwight's curve for that well.
Okay, Dwight's -- the Dwight's I have for the Morrow shows
only a wellhead shut-in pressure and that is 1283, 1283, the
last test being January of '83, so you'd expect that to be

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

pretty indicative of the downhole pressure.

Q Would you please copy that and submit that --

A Sure.

Q -- to me as Exhibit Five?

A Okay.

MR. SORRENTINO: Sure.

Q Have you made any calculations, flow calculations of the annulus area of the minimum pressure it would -- it would take to lift, say, your water and condensate load?

A No. I did talk to, again, I didn't make any specific calculations like that, but in talking to Holly I asked them if they ever had, when they were curtailed, had the well shut in, I asked them if they ever had any trouble resuming production, and they say that to date they've never, they've never had to swab or coach the well other than just working the choke to have production resumed in that well.

Q That would be pretty difficult to swab this, I would think.

A It can be done, though. They can do it.

Q How?

A They -- they can blank off the production from the Penn and the swabbing, effectively the swabbing would be done from the top packer at 96 -- 9650, as shown on this. And that would let them reduce the load, in any case,

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

to have production resume.

Q If it gets to a point where this well logs off with fluid because you don't have enough pressure to lift this in this big of a cross-sectional area, what is Gulf's proposal to do then?

A If it ever reaches that point, we'll go in and swab it and fully expect it to flow after that.

If it didn't flow, we would look, I'm sure we would look toward possibly abandoning the zone, because pressure would actually be depleted by then.

Or go in and do an additional stimulation of some kind.

Q Could these two zones be downhole commingled?

A I don't -- I don't really know. I do know, you know, one's basically an oil zone and the other is basically a gas zone, and depletion rates may be dissimilar enough to -- that you might have some crossflow at some time.

I don't think it's been done anywhere in this -- in this area; hasn't been done anywhere in this 16-section area.

It would be a possibility we could look at.

MR. STOGNER: I have no further questions of this witness at this time.

Is there any other questions of

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Mr. Munson?

MR. SORRENTINO: I don't have any other questions of him, sir.

You'd like us to submit the Dwight's test, was it?

A It's Dwight's curve.

MR. SORRENTINO: Dwight's curve as an additional exhibit, is that correct, sir?

MR. STOGNER: Yes, sir, if you would, please.

MR. SORRENTINO: Fine. I have nothing further. Thank you, Mr. Examiner.

MR. STOGNER: Okay. Does anybody else have anything further in Case Number 8280?

If not, this case will be taken under advisement.

I'm sorry, it will be left open pending the --

MR. SORRENTINO: Sure.

MR. STOGNER: -- submittal of Exhibit Number Five.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of case no. 8280 heard by me on July 25 1984.
Michael J. Stegman, Examiner
Oil Conservation Division