

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

16 January 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of Blanco Engineering, CASE
Inc., for salt water disposal, 8323
Eddy County, New Mexico.

BEFORE: Gilbert P. Quintana, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation	Jeff Taylor
Division:	Attorney at Law
	Legal Counsel to the Division
	State Land Office Bldg.
	Santa Fe, New Mexico 87501

For the Applicant:	W. Thomas Kellahin
	Attorney at Law
	KELLAHIN & KELLAHIN
	P. O. Box 2265
	Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

For Yates Petroleum Corp. William F. Carr
Attorney at Law
CAMPBELL & BLACK P.A.
P. O. Box 2208
Santa Fe, New Mexico 87501

I N D E X

STATEMENT BY MR. KELLAHIN	4
STATEMENT BY MR. CARR	7
PAUL G. WHITE	
Direct Examination by Mr. Kellahin	8
Cross Examination by Mr. Carr	26
Redirect Examination by Mr. Kellahin	27
RANDY G. PATTERSON	
Direct Examination by Mr. Carr	31
Cross Examination by Mr. Kellahin	34
Cross Examination by Mr. Taylor	39
Recross Examination by Mr. Kellahin	44

1		3
2		
3	I N D E X	
4		
5	DAVID FRANCIS BONEAU	
6	Direct Examination by Mr. Carr	47
7	Cross Examination by Mr. Kellahin	56
8	Cross Examination by Mr. Quintana	69
9	Recross Examination by Mr. Kellahin	71
10	PAUL G. WHITE (RECALLED)	
11	Redirect Examination by Mr. Kellahin	77
12	Cross Examination by Mr. Quintana	86
13		
14	STATEMENT BY MR. CARR	88
15	STATEMENT BY MR. KELLAHIN	92
16		
17		
18		
19	E X H I B I T S	
20		
21	Blanco Exhibit One, C-108	10
22	Blanco Exhibit Two, Agreement	17
23	Blanco Exhibit Three, Order	19
24	Blanco Exhibit Four, List	22
25	Blanco Exhibit Five, C-103	27
	Blanco Exhibit Six, Cross Section	77

E X H I B I T S

Blanco Exhibit Seven, Cross Section	77
Blanco Exhibit Eight, Cross Section	77
Blanco Exhibit Nine, Calculations	79
Blanco Exhibit Ten, Production Rates	81
Yates Exhibit One, Land Plat	32
Yates Exhibit Two, Lease	33
Yates Exhibit Three, Plat	48
Yates Exhibit Four, Log	50
Yates Exhibit Five, C-104	51

1
2
3 MR. QUINTANA: We'll call Case
4 8323.

5 MR. TAYLOR: The application of
6 Blanco Engineering, Inc., for salt water disposal, Eddy
7 County, New Mexico.

8 MR. KELLAHIN: If the Examiner
9 please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
10 on behalf of the applicant and I have one witness to be
11 sworn.

12 MR. QUINTANA: Are there other
13 appearances in the case?

14 MR. CARR: May it please the
15 Examiner, my name is William F. Carr, with the law firm
16 Campbell and Black, P. A., of Santa Fe, appearing on behalf
17 of Yates Petroleum Corporation.

18 MR. QUINTANA: Do you have any
19 witnesses?

20 MR. CARR: I have two wit-
21 nesses.

22 MR. QUINTANA: Will all wit-
23 nesses please stand at this time to be sworn in?

24 (Witnesses sworn.)

25 MR. KELLAHIN: Mr. Examiner,
Blanco Engineering, Inc. seeks the approval of the Division

1 for the use of the PanAmerican Flint Well in Section 22 as a
2 salt water disposal well in the Atoka formation to give it
3 an opportunity to avoid the onerous and expensive trucking
4 charges they continue to incur to dispose of produced water
5 from San Andres oil wells in the area.

6 Blanco Engineering seeks to do
7 what other operators, including Yates, have done in the
8 area, and that is to locate and utilize a wellbore that has
9 been depleted from the deep gas zones and to convert that
10 well into a disposal well for the produced San Andres water.

11 On September 5th, 1984, before
12 you, Mr. Quintana, as an Examiner, Blanco Energy presented
13 its C-108, its exhibits and its testimony concerning the
14 utilization of the Flint Well for disposal purposes.

15 The Commission, or the Division
16 entered Order 7693, effective November 9th, 1984, approving
17 that well for that purpose.

18 Thereafter Mr. Paul White, who
19 is President of Blanco Energy, entered upon that well and
20 commenced to convert that well for disposal purposes, ex-
21 pending dollars in excess of \$55,000 for the conversion.

22 I forgot the exact date, but I
23 believe some time in December, if I'm not mistaken, Mr.
24 White and the Commission were contacted for the first time
25 and it became apparent that Yates Petroleum Company had been
omitted as one of the parties to be notified of the salt
water disposal case.

1
2 The notice to Yates Petroleum
3 Corporation was not made. They are in fact a working inter-
4 est owner in the area. They in fact have the lease on the
5 surface for minerals where this actual well is located.

6 Therefore, we believe the only
7 appropriate thing to do, and what the Division has done, has
8 called this case and docketed under this docket number to
9 give Blanco Energy the opportunity to persuade the Commis-
10 sion that they ought to still utilize this wellbore for this
11 disposal with Yates present at the hearing to present their
12 opposition and to allow you to determine whether or not this
13 well ought to be used for disposal purposes or whether or
14 not it ought to be further tested in some way for gas pro-
15 duction.

16 We are not asking you, nor are
17 we prepared to ask you, to resolve the legal rights to the
18 wellbore.

19 The background with regards to
20 the well is a matter we're not bringing to the Commission,
21 but for your information, the evidence available is that the
22 Flint Well was drilled by PanAmerican, now Amoco, a number
23 of years ago, and on September 15th, 1970, that well was
24 plugged and abandoned, having been watered out in the Atoka
25 gas zone. It produced gas in the Atoka, it watered out,
they plugged and abandoned the well.

That lease expired. Thereafter
Yates obtained a lease on that property for the oil and gas

1 minerals. That lease does not say anything about the plug-
2 ged and abandoned well.

3 In August of '84 the same les-
4 sor, being the surface and the mineral owners that conveyed
5 the oil and gas interest to Yates, signed an agreement with
6 Blanco to allow them to utilize this plugged and abandoned
7 well for salt water disposal purposes.

8 So there is an unresolved legal
9 dispute over who had the right to use the wellbore ultimate-
10 ly, and Mr. Carr and I will have to resolve that.

11 Blanco's position under this
12 application is to have the Division make, under its specific
13 rules, a determination based upon substantial evidence that
14 either we can utilize the formation for disposal or that
15 there is substantial evidence to allow Yates to use the
16 wellbore to test for further gas production.

17 That is the issue, as I see it,
18 that you need to decide, and that is that issue that we are
19 prepared to go forward with today.

20 MR. CARR: Mr. Examiner, I bas-
21 ically concur in the statement made by Mr. Kellahin.

22 The question is not the owner-
23 ship of the wellbore; at least that's not the question be-
24 fore you. We will have to resolve that question elsewhere.

25 Yates will appear before you
today and present evidence that we believe shows that they
should be entitled to go forward and attempt to recomplete

1
2 in this interval to produce gas, and that's the basis of our
3 opposition.

4 We are not asking you to re-
5 solve the ownership question that properly belongs else-
6 where.

7 MR. KELLAHIN: Mr. Examiner,
8 I'm going to present you as a packet of exhibits the same C-
9 108 and the exhibits that were heard by you in Case 8323
10 back on September 5th, 1984, and we are using the same case
11 number in today's case.

12 And so that Yates will have a
13 full and complete opportunity to hear our entire testimony,
14 we are going to repeat that for you today.

15 PAUL G. WHITE,
16 being called as a witness and being duly sworn upon his
17 oath, testified as follows, to-wit:

18 DIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q For the record, Mr. White, would you
21 please state your name and occupation?

22 A Paul G. White. I'm an engineer and Pres-
23 ident of Blanco Engineering, Incorporated.

24 Q Mr. White, do you hold any professional
25 degrees in geology or engineering?

A Yes, sir, I hold a professional degree in

1
2 engineering.

3 Q And have you testified before the Oil
4 Conservation Division previously as a petroleum engineer?

5 A Yes, sir, I have.

6 Q And on September 5th, 1984, did you tes-
7 tify before this Examiner in Case 8323 with regards to Blan-
8 co Energy's application for the utilization of the Flint
Well for salt water disposal purposes?

9 A Yes, sir, I did.

10 Q What is your relationship with Blanco
11 Energy, Inc.?

12 A I'm the President of Blanco Engineering,
13 Inc.

14 Q And was Exhibit Number One in that ear-
15 lier hearing in Case 8323 prepared and compiled by you?

16 A Exhibit Number One?

17 Q It's the C-108, Mr. White. Let me show
18 you a copy of it so you're looking at the same thing I am.

19 A Yes, sir. We -- we were instrumental in
20 preparing that along with help from our legal counsel, yes,
sir.

21 Q All right, sir.

22 MR. KELLAHIN: We tender Mr.
23 White as an expert petroleum engineer.

24 MR. QUINTANA: He is considered
as an expert.

25 You may proceed.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q Mr. White, let me direct your attention to Exhibit Number One, and specifically to the plat contained in the information. Do you have that, sir?

A Yes, I have it.

Q Would you identify for us what that plat is?

A This plat was prepared to -- to identify the location of the Flint No. 1 plugged and abandoned gas well. It's located 1980 from the south and 1980 from the east lines, Section 22, Township 18 South, Range 26 East, Eddy County.

Q All right, it's in Section 22. It's in the northwest of the southeast quarter?

A Yes, sir, that's correct.

Q All right. And around that well you have scribed a circle?

A Yes, sir, that's right.

Q That's the half mile radius circle?

A Yes.

Q All right. Would you give the Examiner some of the historical background on the Flint Well in terms of who drilled it, what formations were tested and produced, and when the well was plugged and abandoned?

A The Flint Well was drilled by PanAmerican and they tested, in this well they tested the Abo section and it was not productive.

They tested one zone which is probably an

1
2 Upper Atoka zone, and it -- on a DST and it was not produc-
3 tive.

4 And then they perforated and brought in
5 an Atoka Penn discovery well there, and they produced this
6 as a gas well for some years. It accumulated in excess of
7 5-billion cubic feet of gas.

8 And then the well watered out in 1970 and
9 I think we have evidence to show that it did water out in
10 this zone. It wasn't a matter of depletion. It watered out
11 because of producing rates and it watered out because of it
12 being low structurally.

13 The half mile circle is on there to indi-
14 cate that there were -- there is no Atoka Penn production
15 inside -- producing wells inside that circle.

16 There's a --

17 Q Let me ask you this, Mr. White. When was
18 the Flint Well plugged and abandoned?

19 A It was plugged in September of 1970 and
20 the -- the form filed showed that there were no workover
21 possibilities. That was PanAmerican's analysis of the sit-
22 uation.

23 Q Mr. White, you indicated that you thought
24 the well was plugged in September, 1970.

25 Would you please review your files on the
26 Flint Well and indicate if 1970 or 1979 is the proper date
27 to use?

28 A I -- let me -- let me check one other

1 well file here, Counselor, and I'll -- I think it was 1970.
2 I'll check it.

3 Bear with me just a moment, please.

4 Plugging and abandonment operations were
5 performed and concluded on September the 15th, 1970.

6 Q All right, sir. Thank you.

7 Within the half mile area of review, Mr.
8 White, have you found any plugged and abandoned wells that
9 penetrated through or produced from the interval correlative
10 to the disposal interval in the Flint Well?

11 A Yes, at one time there was the Lea Gas
12 Unit, which is right on the borderline of the circle up in
13 the south half of the northwest quarter. It's the Amoco Lea
Gas Unit Well.

14 That well produced from the Atoka Penn
15 zone and has been plugged and abandoned.

16 And to the south in Section 27, right on
17 the borderline of the circle, again, is the Indian Hawk
18 Well, which I believe produced from the Atoka Penn and is in
19 a state of temporary abandonment at the present time.

20 Q Other than those two wells, are there any
21 other plugged and abandoned wells that penetrated through
the proposed disposal interval?

22 A No, sir, not to the best of my knowledge.

23 Q Are there any producing wells within the
24 half mile radius that produced from formations correlative
25 to the disposal interval or below?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A No.

Q When we look at the plat and we see the various oil well symbols within the half mile radius, what type of oil wells are we looking at?

A Those are San Andres wells which produce from approximately 17 - 1800 feet, I believe, oil wells.

Q Let's turn to the package of information that you have supplied in the C-108 and have you start on the page immediately following the form, and have you describe for us your proposed method by which you will convert the well for disposal purposes.

A We propose to remove dry hole marker and install deadman and clean location and clean out the plugs which PanAmerican had placed in the wellbore. They left all of the casing intact and it was cemented to surface, and we wanted to clean out the cement plugs in the wellbore, and trip out of the hole with the bit, run a packer on the 2-7/8ths tubing and pump in for rates, and if the rate and pressure was commensurate with good salt water disposal technique, we were going to, of course, tube the well up according to the rules and regulations of the Oil Commission and place the monitor devices on the different casing strings and prepare the well for salt water injection.

Q Would you describe for us what you anticipate to the need for the use of this well for disposal purposes?

A In amounts?

1 Q In terms of what the source is of pro-
2 duced water that you want to dispose of in the well and what
3 -- what in your opinion justifies the need for this disposal
4 well.

5 A We have -- and Tom, it's Yeso water in-
6 stead of San Andres water, I might correct that.

7 Q All right.

8 A And we have four producing Yeso wells in
9 Section 25, 18, 26, and we have to produce a lot of water
10 there to get the oil. Evidently the water and oil come
11 through the reservoir right together, and our ratios are
12 sometimes as high as 9-to-1 water, more -- more possibly 6-
13 to-1.

14 Q Is that characteristic of the Yeso wells
15 in the general area?

16 A Yes, sir, it is characteristic of all of
17 them.

18 Q And what are you currently doing with the
19 water produced from those wells?

20 A We have to haul it.

21 Q And at what -- where do you haul it to
22 and what price do you have to pay when you have it hauled?

23 A We have bids for -- the cheapest bid we
24 had for hauling the water is \$1.12 per barrel, and that in-
25 cludes disposing of it.

26 Q And approximately what amount of water is
27 being produced from the four wells, or will be produced from

1 the four wells?

2 A At the present time we've got approxi-
3 mately 900 to 1200 barrels a day from these four wells.

4 Q Do you have an opinion as to whether it
5 will prolong the economic life of your four Yeso wells if
6 you're allowed to use this well for disposal purposes versus
7 continuing to truck the water?

8 A Well, it would prolong the life of the
9 Yeso wells. In fact it is completely pertinent and neces-
10 sary to dispose of this water in some manner besides truck-
11 ing in order to make the whole project an economic feasibil-
12 ity -- feasible.

13 We have, probably, 400,000 barrels of oil
14 in reserve on the Section 25 Yeso formation, and we cannot
15 in any way get that 400,000 barrels of reserves out of the
16 ground, plus 400,000 Mcf of gas, without a disposal well, a
salt water disposal well.

17 Q Do you have future drilling plans in the
18 Yeso formation that will require you to have a disposal fa-
19 cility for your use?

20 A Yes, sir, we do.

21 Q Will the describe for the Examiner gener-
22 ally what those plans are?

23 A We plan to drill 11 more Yeso wells on
24 the north and south half of Section 25, 18 South, 26 East,
Eddy County.

25 Q Have you made any calculations of the an-

1 anticipated reserves in place in the Yeso that will be devel-
2 oped by the additional drilling?

3 A Yes, sir, we feel like that we have in
4 the range of 400,000 barrels of oil to recover from the Yeso
5 formation in Section 25.

6 MR. QUINTANA: Are these addi-
7 tional barrels from what you already have?

8 A No, sir, 400,000 total from the 15 wells,
9 the 4 we have producing plus the 11 that we will drill.

10 Q In reviewing the information that you
11 have presented in the C-108, Mr. White, do you anticipate a
12 need to have a pressure, disposal pressure rate at the sur-
13 face in excess of the pressure limitation of .2 psi per foot
of depth that the Commission establishes as a standard?

14 A No, sir, we do not.

15 Q Do you anticipate that the source of the
16 disposal water will be other than the Glorieta-Yeso produced
17 water from that formation?

18 A No, sir, the only produced -- the only
19 water that we would inject into the well for disposal pur-
poses is Yeso-Glorieta water.

20 Q Within the area of review, do you know
21 whether or not there are any fresh water sources?

22 A Yes, sir, there are fresh water sources
23 in the area of review.

24 Q And at approximately what depths is that
25 water produced?

1 A It's the Artesian water and the depth
2 will vary a bit, but it, in this area it would not be below
3 860 feet.

4 Q Is the proposed disposal well currently
5 or proposed to be cased in such a way that there will be no
6 potential for contamination of the shallower fresh water
7 aquifer from the disposal into the proposed disposal inter-
8 val?

9 A That's true. The Flint Well is cased
10 properly and all ways is -- fulfills all regulations and re-
11 strictions for cementing and pipe, and there would be no
12 threat to any contamination of fresh water in the area.

13 Q Let me stop a moment in reviewing the C-
14 108, Mr. White, and have you identify what I've marked as
15 Blanco Exhibit Number Two.

16 A Uh-huh.

17 Q Can you identify that exhibit for me?

18 A Yes, sir, I can. Would you like for me
19 to tell about it?

20 Q Yes, sir, why don't you describe for us
21 generally how you've come to apply that document.

22 A Okay. After the search at the Commission
23 for an appropriate salt water disposal well, we were advised
24 by counsel, our legal counsel, to obtain an agreement from
25 the owner of the surface and the minerals and obtain an
agreement, a contractual agreement, giving us the right to
enter this plugged and abandoned well and the right to go

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

upon the surface of those lands and do our necessary work on the surface and downhole.

So we talked to the trustee of the W. Flint Trust Account, and received this contractual agreement, which we recorded, and this contractual agreement was worked out where we would pay the owner of the surface and the minerals a certain salt water injection per barrel rate of money, and worked out with her and signed, I think, on -- in August of '84 when we obtained this agreement from Lucille Daly, who is the trustee for the estate.

We obtained this on advice of legal counsel and our legal counsel advised us that this was all that was necessary to get the right to re-enter this non-entity, this plugged and abandoned well on this -- on this ground.

Q Who provided that advice to you, Mr. White?

A Mr. Chad Dickerson, our legal counsel.

Q Subsequent to obtaining what you thought was documentation to allow you to use the wellbore, did you present your C-108 at the Oil Conservation Commission back in September of '84?

A Yes, we did.

Q And did you subsequently receive from the Commission an approval order for the use of the well as a disposal well?

A Yes, sir, we did.

Q Let me show you what I've marked as

1 Exhibit Number Three.

2 Now, subsequent to receiving the approval
3 of the Commission to convert the well to disposal and prior
4 to notification from Yates and the Division about the dis-
5 pute, did you enter into activity to convert this well for
6 disposal purposes?

7 A Yes, sir. Upon receipt of the Order we
8 filed a -- for a re-entry with the District Office in Ar-
9 tesia, New Mexico, and we received approval to re-enter and
10 do the work as outlined.

11 When we received approval, we rigged on
12 the well and we did the necessary surface preparation to the
13 well and then we took a bit and casing scrapper and cleaned
14 out the plug.

15 We circulated the hole. We come out of
16 the hole and ran a packer and pumped into the Atoka perfora-
17 tions, and came out of the hole and shut the well in in an-
18 ticipation of obtaining right-of-way, surface right-of-way
19 for our lines and pumps, and so on.

20 Q Let me now return you to the C-108 and to
21 the schematic of the PanAmerican Flint wellbore that's at-
22 tached in the C-108, and the schematic of the wellbore after
23 you proposed to convert it to salt water disposal, and have
24 you use those two schematics and describe for us what you
25 have done and what the current status is of the wellbore.

26 A Yes, sir, I will. The first schematic is
27 the -- is the wellbore prior to our entering the hole and

1
2 the first schematic was wrong in the plugs. There's a plug,
3 the 25-sack plug was there over the top of the Atoka perfor-
4 ations.

5 And, Mr. Quintana, it's the first schema-
6 tic prior to the conversion.

7 And that plug is over -- was over the
8 Atoka Penn perfs, that 25-sack plug. There was a 10-sack
9 plug around the dry hole marker, but we also encountered
10 about a 50-foot plug right in the area where the base of the
intermediate casing set and we cleaned that out, also.

11 So when we re-entered the well we found
12 the dry hole marker in place and there was about a 50-foot
13 plug at 1200 feet, and then we did encounter this 25-sack
14 plug on top of the perforations.

15 We drilled through and cleaned out the
16 perfs and tripped out of the hole and ran a packer back in
17 on tubing, pumped in the perforations, tripped out of the
18 hole, and sealed over the well with a valve and swedge in
19 anticipation of getting approval from the Commission to run
20 our 2-7/8ths plastic tubing and right-of-way from the other
21 landowners in the area for our pipeline from the producing
wells over to the water disposal well.

22 Q Let me ask you this. At the time that
23 PanAmerican plugged the well, can you give us the footage
24 depths of the various perforations that they had made in the
wellbore?

25 A Well, Counsel, they had -- they did some

1
2 work. As I recall they did some work with DST's in the Abo
3 zone and in an Upper Atoka zone, but the perforations that
4 they produced from is the perforations as they exist 9094 to
5 9116, and that's the -- that's the zone that came in and
6 produced gas commercially in the Atoka Penn. That's the
7 perforations and the only perforations that's open now in
8 the well.

9 Q When you removed the 25-sack cement plug
10 above that interval did the gas from that -- from those per-
11 forations flow to the surface?

12 A No, we anticipated this and it can be --
13 it can be a very dangerous situation, and so we installed a
14 blowout preventer and had the adequate manifold there to
15 handle gas, which might have built up over years in that
16 zone, and we did not encounter any gas; no sign at all of
17 any gas.

18 Q Would you use the subsequent schematic
19 now and tell us what additional activity is required by you
20 to complete the conversion of the well for disposal pur-
21 poses?

22 A Okay. Upon word from Yates Petroleum
23 Corporation personnel that they had not been notified, fur-
24 nished proof of notice, it was very shocking to Blanco
25 Engineering, I might add. I hope that Yates Petroleum Cor-
poration realizes that this is no fault of Blanco's, that we
had depended on legal counsel to do our 108 and notify the
proper authorities.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Upon that telephone call we still didn't believe it, so we researched our file and we found that they were not furnished proof of notice.

We called our attorney and we checked with Mr. Stamets up here in Santa Fe, and when Mr. Stamets told us that proof of notice had not been received by Yates and he had no alternative but to re-open the case, we understood that perfectly. We were very -- to say the least, we were shocked by it, but we at that time complied completely with Mr. Stamets' order, and we did not go back to this well, nor have we been anywhere near the wellsite.

So none of the work on the schematic number two has been accomplished nor done.

But we had planned, according to the schematic two, to fulfill the regulations and the -- and the proper technique mechanically. We had planned to perform this schematic number two; to run 2-7/8ths plastic-lined tubing, a nickel-plated packer, put on the monitor valves and pressure gauges on top, install our pumps and tanks, and have the Commission witness our -- our work as we proceeded.

But none of this has been done.

Q All right, sir. Mr. White, let me show you what I've marked as Exhibit Number Four and ask you to identify it.

A Counsel, this is the list which we have spent. This is the money that we spent to date from the time we received the order to go ahead with our work and --

1
2 and the time that we were -- we suspended operations because
3 of Mr. Stamets' request.

4 Q Should the Examiner determine that Yates
5 should have an opportunity to test the well for gas produc-
6 tion, could you identify for the Division what portion of
7 the cost that you have expended that would not have to now
8 be expended by Yates in order to further test the well?

9 I don't mean that you have to go through
10 each item --

11 A Right.

12 Q -- but can you generally tell us what
13 portion of this amount of money would inure to the benefit
14 of Yates in order to test the well for gas?

15 A I would say \$35,000 of the total they
16 would not have to expend to go into the well.

17 The -- the only item on there I see, Tom,
18 the George Young Sales, that plastic-coated tubing, we've
19 already bought some of that and they wouldn't have to buy
20 that to test their well. They could use a cheaper -- to
21 test the well they could use a cheaper tubing goods.

22 Q Should the Commission determine Yates
23 should have the right to further test the deep gas zone, can
24 you describe for us the timing, in your opinion as a petro-
25 leum engineer, that would be required in order to give them
the reasonable use of this wellbore to test for the gas
zones?

A Well, if they were going to test the Ato

1
2 ka Penn, present Atoka Penn zones in the well that produced,
3 which, you know, in my estimation is the only zone that's
4 commercial in the well, and if they were going to retest
5 that zone, well, it would only be a matter of, probably, of
6 running a packer and tubing and possibly stimulating the
7 well and swabbing back, so I'm going to say certainly seven
8 days.

8 Q What's required to accomplish that? What
9 type of rig? Do you have to set a rig on the well?

10 A Yes, you'd have a completion rig, pulling
11 unit, and tubing and packer, and certainly you'd have a --
12 if -- if the election was to stimulate the well, you'd need
13 a service company with acid trucks, and so on, and then
14 you'd use the same completion unit to swab back your fluids
15 and get a test on the zone.

15 Q Let's continue through with the C-108,
16 Mr. White.

17 You have attached to the C-108 rather
18 than a tabulation of the wellbore information of wells with-
19 in the area of review, you've simply attached the well in-
20 formation itself, have you not?

21 A Yes, sir, I have made copies of all of
22 those wells in the -- in the half mile circle, Mr. Examiner,
23 and just attached the Commission report to the 108.

23 Q And as we go through the 108 there are
24 some chemical analyses and compatibility reports that were
25 submitted.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Yes, sir, we --

Q Would you describe those for us?

A Yes, sir. We took water samples of the Yeso and the Atoka zone, and we took water samples of any fresh water well within the area and submitted those samples to show that there was compatibility between the Yeso produced water and the Atoka water.

Q Was Exhibit One, the C-108, and its attachments prepared by you or compiled under your direction and supervision?

A Yes, it was, along with -- in conjunction with our legal counsel, Chad Dickerson.

Q All right, sir.

MR. KELLAHIN: If the Examiner please, we move the introduction of Exhibits One, Two, Three and Four at this time.

MR. QUINTANA: Exhibits One through --

MR. KELLAHIN: Four.

MR. QUINTANA: -- Four will be admitted as evidence.

MR. KELLAHIN: That concludes my direct examination of Mr. White.

MR. QUINTANA: Any questions of Mr. White?

MR. CARR: I have just a couple.

CROSS EXAMINATION

BY MR. CARR:

Q Mr. White, on the reports that were filed by PanAm when they abandoned the subject well, did they indicate that there were no workover possibilities?

A Yes, sir they did. They -- the form reads this way: Well has watered out. In the compiling of the producing rates of gas, the well was producing 55-million and then 1-million. It doesn't deplete like a well that's depleted with pressure depletion. It's a water encroachment.

Well has watered out; unable to return to producing status. No workover possibility. Propose to P & A as follows. And then they give the proposal on their form filed just prior to the plug and abandonment.

Q Now to be sure we're all talking about the same thing, the name of the pool is the Atoka Penn.

A Yes, sir.

Q And the interval that we're all talking about is the interval from 9094 to 9116, and that's actually a zone below what we talk about as the Atoka formation, is that not correct?

A Well, the well is in the proration schedule as being the Atoka Penn Pool.

Q It's in the Atoka Penn Pool.

A Uh-huh.

1 Q But we can agree that we're talking about
2 the perforated interval from 9094 to 9116 --

3 A Yes, sir, that's the perforated interval,
4 Mr. Carr, in the Penn, yes, sir.

5 Q Do you have any other place to dispose of
6 the water produced from these wells?

7 A No, sir, we do not.

8 Q You don't have any other possible dis-
9 posal wells?

10 A No, sir, we do not at the present time.

11 MR. CARR: That's all the ques-
12 tions I have.

13 MR. QUINTANA: I have no ques-
14 tions.

15 REDIRECT EXAMINATION

16 BY MR. KELLAHIN:

17 Q Mr. White, I show you what I have marked
18 as Exhibit Number Five. Is this the C-103 that you were re-
19 ferring to in response to Mr. Carr's questions?

20 A Yes, sir.

21 Q And where did you obtain that copy of
22 that C-103?

23 A When I went over to the District Offices
24 I researched the -- I researched the whole area trying to
25 determine -- trying to come up with some candidates for salt
water disposal possibilities, and in researching these, I 3-

And so in researching the Commission files I came from the beginning of this well on through and came up with the fact that it had watered out; that there was no possibility that anyone would want to rework the well at all, and there's another zone on the log which we drill stem tested and it showed recovery of drilling mud, and so I chose this well because I thought, well, there's no workover possibilities.

Q Well, approximately how many wells did you examine as possible candidates for disposal of water?

Q And in your opinion was this the one most suitable from a re-entry standpoint for disposal?

It's deep. It's a deep well and the Com-

1 mission has shown a willingness, if the well is deep and
2 cased, they've shown much more of a willingness than to put
3 it in a shallower zone.

4 So it fit the picture, as I could see it,
5 perfectly.

6 Q Would you turn to the plat in the C-108
7 and identify for us the Yates disposal wells in this inter-
8 val in the immediate area? Can you do that for us?

9 A Well, in that area, Counselor, they --
10 Yates Petroleum Corporation is disposing of produced water
11 in their Bob Gushwa Well, which if you'll look in Section
12 21, it's in that section, Mr. Quintana, where Dayton Town-
13 site is, and it's located 1650 from the south line and 1650
14 from the east line in Section 21, which puts it a little
over a mile away from this Flint Well.

15 They're also disposing of water in their
16 Dayton Townsite Well, which is in the Atoka Penn Pool.

17 It's located 1980 from the north and 1980
18 from the east lines of Section 21.

19 The Bob Gushwa Well, as of August, had
20 had about, approximately, 3-1/2 million barrels disposed of
21 in the Gushwa Well and the Dayton Townsite Well, as I under-
22 stand it, has just been approved by the Commission for dis-
posal.

23 Q Your proposed disposal in the Flint Well
24 is to be in the zone that's similar to those used by Yates
25 in their wells?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A It's exactly the same zone.

Q All right, sir.

MR. KELLAHIN: I have nothing further.

MR. QUINTANA: Did you make this an exhibit?

MR. KELLAHIN: I'm sorry. I move the introduction of Exhibit Number Five.

MR. QUINTANA: Exhibit Five will be entered into evidence.

Any more questions?

MR. CARR: No further questions.

MR. QUINTANA: Mr. White, I have no further questions.

Are there any further questions of the witness?

If not, you may be excused.

A Thank you, Mr. Examiner.

MR. QUINTANA: All right, Mr. Carr.

MR. CARR: At this time I'd call Randy Patterson.

RANDY G. PATTERSON,
being called as a witness and being duly sworn upon his oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. CARR:

Q Would you state your full name and place of residence?

A My name is Randy G. Patterson. I live in Artesia, New Mexico.

Q Mr. Patterson, by whom are you employed and in what capacity?

A I am employed by Yates Petroleum Corporation of Artesia, New Mexico, as their Land Manager.

Q Have you previously testified before this Commission or one of its examiners and had your credentials as a landman accepted and made a matter of record?

A Yes, sir, I have.

Q Are you familiar with the application filed in this case by Blanco Engineering, Inc.?

A Yes, sir.

Q Are you familiar with the PanAmerican Flint No. 1 Well and the surrounding acreage?

A Yes, sir.

MR. CARR: Are the witness' qualifications acceptable?

MR. QUINTANA: Yes.

Q Mr. Patterson, what does Yates Petroleum Corporation seek in this case?

A Yates Petroleum Corporation seeks a de-

1 nial of the application to use this well as a water disposal
2 well, since it has plans to re-enter the well itself as a
3 producer.

4 Q Have you preped certain exhibits for in-
5 troduction in this case?

6 A Yes, sir.

7 Q Would you refer to what's been marked for
8 identification as Yates Exhibit Number One, identify this,
9 and review it for the Examiner?

10 A This is a land plat showing the 9-section
11 area surrounding the subject well.

12 The yellow shaded acreage is acreage
13 which Yates owns all or partial interest and for the most
14 part is the operator of all that acreage.

15 The red spot in the northwest/southeast
16 of Section 22, Township 18 South, Range 26 East, is the sub-
17 ject well, PanAmerican Flint Gas Com No. 1.

18 Q Mr. Patterson, when did Yates first learn
19 of Blanco's plans to convert the PanAmerican Flint No. 1 to
20 a salt water disposal well?

21 A Our first knowledge of these plans was
22 around December 15th.

23 Q And how did you discover --

24 A 1984.

25 Q And how did you discover this?

A Our management had decided to re-enter
the well to make a gas well. They sent a -- one of our em-

1
2 ployees to the OCD Office there in Artesia to gain some lo-
3 cation -- gain information about the location and any other
4 information that we might not have had.

5 At that time the gentleman was informed
6 that there was an order on file that permitted the salt
7 water disposal and that the well was in use.

8 And prior to this we had no knowledge of
9 it.

10 Q Would you now refer to what has been
11 marked as Yates Exhibit Number Two and identify this,
12 please?

13 A Exhibit Number Two is a copy of Oil and
14 Gas Lease, dated October 21, 1975, between Elaine Flint and
15 Carl Schillinger on the subject property, north half south-
16 east of Section 22.

17 The next, or third page, actually, is an
18 assignment from Carl Schillinger and his wife into a Mr.
19 David Garland, and then the next page is the assignment from
20 Mr. Garland into Yates Petroleum Corporation, Abo Petroleum,
21 Yates Drilling, and MYCO Industries, all of which are Yates
22 companies.

23 Q What is the current status of this lease
24 covering the north half of the southeast quarter of Section
25 22?

A Well, it's a held by production lease.

Q Would you summarize for the Examiner
Yates' plans for development of this acreage?

1 A Yes, sir. We plan within the next six
2 months to re-enter the subject well and make it into a pro-
3 ducer of natural gas.

4 Q And what acreage will Yates propose to
5 dedicate to the well?

6 A It will be a south half location.

7 Q In what formation would this well be com-
8 pleted, in your opinion?

9 A I'm not a geologist, but my understanding
10 is that it would be in the Morrow.

11 Q And there will be another witness who
12 will testify as to the exact horizon.

13 A Yes, sir, that's correct.

14 Q Were Exhibits One and Two prepared by
15 you?

16 A Yes, sir, and under my supervision.

17 MR. CARR: At this time, Mr.
18 Quintana, we would offer Yates Exhibits One and Two into
19 evidence.

20 MR. QUINTANA: Yates Exhibits
21 One and Two will be entered into evidence.

22 MR. CARR: Pass the witness.

23 CROSS EXAMINATION

24 BY MR. KELLAHIN:

25 Q Mr. Patterson, would you describe for me
what it is that you do for Yates Petroleum Corporation?

1
2 A I am the Manager of the Land Department.
3 I supervise the land related activities of Yates Petroleum,
4 and their entities.

5 Q When did -- you testified that Yates
6 planned to re-enter the well. When did Yates' management
7 formulate the decision to use this well for a re-entry can-
8 didate?

9 A Yates had considered re-entering this
10 well numerous times over the past year. It was a low -- low
11 priority project, not low priority, however it was not as
12 high a priority as some others, expiring leases, and what
13 not. This was an HBP lease, so therefore it was a little
14 bit lower.

15 Other conversations that I was not priv-
16 ileged to, but I understand took place. It's been consid-
17 ered prior to that.

18 Q Who makes those management decisions for
19 Yates Petroleum Corporation?

20 A The Yates brothers themselves.

21 Q And which Yates brothers are you talking
22 about?

23 A John Yates, S. P. Yates, and Martin
24 Yates, III.

25 Q Has Yates attempted to make re-entry at-
tempts in either the Gushwa or the Dayton Townsite Wells
prior to utilizing them for salt water disposal?

A I believe our other witness is going to

1 testify to that.
2

3 Q Do you know of your own knowledge whether
4 Yates attempted to do that in either one of those wells?

5 A I believe that we did, yes.

6 Q And were you able to make an economic
7 well from any of the deeper gas zones for either of those
8 wells?

9 A To my knowledge, we did; however, that
10 testimony will come on later.

11 Q Do you know whether or not those wells
12 are being utilized by Yates as disposal wells?

13 A Yes, sir.

14 Q And what is the answer?

15 A They are being used.

16 Q Do you know, Mr. Patterson what the mini-
17 mum economic criteria is for your company with regards to
18 whether or not they will complete a deep gas well as a com-
19 mercial well?

20 A Well, we're just like any other company.
21 We expect to make a profit when we -- when we do something.

22 A re-entry, of course, is less cost than
23 drilling a well top to bottom.

24 Q Yes, sir, and in making the judgment to
25 re-enter this well, what was the cost that Yates used with
regards to the re-entry amount?

A It would be approximately \$125,000.

Q In order to pay out the re-entry costs

1 and to pay Yates the profit it requires on this type of
2 prospect, what would be the minimum daily volume of gas that
3 would have to be produced from this well?

4 A Well, I would have to calculate that.
5 I'm not prepared to testify to that.

6 Q In the course of performing your function
7 for Yates are you aware of whether or not there is a custom
8 and practice within your company concerning the abandonment
9 of low volume deep gas wells?

10 A Our company makes a practice of getting
11 all of the gas or oil out of a well that they possibly can.

12 Q All right, sir, and for a deep gas well
13 in this area, approximately what abandonment pressure is
14 used before you stop producing a well?

15 A I'm not qualified to testify to that.

16 Q You don't know?

17 I think you've answered it already, Mr.
18 Patterson, you're not prepared today to share with us any of
19 the economic evaluations that your company has prepared in
20 order to determine whether it's economic for your company to
21 re-enter this prospect.

22 A I'm not prepared to testify to that.

23 Q All right. Are you in charge of filing
24 the re-entry permits with the Oil Conservation Division for
25 the Yates wells?

26 A My department is.

27 Q Yes, sir, and has a re-entry permit been

1 filed by Yates for this well?
2

3 A No, we did not file a permit when we
4 found out that we had a problem.

5 Q You had not yet filed the permit prior to
6 the time you realized that --

7 A Our man went to the Commission to obtain
8 information so that he could file the permit.

9 Q And then learned that it has already been
10 subject to the disposal well.

11 A That we had a problem, yes, sir.

12 Q All right, sir. In the event the
13 Commission should allow Yates an opportunity to re-enter the
14 well and test for the deep gas, and should that test be
15 unsuccessful by whatever standard it is judged by, do you
16 have any difficulty in allowing, then, Blanco to use that
17 wellbore for disposal purposes?

18 A I really have not discussed that
19 possibility with the management, so I wouldn't be authorized
20 to -- to answer that.

21 We had assumed that it will make a gas
22 well, so we haven't discussed the possibility of a failure.

23 Q Have you had an opportunity to review Mr.
24 White's estimated costs. They're not estimated costs,
25 actual costs he's expended in the utilization of the
wellbore for disposal purposes to determine which of those
amounts would not now have to be expended by you if you re-
enter the well?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A I reviewed it very quickly; however, there were charges on there that I didn't know what the nature of them were, so it would be difficult to -- to say anything without an analysis of the -- what the charges are.

Q Are you in a position to tell us whether or not Yates is prepared to reimburse Blanco for certain of the expenses that they incurred in cleaning out plugs and whatever that you now not have -- do not have to undertake should you be allowed access to the wellbore?

A No, sir, that has not been discussed with the management.

Q Thank you.

CROSS EXAMINATION

BY MR. TAYLOR:

Q When you all get notice for hearings before the Conservation Commission, are those notices sent to you or are they normally handled by an out-house attorney -- out-of-house --

A Out-of-house?

Q -- attorney?

Or are they received by counsel?

A You're asking a question about notices given from an operator who would be doing something as an offset or on a lease of ours?

Q Either notices of that kind or notices that would affect you or notices, copies of dockets, of the

1
2 Commission that may be sent out?

3 A Normally I receive those notices and dis-
4 cuss those with management.

5 Q Is Mr. Dickerson the -- the counsel for
6 Yates in most instances, or could you explain how that
7 works?

8 A Well, we use -- we use numerous people,
9 but by and large the Losee, Carson and Dickerson firm has
10 been our main law firm.

11 Q And do they normally, if they become
12 aware of a situation where Yates would be affected, is it
13 his normal responsibility to give Yates notice of that?
14 Does he take care of it on his own or does Yates get notice
15 of that in-house?

16 A Well, we -- we expect to get notice on
17 our own. They do our work but we communicate a lot. We
18 talk about a lot of things and I don't know really how to
19 answer that question. I don't -- would you ask me again. I
20 don't quite understand it.

21 Q Well, I'm trying to determine whether
22 through counsel you should have or you did, in fact, have
23 knowledge that this application was pending and in fact had
24 been heard.

25 A Our -- Losee, Carson and Dickerson did
not inform us that we had anything to do with this case, if
that's the question you're asking.

Q At no time was anybody in Yates ever ap-

1
2 prised of the situation.

3 A No, sir.

4 Q Until you discovered it on your own at
5 the offices of the OCD?

6 A That is my understanding. I didn't talk
7 to all the 200 people who work for Yates but that is my un-
8 derstanding and management did not know anything about it,
9 upper management and middle management.

10 Q Did you have anything to do with the ac-
11 quisition of these assignments of this lease?

12 A No.

13 Q Do you know why in the normal course of
14 business you might go around and acquire leases that are to
15 be drilled and I assume the lease expired, the original
16 lease expired?

17 A We -- we acquire leases all over the
18 State of New Mexico and all over the western United States.

19 We acquire numerous leases with dry holes
20 on them, with plugged and abandoned wells.

21 We consider that any plugged and aban-
22 doned well has potential for re-entry.

23 We buy them as leases at the State Land
24 sale for that reason.

25 We buy leases from private individuals
and that's part of our operation, is to buy leases and check
plugged and abandoned wells.

Q Do you ever acquire leases in order to --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

do you assume that when you acquire leases you have a right to plugged and abandoned wellbores on them?

A Well, that's a legal question and I don't --

Q Well, let's say --

A -- I don't know the answer.

Q If you normally acquire leases with plugged wells on them and you do that for the purpose of re-entering them, is that usually specifically defined in that lease or do you just assume when you get that lease that you're getting that right, or how is that determined?

A Standard industry practice has been in the years that if you have a lease with an abandoned well on it, you have a right to re-enter that well.

Q For purposes --

A And many people have done so.

Q For purposes of re-entering for production, as well as purposes -- as well as for purposes of injection or reinjection of produced waters?

A Well, if you have an oil and gas lease, for purposes of production.

Q Did you observe any consideration by Yates of using this well for injection?

A We wanted, just like we did at the other wells, to try the gas and/or oil production before we would inject water into it. We do that with any well that we go into for salt water disposal.

1
2 Q Had there been active consideration, how-
3 ever, of an injection program in this well?

4 A To my knowledge, no.

5 Q When, to your knowledge, when was the
6 first discussion in Yates of re-entering this well?

7 A There's been discussion for several
8 months but I can't pin it down to a date.

9 Q All right.

10 A There's been discussion in our Engineer-
11 ing Department. They've been wanting to do it and it's been
12 considered. Management has talked about it.

13 Q Do you know if any of these considera-
14 tions were presented on paper, either memos or -- or let-
15 ters, looking into the possibiity of re-entering the well?

16 A Well, you have to know how our organiza-
17 tion works to appreciate that we don't send interoffice
18 memos or things like that; we talk about it.

19 Q So normally consideration of that kind
20 would have been by word of mouth.

21 A Yes, sir.

22 MR. TAYLOR: I think that's all
23 the questions I have.

24 MR. KELLAHIN: Everybody else
25 finished? I have a few more questions if it's my turn.

MR. QUINTANA: You may pro-
ceed, Mr. Kellahin.

RE CROSS EXAMINATION

BY MR. KELLAHIN:

Q The dockets for the Oil Conservation Division, such as today's docket, do they go to your attention at Yates?

A Yes, sir.

Q When you receive that docket what is the process that you go through in determining whether or not Yates is affected by any of the cases that are pending on that docket?

A I usually read the docket, more particularly to see if we have a case that we are a party to coming up at a certain time for scheduling purposes.

I do not pull a map on each case and look for -- specifically for offending cases because any offending case we should receive notice.

Q Let me ask you this: If there is an unorthodox well location case on the docket that crowds Yates' acreage, how do you determine if -- how you're affected by that case?

A Sometimes -- sometimes we do not -- don't pick them up.

Sometimes, many times we get notice, courtesy notice from the operators. In fact, I'd say in most cases we get notices or we get calls. I get a lot of calls from somebody, we want to go unorthodox, do you all

1 have any objections?

2 We'll look at it, sometimes a hard look,
3 sometimes a short look, and we'll call them back and say,
4 no, we don't have any objection, and maybe, well, we
5 wouldn't have any objection if you do thus and such, and we
6 talk about it.

7 But usually we get notices.

8 Q Are you aware of any employee in Yates
9 Petroleum Corporation that had any of those kinds of discus-
10 sions or conversations with Mr. White, Mr. Dickerson, con-
11 cerning the salt water disposal application last September?

12 A I am not aware of an employee that dis-
13 cussed this with them.

14 Q Did you make an effort to determine with-
15 in your company whether any of the people had those kinds of
16 conversations?

17 A Yes. The entire, to my best knowledge,
18 there was not.

19 Q Did you review the docket for September

--

20 A Could I add to that?

21 Q Yes, sir.

22 A I feel like, and I'm sure, that manage-
23 ment, specifically the Yates brothers, would have raised an
24 objection at that time had anybody pointed out the fact that
25 this was going on.

Q In reviewing the docket for September

1
2 5th, 1984, were there not Yates Petroleum Corporation cases
3 on that very docket?

4 A Yes, there was.

5 Q Do you recall which of the Yates employ-
6 ees were sent to Santa Fe for that docket hearing?

7 A Yes, sir, it was one of our landmen.

8 Q Do you remember who that was?

9 A I believe it was Janet Richardson.

10 Q Do you remember if Mr. Dickerson was with
11 them?

12 A Yes.

13 Q At that hearing? He represented Yates at
14 that hearing?

15 A Yes, he was.

16 MR. KELLAHIN: I have nothing
17 further.

18 MR. QUINTANA: Mr. Patterson,
19 you may be excused.

20 MR. QUINTANA: Let's take a
21 lunch break.

22 We'll take a lunch break until
23 1:15.

24 (Thereupon the noon recess was taken.)
25

MR. QUINTANA: The hearing will
come to order.

MR. CARR: We call Dave Boneau.

DAVID FRANCIS BONEAU,

being called as witness and being duly sworn upon his oath,
testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. CARR:

Q Would you state your full name and place
of residence?

A My name is David Francis Boneau. I live
in Artesia, New Mexico.

Q By whom are you employed and in what capacity?

A I'm employed by Yates Petroleum Corporation as Engineering Manager.

Q Have you previously testified before this
Commission or one of its examiners and had your credentials
as a petroleum engineer accepted and made a matter of record?

A Yes, sir.

Q Are you familiar with the application
filed in this case by Blanco Engineering, Inc.?

A Yes, sir.

Q Are you familiar with the PanAmerican
Flint No. 1 Well?

A Yes, sir.

1
2 MR. CARR: Are the witness'
3 qualifications acceptable?

4 MR. QUINTANA: Yes, they are.

5 Q Mr. Boneau, Mr. Boneau, have you prepared
6 certain exhibits for introduction this afternoon?

7 A Yes, sir, I have.

8 Q Would you please refer to what has been
9 marked for identification as Yates Exhibit Number Three and
10 review that for Mr. Quintana?

11 A Yes, sir. Exhibit Three is a map of the
12 area in question. It covers the nine sections surrounding
13 the Flint No. 1.

14 Marked in red is the subject well and the
15 two wells in Section 21 that Yates now uses as salt water
16 disposal wells are marked with blue dots.

17 Q Now does this show all wells in the area?

18 A No, sir. This -- this map was prepared
19 to show the deep wells, and by "deep" I mean below -- wells
20 that penetrated below 8000 feet.

21 That is 20 wells drilled below 8000 feet.
22 Also included, one well in Unit B of Section 29 that TD'ed
23 at 6262, and that was included because it was referenced in
24 the original testimony back in 1984 in this case.

25 Q Mr. Boneau, would you now look at the two
wells in Section 21? Did Yates attempt to complete these as
-- as producing wells prior to conversion for disposal pur-
poses?

1
2 A I think that recompletion is not the ap-
3 propriate term, but Yates produced those wells down to quite
4 a low pressure and to an advanced stage of depletion before
5 they were abandoned.

6 They were both -- they were both Morrow
7 producers and Yates produced gas out of the Bob Gushwa until
8 1976, and Yates produced gas out of the Dayton Townsite un-
9 til 1983.

10 You'll recall that the Flint was aban-
11 doned in 1970.

12 Yates installed compressors on these two
13 wells so that their productive life could be extended and
14 Yates was quite successful in, you know, producing what you
15 would call "extra gas" over the -- if you take the Flint as
16 a base case, so that in the Dayton Townsite and Bob Gushwa
17 between one and two bcf of gas was produced out of those
18 wells by Yates by using compressors and that is gas past the
19 point when the bottom hole pressure and the tubing pressure
20 were at levels equivalent to the point where the Flint was
21 abandoned.

22 Q Now, Mr. Boneau, into what interval is
23 Yates disposing water in each of those wells in 21?

24 A Yates is disposing of water into the Mor-
25 row formation in those two wells.

26 Q And does this zone correlate with the
27 zone from which you propose to produce gas in the Flint No.
28 1?

1
2 A It's roughly the same interval on the
3 logs, yes, sir.

4 Q Do you believe that the salt water dis-
5 posal in Section 21 will adversely affect the effort to re-
6 complete in the Morrow in the Flint No. 1?

7 A No, these wells are in separate Morrow
8 channels. Morrow exists in channels, as is well known, and
9 the -- our geologists believe that these are completely sep-
arate channels.

10 Along that line the water injection into
11 the Bob Gushwa from 1976 until the time the Dayton Townsite
12 was abandoned in 1983, did not adversely affect gas produc-
13 tion from the Dayton Townsite.

14 Q Will you now refer to Yates Exhibit Num-
15 ber Four, which is a portion of a log and review that for
16 Mr. Quintana?

17 A Exhibit Number Four is a portion of the
18 log from the subject well, Flint No. 1. It shows a top of
19 the Morrow Clastics at approximately 9010 feet, I believe,
20 and its the subsurface, corresponding subsurface depth is
given there.

21 The exhibit shows where the well has been
22 perforated and it simply makes clear that that interval from
23 9094 to 9116 is the interval that the well produced gas out
24 of from 1969 through '70. It's the interval that Blanco
25 proposes to inject water into. It's the interval that Yates
proposes to produce gas from. The same interval, I call it

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

-- we call it Morrow.

Q Would you now refer to Yates Exhibit Number Five and identify that?

A Okay. Exhibit Number Five is a State form, I believe it's still called a C-104, and its purpose is simply to show that the perforated depth in 1960, 1959 when the well began production was this interval that was marked on the previous log.

It's a form for the subject well, Flint No. 1, and it may have been made clear in previous testimony, but the point is just that we're talking about this one Morrow interval for previous production, possible injection, re-entry by Yates Petroleum for gas production; same interval.

Q Now, that, the interval that's reflected is the perforated interval on Exhibit Number Five, that's the interval you propose to recomplete in, is that correct?

A Yes, sir, that's correct.

Q Do you have plans to attempt to complete in any other zone?

A One of our engineers thinks that there's a -- well, the one of our engineers who's in charge of this area thinks there's a chance in the Wolfcamp interval and I feel that we would attempt a completion in that Wolfcamp interval before we abandoned the well for production.

Q Have you reviewed information that's available on the PanAmerican Flint No. 1 Well?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Yes, sir.

Q Do you know what rate it was producing at at the time it was abandoned?

A It was producing at a rate of -- rate of at a million cubic feet of gas per day and a water rate of approximately 5 barrels of water per day.

Q If this well were to produce at that rate upon recompletion, do you believe that that would justify your re-entry of this well?

A Yes, that type of production would pay out our re-entry costs pretty quickly in a matter of months.

Q What factors have changed since March of 1970 that make this prospect more desireable today than it was at that time?

A There are a couple of factors that have changed since -- since that time.

MR. KELLAHIN: I'm sorry, what was the date?

MR. CARR: March of 1970.

A One factor is that gas prices have increased approximately about tenfold.

A second factor is that Yates now has the experience of operating wells like the Dayton Townsite and the Bob Gushwa with compressors successfully and recovering similar amounts of more or less additional gas from wells very close nearby.

And the third factor, we feel that is

1
2 different is that Amoco, at the time, was producing the well
3 through approximately a 10-mile small diameter line to their
4 Empire Abo Gas Plant on the east side of the river, and we
5 feel that their friction losses and their compression charges
6 and transporting the gas by themselves through this long
7 line was a factor in their decision to abandon the well.

8 Q Mr. Boneau, what was the pressure in the
9 PanAm Flint No. 1 at the time of abandonment?

10 A The latest pressure reported to the State
11 for the shut-in tubing pressure, that was in 1970, the year
12 it was abandoned, was more than 1300 pounds.

13 Q And what was the pressure in the wells
14 that you're disposing in in Section 21 when production
15 ceased in those wells?

16 A The shut-in tubing pressure in those
17 wells was below 500 pounds when production ceased and we've
18 produced wells of that type down to maybe 100 pounds tubing
19 pressure in exceptional cases.

20 Q Mr. Boneau, based on the data you have on
21 the PanAm Flint No. 1 Well, have you made an estimate of the
22 additional gas that you think you can produce from it?

23 A When the Flint No. 1 Well was abandoned
24 in 1970 it contained between 1 and 2 bcf of additional gas
25 that could be recovered by the compression techniques used
on the Dayton Townsite and the Bob Gushwa.

Q Do you believe that the wellbore can be
used for -- successfully for a re-entry?

1
2 A Yes, I thought there could, and it sounds
3 like Blanco has come pretty close to demonstrating that it
4 could.

5 Q What do you estimate the cost of the re-
6 entry to be?

7 A Well, our estimated costs for us doing
8 the job from scratch was \$125,000.

9 Q Does that include stimulation?

10 A That includes stimulations and surface
11 facilities.

12 Q Do you concur in statements that this
13 well in fact watered out?

14 A I don't believe this well watered out.
15 If you examine the -- not only the State's statistical books
16 but if you examine the C-115 reports for the period of time
17 back in 1970, 1969, you'll find that, as I stated, the well
18 produced at a rate above a million cubic feet a day over a
19 long period of time.

20 It was producing above that in was it
21 March of 1970, and on a thirty day basis it produced approx-
22 imately 1100 mcf of gas per day and 5 barrels of water per
23 day.

24 In April it produced one day. It pro-
25 duced over a million cubic feet and 6 barrels of water that
day.

It produced nothing additionally. There
was no evidence that in a -- I'm getting ahead of myself a

1 little bit.

2 The well had produced water in -- a few
3 barrels a day for on the order of two years previously.
4 That water production did not increase. The gas rate per
5 day did not decrease. The well was simply turned off is my
6 conclusion from what I've been able to find, and I looked at
7 not only the State statisticals but I had the individual C-
8 115's for those months back in 1969, 1970.

9 Q What action do you recommend the Commis-
10 sion take on the application pending before them in this
11 case?

12 A I think that the Commission must give
13 Yates a chance to produce this gas from the Morrow interval
14 or some other Pennsylvanian intervals. So I think that the
15 Commission needs to deny Blanco's application so that Yates
16 has this opportunity.

17 Q If this application is granted, what ef-
18 fect would it have on the correlative rights of Yates Petro-
19 leum Corporation?

20 A If Blanco injects water into this Morrow
21 zone, no one will ever be able to even have a chance of re-
22 covering this 1 or 2 bcf of gas and the rights to that gas
23 will obliterated.

24 Q Do you believe that granting the applica-
25 tion would cause waste?

A Yes, sir.

Q Were Exhibits Three through Five prepared

1 by you or compiled under your direction?

2 A Yes, sir, with the proviso that Exhibit
3 Five is simply a copy of a State form.

4 MR. CARR: At this time, Mr.
5 Quintana, we would offer into evidence Yates Petroleum Cor-
6 poration Exhibits Three through Five.

7 MR. QUINTANA: The Exhibits
8 Three through Five of Yates Petroleum Corporation will be
9 entered into evidence.

10 MR. CARR: And that concludes
11 my direct of Mr. Boneau.

12 MR. QUINTANA: Mr. Kellahin?

13 MR. KELLAHIN: Thank you, Mr.
14 Quintana.

15 CROSS EXAMINATION

16 BY MR. KELLAHIN:

17 Q Mr. Boneau, let me direct your attention
18 to your Exhibit Number Three, just to aid us in keeping
19 track of the three wells I'd like to discuss with you.

20 Let me direct your attention, first of
21 all, to the Dayton Townsite well. Was that a well that
22 Yates drilled?

23 A Yates did not drill that well. That well
24 was drilled -- I'm checking my notes to be sure I'm correct
25 -- that well was completed 11-19-1960, November 19th, 1960.

Yates took over operation of the well

1 from Olson Production on March 3rd, 1962, and Yates has pro-
2 duced the well since that time.

3 Q What was the status of the well when
4 Yates took it over from Olson?

5 A As best I can tell from our generation of
6 records, it was a very good producing Morrow gas well.

7 Q You took it over while it was still pro-
8 ducing as opposed to taking over a well that was temporarily
9 abandoned?

10 A That's absolutely correct, yes.

11 Q Did Yates, when it took over the well in
12 '62, I assume produce the existing perforations in this Mor-
row interval?

13 A That's correct, yes.

14 Q To what date, then, did they do that?

15 A It was sometime in 1983. I can find the
16 exact -- well, I can find at least the month here, if it's
17 important enough that I look for a few minutes.

18 January, 1983, is the last month that
19 Yates produced gas out of that Dayton Townsite.

20 Q Did Yates attempt to perforate other
21 zones in the deeper gas intervals in the Dayton Townsite
Well at the end of that production period?

22 A Yes. Yates perforated additional Morrow
23 zones; some additional deep zones; not Wolfcamp. They did
24 put some additional perforations within 100 feet or so of
25 the -- of previous perforations and got no additional gas;

1
2 either it wasn't there or they -- those stringers had been
3 drained by the original perforations. I'm not sure, but
4 they did perforate some additional Morrow zones.

5 Q All right. What was the producing rate
6 in the last month of production for this well on a daily
7 basis?

8 A Oh, we produced 332 mcf in that month. I
9 do not know how many days that was but my recollection is
10 that the well produced roughly 100 mcf a day when it died.

11 But the previous six months it produced
12 between 600 and 300 mcf per month, so it was producing at a
13 low rate.

14 Q Is it fair to characterize the level of
15 daily production at abandonment at approximately 100 mcf a
16 day. Give or take?

17 A That's a good talking around number, yes.
18 Might be as low as 50, or you know, 110, something in that
19 area.

20 Q Is there a rule of thumb that you use or
21 that Yates uses in determining at what point it will abandon
22 a deep gas well such as the Dayton Townsite Well?

23 A Like most people, our general rule is
24 when we're making money, when our monthly expenses are less
25 than our monthly income, we continue to operate the well.

The expenses of operating a compressor
are, of course, more than the operating expenses for a gas
well that doesn't require a compressor.

1
2 If you -- you have to work -- you can
3 work out the numbers for each individual well, but in gener-
4 al 50 or 100 mcf a day will support a marginally profitable
5 operation.

6 Q Did you have a compressor on the Dayton
7 Townsite Well at abandonment?

8 A We had a compressor on it until very
9 close to abandonment. I won't swear it was on the day it
10 was abandoned, but it was -- it was on until the time that
11 we tried to recomplete these other zones.

12 Q The Dayton Townsite Well then was subject
13 to compression and pumping and whatever else that you
14 thought you should do to it prior to abandonment and we let
15 that well --

16 A We nursed and milked it real hard, yes,
17 sir.

18 Q And we got it down to a rate of somewhere
19 around 100 mcf a day and then you cut it loose and used it
20 for disposal purposes, is that a fair characterization of
21 what you did?

22 A That's a good synopsis of a sort.

23 Q What was the abandonment pressure in that
24 well? Can you tell us that?

25 A The last shut-in tubing pressure reported
to the State was 170 psi in 1979. Thereafter it was exempt
for some reason I really can't tell you, but it was -- it
operated several years past the point where its shut-in tub-

1 ing pressure was 170 pounds.

2 Q Has this well -- this well was subject to
3 a Commission or Division hearing last summer of this year
4 and has been approved as a salt water disposal well in this
5 interval.

6 A That's correct.

7 Q Are you yet disposing of water into that
8 well?

9 A Water injection into that well began Oc-
10 tober or November of 1984.

11 Q Does Yates currently need or project a
12 reasonable future need for an additional disposal well other
13 than the current wells they use for disposal of Yeso water?

14 A If we project long enough the answer has
15 got to be yes, but in the time frame that we operate, the
16 answer is no, we've not active plans to get another disposal
well in this area at this time.

17 Q How far in the future do you anticipate
18 the Gushwa and the Dayton Townsite Wells to fulfill your
19 needs in the area for disposal purposes?

20 A I'm very bad at predicting beyond two or
21 three years (not clearly understood.)

22 Q Let's turn to the Gushwa well. Is that a
well that Yates drilled?

23 A That well was drilled by Yates Petroleum,
24 yes, sir.

25 Q Approximately when was this Gushwa Well

1 drilled?

2 A The first part of 1951.

3 Q And did Yates produce that well all the
4 way through the abandonment of the well in the Morrow?

5 A Yes, sir.

6 Q When did that take place?

7 A Approximately 1976.

8 Q All right. What was the producing rate
9 on a daily basis when the well was abandoned in '76?

10 A The last month of production was Septem-
11 ber of 1976. Total production for that month was 1179 mcf.
12 Again I don't know exactly how many days it was operated but
13 that was -- it was producing at near that rate for the last
14 year of its life, and so that's going to be 50 to 100 mcf a
day, again.

15 Q And approximately what was the last pres-
16 sure, and the type of pressure, taken on the well?

17 A The shut-in tubing pressure on the Bob
18 Gushwa and reported to the State in 1976 was 445 psi.

19 And that number agrees with another pres-
20 sure I have from about the same series that was not reported
21 to the State.

22 Q Approximately when did Yates convert this
well for salt water disposal?

23 A In the last part of 1976, more or less
24 immediately afterwards.

25 Q Are the cumulative total production of

1 the Dayton Townsite Well and the Bob Gushwa Well, are those
2 representative of the type of recoveries we can anticipate
3 in this area for production out of this Morrow interval?

4 A I would say yes and the numbers are on
5 Exhibit Three, you can more or less review for yourself.
6 There's a 12 bcf well, an 8, a 5, a 6, a 2-1/2, a 5, another
7 5, and another 6, and several poorer wells.

8 But a 5 bcf well is not unusual in this
9 area, because there were some really good gas wells there,
10 is what they were.

11 Q The Bob Gushwa Well produced 3.4 million,
12 mcf. I think that's what it says on here.

13 A 5. --

14 Q I'm sorry, 3.4 --

15 A No. Bob Gushwa it says 5 --

16 Q I'm sorry, 5.4 billion it says.

17 A -- .4 billion and the 3.4 number is more
18 or less how much water has been injected into it.

19 Q All right, sir. When we look across in
20 Section 22 at the Flint No. 1 Well, we see an ultimate gas
21 recovery from that well that exceeded the Bob Gushwa Well.
22 Is that what that number is, the 5.6 billion?

23 A More gas was produced from the Flint Well
24 than the Bob Gushwa. That is correct.

25 Q All right.

A Slightly more.

Q Based upon your review of these wells in

1
2 this area, do we encounter Morrow wells that have their pro-
3 duction terminated by being subject to the influx of fluids,
4 such as water?

5 A I found no wells that I would character-
6 ize that way. I did not look at total detail of all 20 of
7 these wells and I obviously did not look at the thousands of
8 Morrow wells in southeast New Mexico, but the Dayton Town-
9 site did not water out; the Bob Gushwa did not water out;
10 and then I've explained why I don't think the Flint watered
11 out.

12 Q You said earlier that you thought one of
13 the engineers had expressed some optimism in the Wolfcamp
14 interval in the Fling well, and I think you were very care-
15 ful to make that statement on behalf of someone else and not
16 your own opinion.

17 Do you have an opinion that agrees or
18 disagrees with this statement by someone I do not know?

19 A The statement was made by an engineer
20 named Eddie Mahfood, whose area of responsibility includes
21 this area.

22 I frankly have not -- I don't -- I have
23 not looked on the log at the zone he has in mind and I have
24 not made an independent investigation foot by foot of the
25 log. I have no way to answer your question in that I
haven't looked at it myself.

26 Q When you talk about the cost of the re-
entry prior to the Blanco workover of the well, you esti-

1 mated for us \$125,000.

2
3 Does that include the cost of a compres-
4 sor, pumping, or any other additional equipment that you
5 would propose for the well?

6 A It does not include the cost of a com-
7 pressor. The cost of a compressor would be relatively in-
8 significant because we would move a used one from another
9 Yates well there and would not spend whatever it is, \$30 to
10 \$40,000 to buy a new one, so maybe \$15,000 should be added
11 to that number, possibly.

12 Q Okay. Mr. Carr asked you what actions by
13 the Oil Commission would Yates endorse, and I believe you
14 said a chance to have Yates test this Morrow interval again
15 for production of gas.

16 Can you describe for us what type of test
17 you would conduct to determine whether or not you would want
18 to continue to utilize this well for gas production, and
19 what are the criteria you might propose for allowing that
20 test to take place?

21 A I'm not sure I understood the last part
22 of the question but --

23 Q Okay, let's start with the first part,
24 then.

25 A We would -- we would re-enter the well
and run tubing and packer. We would swab the well for
several days. We would run a pressure build-up for three to
five days to see what pressure it was and what the pressure

1 was building to.
2

3 We would, you know, make some -- make
4 some decisions along the line, but we would be sure the per-
5 forations were open, do some sort of small acid job. If we
6 had some pressure we would probably treat the well with 1 or
7 2 or 3 or 4,000 gallons of acid just to make sure we got
8 back past any blockage that had developed over the 14 years,
9 or something.

10 We might possibly fracture treat the well
11 and I -- and I believe that the cost for a \$25,000 frac job
12 is included in our AFE.

13 So would -- we would take 3 or 4 shots at
14 it and then swab it back and see what we -- John A. Yates
15 believes that there's a lot of gas there and we would look
16 very hard for that gas.

17 Q I now know the process that you would go
18 through. Could you assess for us the period of time in
19 which that activity could take place on this well?

20 A I'd estimate that we would -- from the
21 start to the end of this procedure would be four to six
22 weeks and we might spend some similar time testing an upper
23 zone, you know. We might be on the well as much as three
24 months, you know.

25 Q In analyzing the information that is de-
rived from such a test is there a minimum pressure or pro-
duction rate below which you would say that it's not worth
it, guys, let's pull off of this thing and give up?

1
2 A Well, you asked Mr. Patterson a similar
3 question and -- and I may be more qualified to at least
4 think it out with you. I can do that, but you're going to
5 get a dollar or two, say Two Dollars for the gas. If you
6 could get 250 mcf a day we could pay out the recompletion
easily within a year, that would be very acceptable. You --

7 Q All right, let me interrupt you. Can --
8 what gas price do you want to use for calculation?

9 A Say \$2.00 gas.

10 Q All right, \$2.00 gas.

11 A Say 250 mcf a day, that's \$500 a day,
12 140,000, 280 days, say a year.

13 That would be very acceptable. We, you
14 know, we then could nurse it on down to 50 mcf and probably
15 produce it for 2, 4, 6 more years. Who knows?

16 Q You talked about the pressure build-up
17 test. Are you talking about something that is like a 72-
hour deliverability test?

18 A Oh, no. We're talking about putting a
19 pressure measuring device in the bottom of the hole, an
20 Amerada bomb, and, you know, measuring the pressure versus
21 time at the bottom of the hole and extrapolating it to
future times.

22 Q What would be an appropriate method to
23 measure the deliverability of the well after its gone
24 through the workover process? Can we use a 72-hour deliver-
25 ability test to determine whether this well is economic for

1
2 Yates?

3 A We're going to test it on the basis of
4 what gas can we get to flow at the surface.

5 Q Yes, sir, and how do you make that test?

6 A We put a choke in the tubing at the sur-
7 face and a pressure gauge and measure the pressure and know
8 the size of the orifice it's flowing through, and you can
9 calculate that gas rate, and we would be flaring gas through
10 this test.

11 Often these tests are as short as 12 or
12 24 hours, and sometimes 72 hours.

13 Q Okay, within a 72-hour period, then you
14 could determine the rate at which the well would produce to
15 a rate that you're comfortable with economically, and you
16 could base a decision about whether you would abandon the
17 well or continue to produce the well.

18 Is 72 hours a reasonable period of time
19 to judge from some pressure test?

20 A I have mislead you or somewhere along the
21 line a little bit, not very seriously, I don't believe.

22 We would do these things at the bottom of
23 the hole: Swab, treat, frac, whatever, and after each day
24 we would attempt to get a surface -- a flow at the surface,
25 and measure that flow rate, mcf per day, and if we could get
it over a 72-hour period at each day, that would be com-
pletely satisfactory.

So we try one downhole operation and see

what we got for 24, 48, 72 hours.

We try another downhole operation, swab the well back in, see what we got for 72 hours.

And through the three or four items that I mentioned trying.

Q My trouble is after you go through these operations I want to know what the rate is by which you judge whether you're going to give up or whether you've got a well.

A I think if we had a rate below 100 mcf a day my recommendation would be to give up.

 If we had a rate 2 or 250, 300, 400
thousand a day --

Q You would try a little more.

A We'd put it on production, you know, 120
or 130 or 152, or some numbers in there are gray areas that
--

Q I wanted from you a rate below which there is no question in your mind that we're wasting our time, money, and effort, to get us below the gray area, and you have said that that number is something less than --

A Yeah.

Q -- 250 mcf a day. What is that number below which you would --

A Okay.

Q -- give up?

A If I had tried all these procedures that

1 I talked about and none of them yielded a rate above 100 mcf
2 a day, I would recommend giving up.

3 It goes without saying that John A. Yates
4 doesn't always take my recommendations.

5 Q Nor does he always give up.

6 A Yeah, that's off the record, I think,
7 no, it's okay. It's not a "that's tough" or any of those
8 things.

9 MR. KELLAHIN: Thank you, I
10 have nothing further.

11 MR. CARR: I have nothing fur-
12 ther.

13 CROSS EXAMINATION

14 BY MR. QUINTANA:

15 Q I have a question.

16 Mr. Boneau, if the OCD determined that
17 there were recoverable amounts of gas in this well we're
18 talking about, how soon would you start -- would you esti-
19 mate you would start up with testing of this well?

20 A I'm not sure how long the paperwork would
21 take. After the paperwork was settled, and maybe you and
22 Randy could judge the paperwork time better than I, I would
23 think that we could start our attempted completing this well
within approximately ten days.

24 Q More or less.

25 Mr. Boneau, I know this question has been

1 asked of you before, but it concerns me and, of course, I'm
2 going to have to make a decision in this case, and in your
3 best professional opinion, and I know you're not -- you
4 don't make the final decision according to management, but
5 should this not -- this well determine -- some testing this
6 well determine that there's not commercial quantities of gas
7 to be produced, what do you feel that your -- your manage-
8 ment -- managers would say about allowing Blanco to utilize
9 the well for disposal purposes?

10 A Gilbert, I simply don't have any informa-
11 tion on which to answer that. John Yates has told me that
12 we're going to produce gas from this well and the gas is
13 there and at his instigation I look fairly closely and I
14 think with an open mind at the facts as I could find them,
15 and I've tried to present that today, but the management de-
16 cisions are beyond me.

16 Q I have one further question, and you may
17 not be able to answer it, but I'm going to ask you anyway.

18 Should you not find commercial quantities
19 of gas there, do you feel that you guys would possibly be
20 interested in this wellbore to utilize it for salt water
21 disposal yourself at this point in time?

21 A I really don't see that we need addi-
22 tional salt water disposal capacity in this area at this
23 time.

24 I surely agree with Mr. White that this
25 is an attractive well and that it's reasonably easily re-

1
2 enterable and similar disposal zones have been used suc-
3 cessfully nearby.

4 So it's an attractive candidate for a
5 salt water disposal, but I frankly don't know that we need
6 that capacity now.

7 MR. QUINTANA: I have no fur-
8 ther questions.

9 Any further questions of the
10 witness?

11 MR. CARR: I have none.

12 MR. KELLAHIN: Yes, Mr. Quin-
13 tana.

14 RECROSS EXAMINATION

15 BY MR. KELLAHIN:

16 Q Mr. Quintana asked you some -- your
17 thoughts about the possibility of this well producing gas
18 from this interval and you've told us that John Yates be-
19 lieves it will produce gas and therefore we want to try, and
20 that you've examined certain data and have come to conclu-
21 sion.

22 In response to Mr. Carr's question you
23 said you had reviewed some C-115's on the well and some
24 other information.

25 You've not given us any evidence or data
that you brought from -- from that search, Doctor, and I'm
interested in having you tell us, first of all, when did you

1 personally begin investigating to determine whether the
2 Flint No. 1 Well had gas potential in the Morrow? When did
3 you start your --

4 A It was subsequent to the time Yates dis-
5 covered that Blanco was working on the well. It was after
6 that.

7 Q Mr. Patterson testified that that was
8 about the 15th of December of last year.

9 All right.

10 A I've looked at it from December the 20th
11 to the current time, approximately.

12 Q All right. Would you summarize for us
13 what causes you to believe that there is still recoverable
14 gas in the Morrow interval, despite the fact that we have,
15 what, 5.6 billion cubic feet of gas produced from that in-
16 terval, and it appears as if the reservoir through this well
has been fairly depleted?

17 What causes you to believe that this is a
18 candidate for re-entry in this interval?

19 A Well, you have a couple questions there.
20 I'll try to get to them.

21 The main reason that we know there's gas
22 in the well is that it was abandoned at a tubing pressure of
23 1300 pounds and other wells have produced gas down to tubing
24 pressures, there have been tubing pressures of 1 to 500 psi,
25 and I have constructed graphs of tubing and bottom hole
pressures versus production for the Flint and for the Bob

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Gushwa and the the data for the Dayton Townsite, and the analysis looks valid, is the first point, and the analysis says that you could get this extra 1 to 2 bcf of gas by producing the well from a tubing pressure of 1300 pounds down to a tubing pressure of approximately 500 pounds.

All right. Further, I believe that these Morrow reservoirs are separate reservoirs. There's not a Morrow layer underneath this whole area, that something drains -- that these various wells are all draining the same place. The Morrow channels are in some sense separated.

Q Okay. If the water production in the Flint Well ceases because of water encroachment, what effect will that have on the pressure?

A I believe you said if the water production ceases. You probably meant the gas production ceases.

Q Let me try again.

A Is that correct?

A If the gas production in the Flint Well has ceased at 1300 pounds because of water encroachment, can you still produce the gas that's left in that portion of the reservoir, notwithstanding the water encroachment?

A It's true that if water encroaches the pressure tends to stay up even when the gas production ceases. That's more or less what you're asking.

Q That's exactly what I was asking and --

A Okay.

Q -- you gave me the answer.

1
2 A But the associated phenomena is that the
3 gas production, when the gas production ceases, the water
4 production increases usually dramatically.

5 Q All right.

6 A Okay, and my testimony is that essential-
7 ly that gas production did not cease, that Amoco simply
8 turned off the well, and that water production did not in-
crease at all.

9 Q What was the daily rate of production for
10 the well as reported and reviewed by you in the records, at
11 which Amoco simply turned off the well?

12 A The well produced for one day in April,
13 1970. That day it produced 1,039,000 cubic feet of gas and
14 6 barrels of water. That is essentially the same rate it
had been producing previously.

15 Q It was producing at a million mcf a day
16 when Amoco cut it off?

17 A Yes, sir, that's what the records say.

18 Q In your experience as a petroleum en-
19 gineer is it reasonable for an operator to disconnect a well
20 that makes a million mcf a day?

21 A In 1984 it would, and 1985 now, it would
22 not be reasonable to do that.

23 It's possible that -- it seems to be what
24 happened. It's possible that in 1970 that was a reasonable
25 thing to do in view of the low gas price and the surface
equipment they had, where they had essentially a 10-mile

1 flow line to the sales point.

2 And that's the only way I can make it
3 make sense to me now, yes, but in 1985, now, that would not
4 be a reasonable thing to do.

5 Q What would be the water production rate
6 at which you as an expert would conclude that the production
7 from the well was being interfered with because of water en-
8 croachment?

9 A 50 to 100 barrels a day, those kind of
10 numbers, ten times the amount of water that -- that this
11 well was producing.

12 Q During the period of time that Amoco
13 operated the well, and the records that you have reviewed,
14 what were the intervals in depth that Amoco tested in this
15 well?

16 A The records that I have found and ob-
17 tained show that Amoco had a drill stem test of -- over an
18 interval of around 9000 feet and then ran casing and perfor-
19 ated the interval which is shown on Exhibit Four.

20 The records I reviewed did not show a
21 drill stem test in the Abo, but, you know, I'm not going to
22 deny that there was a drill stem test in the Abo. I might
23 not have looked far enough.

24 MR. KELLAHIN: I have nothing
25 further.

MR. CARR: Nothing further.

MR. QUINTANA: I have no ques-

1
2 tions of the witness. He may be excused, but I'd like to
3 recall Mr. White. I have a couple of questions of him be-
4 fore we move to making closing statements.

5 MR. KELLAHIN: Yes, sir, I was
6 planning on recalling Mr. White --

7 MR. QUINTANA: Fine.

8 MR. KELLAHIN: -- Mr. Examiner.
9 I wonder if I might take five minutes, though, to make sure
10 that I'm not wasting your time with the questions I have
11 left for Mr. White.

12 MR. QUINTANA: We'll take a
13 five minute -- let's make it ten minutes to let her rest her
14 voice here.

15 We'll take a ten minute recess.

16
17 (Thereupon a recess was taken.)

18 MR. QUINTANA: The hearing will
19 come to order.

20 MR. KELLAHIN: Mr. Examiner,
21 we'd like to recall Mr. Paul White.

22 MR. QUINTANA: That will be
23 fine.

24 PAUL G. WHITE,
25 being recalled as a witness and having been previously sworn
and is still under oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q Mr. White, I'd like to show you what is marked as Exhibit Number Six. Is this an exhibit you prepared, sir?

A Yes, sir, I did.

Q The -- would you describe to the Examiner the types of logs you used to prepare this two-well cross section?

A These logs are electrical logs, induction logs, and we took the opportunity here, we feel like, to show that the Flint zone that's perforated, and the zone in question here, is completely correlative with the zone that they're injecting water into the Bob Gushwa.

Q All right. What type of logs are involved here?

A These are electric logs, induction ES logs.

Q Okay. I have two more cross sections which I want to show you. Then I want to ask you some general questions about -- that apply to all three of them.

I would hand you Exhibit Number Seven and Eight.

All right, let's put them all out here together.

If you'll look at number -- Exhibit Num-

1
2 ber Seven, Mr. White, would you identify that for us?

3 A Okay. This again correlates the Flint
4 Well, the perforated interval in the Flint Well, with the
5 identical interval in the Bob Gushwa Well.

6 We used gamma ray neutron log, porosity
7 log, on this, and we have a reduced scale log. That's the
8 only log we had in the gamma ray neutron on the Flint, so we
9 used a reduced scale log and correlated it with a full scale
10 log, but it's obvious from the shale, the Morrow Shale,
11 marker that the two zones correlate perfectly.

12 Q All right, sir. Then when we look at Ex-
13 hibit Number Eight, would you identify that for us?

14 A Okay. This is electrical logs that we
15 used to correlate the interval in the Dayton Townsite Well,
16 which is being used for salt water injection, with the Flint
17 Well, and we again can show correlation of the two zones.

18 Q With regards to the Flint Well, Mr.
19 White, do you have an opinion as to whether PanAmerican,
20 Amoco, as operator adequately perforated the potential pro-
21 ducing zones in this interval?

22 A Yes, sir, I do, because they ran a drill
23 stem test above this zone that's perforated and they re-
24 covered 20 feet, I think, of drilling mud, and so this is
25 the only potential zone in the well -- in the --

26 Q The terminology in the last hearing and
27 this hearing has tended to identify this as an Atoka inter-
28 val or as a Morrow interval.

1
2 Be that as it may, are we talking about
3 the same perforated interval or the same producing interval
4 in these wells?

5 A If I ever correlated a log, we're talking
6 about the same interval, the same zone, in the Dayton Town-
7 site and the Gushwa and the Flint.

8 Q Okay.

9 A All of the markers are shale markers,
10 porosity markers are identical.

11 Q All right. You and Dr. Bonneau, then,
12 are in agreement that we're talking about the same interval
13 regardless of how we characterize it.

14 A Yes, sir, I believe so.

15 Q All right. Now let me show you Exhibit
16 Number Nine. In relation to Exhibit Number Nine and the
17 three cross sections, do you have an opinion as to whether
18 or not the Flint Well has had its gas production in this in-
19 terval terminated by water infiltration or whether you agree
20 with Dr. Bonneau that Amoco simply turned off the well?

21 A Well, Counsel, I do not agree that Amoco
22 would just turn off the well. A well making a million a
23 day, if that was the correct report to the Commission, they
24 showed one day, you know, on the last -- tail end of the
25 production. They could have produced it a number of days
and showed one day, but if the well was making a million a
day, there's no way, I don't care what year it was, 1970 or
1902, there's no way an operator is going to shut that well

1 in or at least there's no way he's going to plug the well.

2 He might wait for better market avail-
3 ability, a shorter line, or better pricing, but there is no
4 way a prudent operator, such as PanAmerican, or Amoco, would
5 -- would plug a well making a million a day.

6 Now, the Exhibit Nine is important in my
7 opinion from this standpoint.

8 We have the channel system in the Morrow
9 and I think it's a very complicated reservoir and I think
10 that there's never been a definitive measure of data from
11 any geologist or engineer that can completely predict the
12 performance.

13 But we agree, generally, that there is a
14 communication even in the channel system and that it is im-
15 portant on subsea depth where the channel occurs in the
16 area.

17 Now, the Atoka Penn Pool in this little
18 delta could very well have several channels running into the
19 delta, but subsea depth has something to do with rate of re-
20 covery and something to do with water encroachment.

21 Now, the -- it's -- it's very plain that
22 the Flint Well recovered 5-billion-6; the Gushwa Well 5-bil-
23 lion-3, and then the Dayton Townsite, 8-billion-1.

24 The Dayton Townsite channel is high, very
25 high structurally, subsea-wise to the Flint Well. In fact,
on the top of the productive zone I've calculated probably a
-- roughly 160 feet difference in where that channel lies in

1
2 the delta on the Flint Well and where it lies in the delta
3 on the Dayton Townsite.

4 So the higher cum recovery, the lack of
5 water in the Dayton Townsite, is -- is normal and quite --
6 and quite conforms to the performance of the whole reservoir
as such.

7 So that's why I think that the Flint Well
8 did have a definite watering out and that's what's filed on
9 the form from Pan American engineers, the superintendent,
10 and that's what it looks like structurally and that's what
11 it looks like productive-wise.

12 Q Let's go the Exhibit Number Ten, Mr.
13 White.

14 Would you identify Exhibit Number Ten for
15 us?

16 A Yes, sir. This is just the producing
17 rates which I picked up on this Flint No. 1 and these rates
18 were quite correlative in '68 and quite correlative in '69
19 with the rates on the Gushwa and Dayton Townsite, but it
20 feel apart in '70, there in April, and the 1,039,000 cubic
21 feet that was produced, have no idea whether it was sold in
22 one day. Like I say, the report, the C-115 might show one
23 day. I have no idea why it was shown, but certainly if it
24 was a million a day there would be no reason to P & A this
25 well. I can't -- I just can't go along with that.

26 Q Dr. Bonneau made reference to the fact
that Eddie Mahfood thought there might be some potential for

1
2 Wolfcamp in -- in this well.

3 Do you have an opinion with regards to
4 the Wolfcamp potential in this well?

5 A Well, Counselor, I --there is no Wolcamp
6 anywhere that I know of, any -- to the best of my knowledge,
7 anywhere even near this well.

8 There's been some attempts. There have
9 been some DST's. There's been some attempted completions,
10 I'm sure, because it's a real teaser in that area, and it is
11 generally tried, especially by some operators that are kind
12 of new to the area, but certainly the Wolfcamp would be a
13 very wild, a wild risk to an operator.

14 Q Dr. Bonneau made reference to a period of
15 time in which he thought Yates could be expected to accom-
16 plish the tests on the well if the Commission decides to
17 give them a shot at it.

18 Do you have an opinion as an engineer as
19 to what would be a reasonable time in which to complete the
20 testing program that Dr. Bonneau outlined earlier?

21 A Yes, sir, I do. Knowing the condition of
22 the well at present, my engineer had better be able to do
23 that in two weeks, if he was evaluating the well.

24 Two weeks time, because you've got to run
25 the tubing and packer and swab it off. Okay, you're going
to acidize or swab that back, take a little buildup off the
bottom hole pressure bomb, maybe with a 72-hour clock, and
then evaluate the pressure to see if you need to frac.

1
2 Do the frac job in one day and swab it
3 back.

4 Q Mr. Patterson testified earlier that he
5 had talked to various employees of Yates and had found no
6 one that had discussed with you the prospects of using this
7 Flint Well for disposal purposes prior to Decembr 15th of
8 '84.

9 Mr. White, have you had any discussions
10 with any of the Yates employees about he utilization of this
11 well for salt water disposal purposes?

12 A Yes, sir, did, and this is important to
13 me because it emphasizes our innocence in the lack of proof
14 of notice.

15 I talked to Eddie Mahfood, an engineer
16 for Yates, about the Flint Well on the telephone, and I was
17 asking Eddie what the pressures and rates of injectivity
18 were over on the Dayton Townsite and the Gushwa, so I could
19 get some relation from those two wells as to how our well
20 would perform, because the Gushwa had taken approximately
21 3.4-million barrels of water at certain rates and certain
22 pressures. I was trying to determine when fill-up would oc-
23 cur and I calculated the fill-up time of probably about
24 three years for the -- for the Flint, and this was important
25 to me to talk to Eddie, and I told him the well name and
where it was and certainly it's not contradicting Eddie, but
I did visit with him about this well at Yates Petroleum Cor-
poration.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q Approximately when did that take place?

A Tom, it was -- it was after we got the order. It was after we got the order but before we entered the well, before we went in and drilled the plug. It was after that.

It was after -- it was after we received the order.

MR. QUINTANA: After November, 1984, then?

A Yes, sir, that's right. Yes, sir, Mr. Quintana, it was after --

Q Notwithstanding substantial evidence to the contrary, Mr. White, should Yates be allowed to enter this well, do you have an opinion as a petroleum engineer as to what would be a reasonable minimum daily rate in which to expect an operator to complete a well in this area as a --

A Yes, sir, I do, and I've been a little bit confused by the fact that if re-entry was a possibility there was a period of 14 years from the time the well was plugged; there was a period of one of the most bullish gas markets that we've ever had in '80 and '81, when you could sell anything to anybody at any price.

There was never a re-entry form filed in the Commission, even though Mr. Patterson testified that over the years they considered the re-entry of this well.

But to get back to the answer to that question, I would say that, first of all, they've been way

1
2 conservative on this in that it's going to cost more than
3 \$125,000. It's going to cost more like \$200,000, I believe.

4 They'd have to have 150 mcf a day on a
5 100 percent basis, and I don't know what the net revenue in-
6 terest is in the lease, but on 100 percent basis they've got
7 to have 150, at least, mcf a day. It has to perform against
8 the present line pressure that Southwestern Pipeline has in
9 that area, and this can be done, of course, with pressure,
but they would have to buy a compressor.

10 Now just by moving a compressor in
11 doesn't keep the capital cost from being incurred, even
12 though if you own one or you don't. Yates is lucky enough
13 to own several. We have to buy them.

14 Well, you've got a \$50,000 cost on the
15 compressor whether you move one in or you adjust the books;
16 you still have capital cost to recover.

17 So to economically do this, they would,
18 as I see it in my opinion, have to have 150 mcf a day, at
least, deliverable to the market.

19 MR. KELLAHIN: I have nothing
20 further, Mr. Examiner.

21 I'd move the introduction of
22 our additional exhibits. I believe they're numbers Six
through Ten.

23 MR. QUINTANA: Exhibits Six
24 through Ten for Blanco will be accepted into evidence -- ex-
25 cuse me, accepted as evidence.

CROSS EXAMINATION

BY MR. QUINTANA:

Q I have a question to ask you, Mr. White.

The reason I ask this question is I'm not giving you information of what I'm going to decide; I'm just trying to look at all aspects of this.

But should it be decided that Yates have an opportunity to test the well and should it turn out to be a commercial producer, what will you continue to do in order to produce your wells?

A In order to produce our wells? Well, Mr. Quintana, we'd immediately, of course, if this happened, try to find another candidate somewhere for salt water disposal.

It's getting to be a very tough situation in that area to find a well that you can qualify to the Commission and qualify to the leasehold operators, and so on, but we would immediately begin to try -- attempt to find that.

We have another fight brewing with our legal counsel in the first -- the first hearing, Mr. Quintana, and that would be our action at that time should this happen.

Q So in other words you're saying that you would not continue to have your water hauled out at \$1.12 per barrel? In other words, you're saying that you can't afford to produce your wells and continue to haul it at

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

\$1.12 per barrel?

A No, sir, we cannot. Our -- our only hope there, we would -- we would do some mechanical changes. We would have to raise the tubing on the wells and do more of a skimming type operation just to keep our -- keep our lease active and keep the production -- show some production coming out, but we'd have to do, in that event, something mechanically, and possibly determine which was the larger water producers and shut them in completely.

 And we couldn't drill any more wells at all. We'd have to quit.

Q Okay, and you're saying that's if you had to continue to haul it and you can't find another suitable disposal well.

A Yes, sir, that's right. We -- we could not haul it and continue to drill up our prospects.

Q How much -- how much of an estimated reserves do you think you would lose?

A We would lose probably 300,000 barrels of reserves if we cannot get a disposal well.

Q That's just off the top of your head?

A Yes, sir, but that's about 3/4ths of our reserves which we would lose.

 MR. QUINTANA: I have no further questions at this point.

 Are there any further questions of the witness?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CARR: I have none.

MR. QUINTANA: Mr. White, you
may be excused.

MR. WHITE: Well, thank you.
It's been a long day for us. Thanks for your patience.

MR. QUINTANA: We will now have
closing statements.

MR. CARR: May it please the
Examiner, I believe it's important to first note that there
are certain things that are not before you.

Not only have we not asked you
today to decide the ownership of the well, there's no accu-
sation, and has been none in this case, that Blanco has at
any time acted in bad faith.

There likewise is no assertion
that Yates has in fact laid back and let this happen, rested
on its rights and then tried to raise them at a later time.
That would be imprudent business on the part of Yates Petro-
leum Company.

We didn't get notice of the
original hearing. Had we gotten it, we would have objected
at that time.

Subsequent discussions follow-
ing that hearing don't have any bearing on that fact.

The fact is we're before you
today and the case is now before you again for decision.

1
2 I would submit to you that when
3 you have two prudent operators in an area their economics
4 are different. I think it's unwise for this Commission to
5 start determining in early 1985 what conditions in mid-'85
6 or late '87 ought to control whether or not the wellbore
7 should be abandoned, and I think it would be inappropriate
8 for you to enter an order and undertake those kinds of deci-
9 sions, for under your continuing jurisdiction, I can assure
10 you we would be back whenever that contingency came to pass.

11 I think it's really simple. We
12 own the oil and gas. We have a right to go in produce that.
13 And that's what we are proposing to do.

14 We all understand that the Oil
15 Conservation Division has certain duties. They're to pre-
16 vent waste and protect correlative rights.

17 If you grant Blanco this au-
18 thorization without first letting Yates go in and test the
19 well, we submit you will be authorizing physical waste of
20 any gas that is swept away and cannot be produced as a re-
21 sult of the water injection.

22 This will also result in econo-
23 mic waste, for to produce this from another well, not being
24 able to utilize the re-entry will certainly increase the
25 cost of the effort to recover and produce this gas.

26 Correlative rights will also be
27 impaired and I recognize that there is concern about gas
28 that might be lost on another tract if there isn't a satis-

1
2 factory way to dispose of water and truly there is a need to
3 dispose of this water in this area.

4 But correlative rights is not a
5 concept which talks about trading off our rights for some-
6 body else's property right on another tract. It talks in
7 terms of the opportunity to produce our just and fair share
8 of the reserves under this property without causing waste,
9 and we submit that it isn't a valid consideration to say,
10 well, perhaps someone in another property could produce so
11 many more mcf if we deny Yates their correlative rights,
12 their opportunity to produce the reserves they believe are
13 there under Section 22.

14 So we think that's an improper
15 consideration. We don't think you're being asked to deter-
16 mine if there are recoverable reserves. That isn't consis-
17 tent with the term correlative rights.

18 All we're asking is that you do
19 not deny us our opportunity to spend our money to go in the
20 ground and to attempt to produce reserves that we believe
21 are there.

22 The powers of this Commission
23 are also enumerated in Section 70-2-12 of the Oil and Gas
24 Act. Subparagraph 4 reads as follows:

25 You are direct to, and I quote,
to prevent the drowning by water of any stratum or part
thereof capable of producing oil or gas or both oil and gas
in paying quantities and to prevent the premature and irreg-

1 ular encroachment of water or any kind of water encroachment
2 which reduces or tends to reduce the total ultimate recovery
3 of crude petroleum oil or gas or both such oil and gas from
4 any pool.

5 We submit that if you grant the
6 application of Blanco you not only authorize waste, you not
7 only impair correlative rights, but you violate this express
8 provision of the Oil and Gas Act.

9 We really submit that on the
10 facts before you, you really have no other choice but to let
11 us go in and to test the well to see if we can complete it
12 in the Morrow, and if we're willing to spend the money to
13 see if we can produce from the Wolfcamp, or any other zone
14 in that well.

15 We think we should be afforded
16 a reasonable time to do that. We have stated we have plans
17 to be in that hole and doing this within six months. The
18 testimony from Mr. Bonneau indicates that surely no less
19 than three months should be afforded.

20 We therefore ask the Commission
21 to either deny the application of Blanco outright or to pro-
22 vide that Yates Petroleum Company has a period of six months
23 within which to re-enter, test that well, and attempt to re-
24 store it to commercial production.

25 Thank you.

MR. QUINTANA: Mr. Kellahin?

MR. KELLAHIN: Mr. Examiner,

1 the one issue that we've asked you to decide, and the sole
2 issue before you in a salt water disposal case, is to deter-
3 mine whether there will be waste occurring under the defini-
4 tion by the using of that formation for salt water disposal.

5 We believe that there is sub-
6 stantial evidence to show that it is inappropriate to allow
7 Blanco to go ahead and dispose of water in this interval.

8 Mr. Carr makes an eloquent and
9 very nice argument about a case where the Morrow had not
10 been tested. We've often had those kinds of cases over the
11 years where we have competing geologists and engineering
12 witnesses looking at logs in which the interval that the
13 operator wants to test for disposal is one that has not been
14 tested for production.

15 That is speculative. Until
16 that formation is tested, none of the experts know to a
17 reasonable certainty what that formation will produce.

18 Were that the case, then it
19 would be appropriate to allow Yates that access to the well-
20 bore and actually test that zone.

21 The substantial evidence in
22 this case is that in fact Amoco not only tested that forma-
23 tion, they produced that formation a number of years, and
24 they simply didn't produce it for a long while and get a
25 small quantity of gas. They produced it for 5.6-billion
mcf. It's reasonable to conclude, and to use your judgment,
that there is substantial evidence that that interval has

1
2 been depleted. You can conclude from the record that Amoco
3 as a prudent operator is not going to simply walk away from
4 the wellbore.

5 We believe that there's also
6 substantial evidence to explain what has happened to that
7 wellbore in that interval. It has watered out.

8 The structural relationship of
9 those three wells in this interval documents that fact. The
10 Flint Well is the only well the testimony shows us that pro-
11 duced any water. The conclusion that you can draw from the
12 evidence is that there has been full testing of that zone.
13 It has been fully depleted and that it is suitable for dis-
14 posal purposes. It's a zone that's correlative to the same
15 interval that Yates is using in the adjoining section for
16 disposal.

17 Let us do the same thing.

18 Mr. Carr would have you believe
19 that there is some absolute right of Yates to utilize this
20 wellbore to further test for the Morrow. That is simply not
21 true. He did have the right phrase in his discussion and
22 then immediately avoided further discussion of the phrase.

23 The phrase is the opportunity
24 to test for production. They've had an opportunity for a
25 great many years to test this well and have not done so.

26 The legal right of who can use
27 this wellbore for whatever purpose is not before you, and I
28 won't bother you with a discussion of why I think we're

1 right on that legal issue, but there is no absolute right
2 to give Yates another shot at re-entering this well.

3 The judgment you have to make
4 is whether waste will occur by allowing Blanco to continue
5 with this process. I think you're on sound legal ground to
6 deny the protest, to enter the same type of order that you
7 entered back in November.

8 If that is not your decision,
9 let's discuss the second part of Mr. Carr's argument about
10 who should test for what and when and how.

11 We are not asking you as the
12 examiner to substitute your judgment and determine indepen-
13 dently or arbitrarily on whatever standard you want to ap-
14 ply, that this well is economic or not. We were very care-
15 ful in our questioning of Mr. Patterson and Dr. Bonneau of
16 what standards they used to judge if a well is economic and
17 we put them to that test because we asked them what tests
18 they applied to the Gushwa well. What tests did they apply
19 to the Dayton Townsite well, and it is that test that we
20 want to be bound by in this order if they're allowed this
wellbore.

21 Now you're not exercising any
22 judgment, you're just taking them on their sworn oath that
23 if a well produces less than 100 mcf a day upon some reason-
24 able test period, which Dr. Bonneau says can be conducted 6,
25 12 hours, whatever it is, give them 72 hours, I don't care.
Use his testimony, set up a standard, and let him abide by

1 that.

2
3 If it comes in for less than
4 100 mcf a day and if it's watered out, we think it is that
5 we ought to have that wellbore back. We believe it's suit-
6 able for disposal and we ought to have that option to use
7 it.

8 We've been careful to extract
9 from those witnesses of Yates the economic standard, the
10 costs involved, and everything else, so that your judgment
11 in the guidelines that you will allow them to test the well
12 are not ones that you've developed. They're ones lifted
13 straight out of the testimony and there's not a court in the
14 world that will reverse that.

15 If that is your choice, we sug-
16 gest that a reasonable time period not be some arbitrary six
17 month period that Mr. Carr pulled out of his magic hat.
18 Let's -- let's get it down to the facts as presented to you.

19 Dr. Bonneau said that within a
20 four week period he ought to be able to test this well. Mr.
21 White says he thought in ten days that somebody ought to do
22 it.

23 You can examine the transcript
24 and pick a number. I think once the order is entered and
25 it's final, the wellbore is in a posture, in a position be-
cause of some \$55,000 worth of work that Mr. White has ex-
pended on this project, so that a completion unit can come
on the property in a few weeks, they can run their tests,

1 they can stimulate it, they can do what they want to, and
2 within two or three weeks, thirty days, whatever's fair,
3 they can determine whether this is an economic well by their
4 own standards, and if not, they can turn the wellbore over
5 to us.

6 Six months, you might as well
7 deny the order if you give them six months, because in six
8 months we've got to find some other solution for the dispo-
9 sal.

10 MR. QUINTANA: Thank you, Mr.
11 Kellahin.

12 Mr. Carr, I have quite a bit of
13 evidence to look at before me in order to make a decision,
14 but I'm going to ask that your clients do some things in an-
15 ticipation that if I decide to allow the test that they're
16 seeking, they can proceed immediately to test it.

17 One would be to have them file
18 a permit to -- for a permit to re-enter the well with the
19 District Office. The permit will be filed, you can get all
20 that paperwork out of the way.

21 The second thing, I'd like to
22 have them submit an AFE, the costs specifically to re-enter
23 that well.

24 I'd also like a detailed esti-
25 mate of time and what you have to do in order to test the
zones you plan to test and I would caution you to use
reasonable times since I have worked out there in the indus-

1 try and I know what reasonable times are.

2 Those are the three things that
3 we'd like to see.

4 Mr. Kellahin, I'd like to in-
5 struct your client to submit to me his best estimate of the
6 time that he thinks to test those same zones.

7 I'm going to try and get this
8 order out within the next week.

9 MR. KELLAHIN: We'd appreciate
10 a decision. Time is of the essence for both parties --

11 MR. QUINTANA: Right.

12 MR. KELLAHIN: -- we think, and
13 we'd appreciate that very much.

14 MR. QUINTANA: Well, we'll put
15 a rush on this one to see if we can resolve something in
16 this case.

17 If there is nothing further in
18 Case 8323, it will be taken under advisement.

19 (Hearing concluded.)
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY
that the foregoing Transcript of Hearing before the Oil Con-
servation Division was reported by me; that the said tran-
script is a full, true, and correct record of the hearing,
prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete and true record of the proceedings in
the Examiner hearing of Case No. 8323,
heard by me on JAN. 16 1985.

Gilbert P. Quintana Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

27 March 1985

EXAMINER HEARING

IN THE MATTER OF:

Case No. 8323 being reopened on the motion of the Oil Conservation Division and pursuant to the provisions of Division Order No. R-7693-A.

CASE
8323

BEFORE: Gilbert P. Quintana, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation
Division:

Jeff Taylor
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For Blanco Energy:

W. Thomas Kellahin
Attorney at Law
KELLAHIN & KELLAHIN
P. O. Box 2265
Santa Fe, New Mexico 87501

A P P E A R A N C E S

For Yates Petroleum: William F. Carr
Attorney at Law
CAMPBELL & BLACK P.A.
P. O. Box 2208
Santa Fe, New Mexico 87501

I N D E X

STATEMENT BY MR. CARR	5
STATEMENT BY MR. KELLAHIN	6
DAVID F. BONEAU	
Direct Examination by Mr. Carr	10
Voir Dire Examination by Mr. Kellahin	34
Cross Examination by Mr. Kellahin	41
Questions by Mr. Stamets	56
Questions by Mr. Clements	66
Cross Examination by Mr. Taylor	68
Questions by Mr. Clements	74
Questions by Mr. Stamets	75

I N D E X

PAUL G. WHITE

Direct Examination by Mr. Kellahin	76
Cross Examination by Mr. Carr	87
Redirect Examination by Mr. Kellahin	91
Questions by Mr. Clements	92

STATEMENT BY MR. KELLAHIN	92
---------------------------	----

STATEMENT BY MR. CARR	96
-----------------------	----

E X H I B I T S

Yates Exhibit One, Summary	11
Yates Exhibit Two, P/Z Curves	15
Yates Exhibit Three, Calculation	19
Yates Exhibit Four, Data	20
Yates Exhibit Five, Data	22
Yates Exhibit Six, Cross Section	23
Yates Exhibit Seven, Cross Section	23
Yates Exhibit Eight, Map	31
Yates Exhibit Nine, Map	32
Yates Exhibit Ten, Document	47
Yates Exhibit Eleven, Drilling Report	47
Blanco Exhibit One, Two Tickets	42

1
2
3 MR. QUINTANA: We'll call next
4 Case Number 8323.

5 MR. TAYLOR: Case Number 8323
6 being reopened on the motion of the Oil Conservation Divi-
7 sion and pursuant to the provisions of Division Order No. R-
8 7693-A, which order granted Yates Petroleum Corporation for-
9 ty-five days in which to determine if the Pan American Flint
10 Gas Com Well No. 1, located 1980 feet from the south and
11 east lines of Section 22, Township 18 South, Range 26 East,
12 is capable of commercial oil and gas production.

13 Yates Petroleum Corporation may
14 appear and show cause why said Pan American Flint Gas Com
15 Well No. 1 should not be utilized as a salt water disposal
16 well.

17 MR. CARR: May it please the
18 Examiner, my name is William F. Carr, with the law firm
19 Campbell and Black, P. A., of Santa Fe.

20 I represent Yates Petroleum
21 Corporation.

22 I have one witness.

23 MR. QUINTANA: Are there any
24 other appearances?

25 MR. KELLAHIN: If the Examiner
please, I am Tom Kellahin of Santa Fe, New Mexico, appearing
on behalf of Blanco Energy.

MR. QUINTANA: Any witnesses?

1
2 MR. KELLAHIN: Not at this
3 time.

4 MR. QUINTANA: Will all witnes-
5 ses please stand up and be sworn in at this time?

6 (Witness sworn.)
7

8 MR. QUINTANA: You may proceed.

9 MR. CARR: Mr. Quintana, I have
10 a brief opening statement.

11 Yates is here today pursuant to
12 Order R-7693-A, which provided, among other things, that we
13 should appear and show why the Pan American Flint Gas Com
14 Well No. 1 should not be utilized as a salt water disposal
15 well.

16 Our appearance here today
17 should not be construed as an abandonment of our position
18 that we have the right to use this well pursuant to the
19 terms and conditions of the oil and gas lease we have on the
20 subject property.

21 Further, we believe that if
22 Yates is denied the opportunity to use this wellbore to ful-
23 ly test any and all zones in the well that will be tanta-
24 mount to an attempt by this Division to decide the ownership
25 of the well and we submit that is something the Division
cannot do.

We have tried from the time we

1
2 discovered Blanco's intentions for this well to work through
3 the Oil Conservation Division.

4 We believe that resolving the
5 matter here and not in the courts is in the best interest of
6 all of us, and that the most expedient way for this problem
7 to be resolved will be for Yates to be able to go back to
8 the wellbore and to test all zones to determine whether or
not it can be returned to commercial production.

9 Today Dave Boneau will testify
10 and in so doing he will review the efforts of Yates since
11 the last order was entered. He will present an estimate of
12 the damage incurred by Yates as a result of Blanco's unauth-
13 orized work on the well, and he will present evidence show-
14 ing that correlative rights can be only protected and waste
15 can only be prevented if they are permitted to return to the
well and make further efforts to return it to production.

16 MR. KELLAHIN: Having heard Mr.
17 Carr's opening statement, Mr. Quintana, I feel compelled to
18 also make an opening statement on behalf of Blanco Energy,
19 Inc.

20 Mr. Carr and I are at a funda-
21 mental disagreement as to why we are here and because of
22 that fundamental disagreement, I think it's important for
23 you to remember how and why we got to the position we're in
now.

24 You'll recall the hearing on
25 January 16th, 1985, in which you heard the testimony of Mr.

1 Boneau and the order that you entered pursuant to that hear-
2 ing.

3 It was Mr. Boneau's testimony
4 at that time that he believed that there was still a poten-
5 tial for commercial gas production from the Morrow formation
6 in the Flint Well.

7 You will also recall that the
8 original order allowing Blanco to use this salt water dis-
9 posal well for disposal was set aside and vacated.

10 You'll recall at the time of
11 the January hearing that Blanco had expended some \$55,000
12 worth of money to convert this well for disposal purposes.

13 Because of the uncertainty
14 about whether or not gas could be produced from this well,
15 notwithstanding our testimony to the contrary, the Commis-
16 sion allowed Yates forty-five days from January 30th, 1985,
17 to test any zones that they desired to test in the wellbore.

18 The testimony at that hearing
19 and the testimony and documents and exhibits in this entire
20 case from the very inception, including the affidavit from
21 Mr. John Yates, in which they discussed that they wanted the
22 opportunity to re-enter this well to test the Morrow forma-
23 tion, an affidavit executed and attached to documents filed
24 by Mr. Carr in this case, and the whole focus and thrust of
25 this case, has been to test for gas in the Morrow.

26 However, the order was not
27 limited to that extent and they were allowed to test any --

1 any zone that they wanted to test.

2
3 Within a period of time that
4 conforms to Mr. Boneau's testimony, when asked in the tran-
5 script of the prior hearing will reflect, he said between
6 four and six weeks to complete the work.

7 Not only was Yates given forty-
8 five days, that period was extended by agreement of all the
9 parties and an additional two week period was granted to
10 Yates to test this wellbore.

11 It is our contention that the
12 only issue before you for hearing now is whether or not at
13 this point Yates has discovered and has a well capable of
14 commercial production of gas.

15 If they are here to ask for
16 more time, we believe that constitutes a collateral attack
17 on the existing order and that testimony ought to be re-
18 jected and any effort on their part to do so ought to be
19 denied.

20 You will recall that the order
21 in this case, 7693-A, was entered and was not appealed by
22 Yates. They apparently believe that the terms and condi-
23 tions of that order were satisfactory to them, and there-
24 fore, we believe that their proof, and this case, ought to
25 be limited to what they have done within the period of time
allowed by the order and whether that effort has resulted in
the production of a well that will produce in paying quanti-
ties.

1
2 We believe the proof in this
3 case will be that Yates has entered in -- on this well and
4 that they've had a reasonable opportunity to test for gas
5 and that the evidence will show you that there is no commercial production in this wellbore.

6 We believe the evidence will
7 show you that this order ought to provide that you reinstate
8 the original order, 7693, which was vacated pending Yates
9 testing the well. The original order ought to be reinstated
10 and immediately turned over to Blanco Engineering Company.

11 We also believe the evidence
12 will show you that the wellbore is not in a condition required by Order 7693-A, which says that Yates shall return
13 the wellbore to Blanco Engineering in a condition as near as
14 possible as originally received.

15 We will request that you require
16 Yates to do that for us so that they return to us a
17 wellbore that we now utilize for salt water disposal.

18 We believe that upon the conclusion of the presentation of testimony and evidence today,
19 that you'll have no other alternative but to return this
20 wellbore to Blanco Engineering for salt water disposal.

21 MR. QUINTANA: Mr. Carr, you
22 may proceed.

23 MR. CARR: Thank you, Mr.
24 Quintana.

25 We call Dave Boneau.

1
2
3 DAVID F. BONEAU,
4 being called as a witness and being duly sworn upon his
5 oath, testified as follows, to-wit:

6 DIRECT EXAMINATION

7 BY MR. CARR:

8 Q Will you state your full name and place
9 of residence?

10 A David Boneau. I live in Artesia, New
11 Mexico.

12 Q Mr. Boneau, by whom are you employed and
13 in what capacity?

14 A I work as Engineering Manager for Yates
15 Petroleum Corporation.

16 Q Have you previously testified before this
17 Division and had your credentials accepted and made a matter
18 of record?

19 A Yes, sir, I have.

20 Q And how were you qualified at that time?

21 A Qualified as a petroleum engineer.

22 Q Are you familiar with the Pan American
23 Flint Gas Com Well No. 1 and the recent work performed on
24 this well by Yates Petroleum Corporation in an effort to re-
25 turn it to commercial production?

A Yes, sir.

MR. CARR: Are the witness'

1 qualifications acceptable?

2 MR. QUINTANA: Yes, they are.

3 Q Mr. Boneau, have you prepared certain ex-
4 hibits for introduction in this case?

5 A Yes, I have.

6 Q Will you please refer to what has been
7 marked for identification as Yates Exhibit Number One and
8 review this for the examiner?

9 A Exhibit Number One is entitled A Summary
10 of Events. It tries to serve as a background part of which
11 has been covered by the opening statements and also serves
12 as a synopsis of the work done by Yates since the last hear-
13 ing.

14 Trying to review this quickly, we recall
15 that on September 5th Blanco originally sought authority to
16 inject salt water disposal in the Flint Well.

17 On November 9th Order 7693 granted Blanco
18 the right to inject water in the Flint Well.

19 On December 20th that order was withdrawn
20 after it became known that Yates had not received notice of
21 the September hearing.

22 On January 16th, 1985, the Case 8323 was
23 heard here in this room with Blanco's presentation and Yates
24 objections.

25 On January 30 the order resulting from
that hearing, Order 7693-A, granted Yates forty-five days to
show commercial oil and gas production from the Flint Well.

1 I'll try to get on a little more detail
2 on what's happened since then.

3 Our first efforts on the well started at
4 February 22nd, 1985, and from that time through February
5 28th, 1985, Yates swabbed the Morrow perforations that were
6 the main subject of the previous hearing, which perforations
7 are located at depths 9094 to I think it's 9116, actually,
8 the exhibit says 9114, but approximately a 20-foot interval
9 in the Morrow.

10 We swabbed that zone for approximately a
11 week. We produced a small flare of burnable gas and water
12 in quantities mostly around 30 barrels a day but as much as
13 66 barrels of water a day from the well.

14 We found out about this time that the
15 well had been damaged by the introduction of fresh water and
16 other fluids by Blanco. The low rate of production from
17 the well indicated to us that that zone had been damaged and
18 we went to testing two other zones that are listed on the
19 exhibit.

20 From March 1st to March 7th we tested
21 another Morrow zone, which is actually deeper than the --
22 than the one that was discussed previously. It's located at
23 9175 to 9178 in the Flint Well, and that zone was acidized
24 with a small acid job and it produced, again, burnable gas,
25 a 4 to 6 foot flare and just around 20 barrels of water per
day.

The zone was what you just call wet. It

1 is not commercial.

2 We abandoned that zone and moved to a
3 Canyon Lime zone at 7944 to 7954 and we tested that zone
4 from March 8th, 1985, through March 16th.

5 That zone was acidized with a small acid
6 treatment and when a good show of oil was obtained it was
7 acidized with a larger, I believe it was 12,500 gallons of
8 acid.

9 The best recovery from that zone was 8
10 barrels of oil, 14 barrels of water, 16 MCF of gas in a 19-
11 hour period. That zone was tested through a separator and
12 testing equipment supplied by a commercial service company
13 and at the end of the test when the well was shut in, the
14 well was producing 2 barrels of oil a day and about 70 to 75
MCF of gas per day.

15 At that time we were told by -- at that
16 time we had finished testing that zone as far as we would
17 test it in the normal operating procedure.

18 We were told that that was as much as we
19 could do. We moved the rig off and we have not done -- we
20 have not done anything to the well since that time. That is
21 -- technically that is not exactly true. We went out one
22 day and looked at the gauge at the surface, but other than
that we have not done anything since March 16th to the well.

23 The last item on Exhibit One is March
24 27th, hearing re-opened. We are here now.

25 Q At the February 16, 1985, hearing were

1 introduced in the middle of September, which would be the
2 point in time of the initial hearing and between the time
3 that the original order was entered.

4 Q And what, when you say "evidence", what
5 are you talking about?

6 A We had obtained some -- I call them
7 bills, receipts, from a couple of service companies in Ar-
8 tesia, which show that in one case they hauled 150 barrels
9 of fresh water to the Flint Well on September the 12th, and
10 another that an acid job was done on the Flint Well for
11 Blanco on the next day, September the 13th.

12 Q Does this water problem affect your tes-
13 timony from the January 16 hearing?

14 A Yes, I believe it affects the testimony.
15 My testimony of January 16th ws to the effect that there was
16 approximately 1.5 BCF of gas left in the Morrow zone in the
17 Flint Well and that Yates should have an opportunity to test
18 that zone thoroughly because of the large reserves there.

19 That plan was changed when access to that
20 gas was blocked and when we found out we no longer had ac-
21 cess to that gas, we were perplexed, first of all, but then
22 we were sent to -- for other zones to produce in the Flint
23 Well.

24 Q Mr. Boneau, would you now refer to what's
25 been marked as Yates Exhibit Number Two and review that,
please?

A Yates Exhibit Number Two consists of

1 three sheets of paper. Those three sheets of paper will be
2 used to indicate why we believe that the Flint Well con-
3 tained approximately 1.5 BCF of recoverable gas in the Mor-
4 row zone around 9100 feet.

5 Each of the three sheets is what you
6 would call a P/z curve. In less technical terms, I hope,
7 that means it's a plot of bottom hole pressure indicated by
8 P, divided by a correction factor, which is called a real
9 gas compressibility.

10 So it's a plot of P/z against the amount
11 of gas produced from the well.

12 These P/z curves are standard ways of
13 predicting gas in place and reserves from gas wells.

14 The triangles on the first page, the
15 first page is listed Bob Gushwa, and that's the name of the
16 well that this data refers to. The Bob Gushwa, you'll re-
17 call from the initial hearing, is a well just to the west of
18 the Flint Well that has been used for salt water disposal
and it was discussed at great length at the first hearing.

19 The triangles, then, indicate measure-
20 ments of bottom hole pressure on the Bob Gushwa at four dif-
21 ferent times during its life, Plotted on this graph those
22 four triangles form a straight line which extrapolated down
23 to the base line shows that the Bob Gushwa contained about
6.5 BCF of gas.

24 The big, black dots are shut-in tubing
25 pressures measured during the life of the well. We're talk-

1 ing about shut-in tubing pressures because bottom hole pres-
2 sures are very often not available, especially on wells that
3 you do not operate, while shut-in tubing pressures are re-
4 ported to the State each year and are available as public
5 information.

6 Line, or a line, or several lines, drawn
7 through the shut-in tubing pressures extrapolate to almost
8 the same point, or exactly the same point, 6.3 to 6.5 BCF of
9 gas in the Bob Gushwa.

10 The actual production from the Bob Gushwa
11 was about 5.3 BCF of gas and the vertical line drawn at that
12 point indicates that the Bob Gushwa was produced down to the
13 point where the shut-in tubing pressure was about 450 psi,
14 or the same corresponding point would be about 700 on the
P/z curve.

15 We're discussing the Bob Gushwa to make
16 the points of what the P/z curves show, how the shut-in
17 tubing pressure curve can be used as a substitute for the
18 P/z curve and also to show to what extent Yates produced
19 this Bob Gushwa well on this kind of a graphical
presentation.

20 The second page is entitled Dayton
21 Townsite and is a similar kind of picture for the Dayton
22 Townsite Well, another Yates well that's used for salt water
23 disposal, located just to the west of the Flint Well,
24 discussed at great length at the last hearing.

25 Here again the shut-in tubing pressures

1 are presented. A very nice straight line goes through all
2 those points; extrapolates down to about 7.8 BCF of gas in
3 place in the Dayton Townsite. The actual cumulative from
4 the Dayton Townsite was about 7.5 BCF of gas and that
5 corresponds to drawing the shut-in tubing pressure down to a
6 point of 150 psi; on the P/z curve, a little over 200 psi.

7 Now, the third curve is a similar kind of
8 curve for the Flint Well and the point is that there's a
9 difference with the Flint Well.

10 Again on the Flint Well we have shut-in
11 tubing pressures plotted. There's a little scatter in the
12 data but a reasonable line through the points extrapolates
13 out to 8.3 or 8.4 BCF of gas in place in the Flint Well.

14 The actual production from the Flint Well
15 was 5./6 BCF of gas and the last tubing pressure reported
16 before it was abandoned was over 1300 psi.

17 The vertical lines on this picture for
18 the Flint down in the lower righthand corner show how far
19 down on the P/z curves the well could have been produced if
20 it had been produced first to the point where the Bob Gushwa
21 Well was cut off and a little further to the right would be
22 the point where the Dayton Townsite Well was cut off.

23 The difference between the actual
24 production from the well and the production that would be
25 available if the well had been drawn down like the other two
wells is 1.5 BCF if it had been drawn down like the Bob
Gushwa; a 2.1 BCF if it had been drawn down like the Dayton

1
2 Townsite.

3 This is the origin of our number 1.5 BCF
4 of gas remaining in that well, and my conclusion is that
5 that gas was remaining in the well and that our chance to
6 produce that gas has been severely hurt by the fluids intro-
duced into those sensitive Morrow zones.

7 Q Would you now refer to Yates Exhibit
8 Three and review that?

9 A Yes, sir. Yates Exhibit Three is a brief
10 calculation of the money damage done to Yates by being pre-
11 vented from producing this gas from the Morrow.

12 The recoverable gas in the well is a min-
13 imum of 1.5 BCF of gas. I think it is possible that we will
14 eventually get some gas from that zone but I believe that at
15 least 50 percent and probably more like 80 or 90 percent of
16 the gas from that zone we will not be able to recover even
17 if we are allowed extensive time to try to pure that zone,
18 so the loss is a minimum of half of the amount of gas in
place, which would be 3/4 of a BCF.

19 That gas from the Flint Well would qual-
20 ify for Section 109 price, which is about 245 per MCF and I
21 think we could sell it at that relatively low price.

22 With operating expenses we would clear
23 approximately about \$2.25 per MCF. At 7 -- .75 BCF of gas,
24 or .75 times 10 to the sixth, as indicated on the sheet.
25 That gas has a value in dollars of \$1.7 million. Of course,
we would not recover all that gas instantaneously. From

1 looking at the production of the wells, I estimate that it
2 would be produced over about eight years and discounting
3 that cash flow at 13 percent, that money would be worth \$1.2
4 million and \$1.2 million is the minimum monetary damage that
5 Yates has suffered because of the damage done to the Morrow
6 zone in the well.

7 Q Mr. Boneau, has Yates sustained addition-
8 al damage as a result of the activities of Blanco on this
9 well?

10 A We are suffering some continual damages
11 by not being -- operated by moving rigs on and off and such
12 as that, but nothing that will substantially change \$1.2
13 million.

14 Q Would you now refer to Exhibit Number
15 Four, which identifies the zones remaining to be tested in
16 the well, and review those zones and this exhibit with Mr.
17 Quintana?

18 A Yes, sir. Exhibit Four again contains
19 three pages. The first page is kind of a summary and the
20 other two give details.

21 Exhibit Four outlines what we think is
22 the prudent things to do on the well to test for oil and gas
23 when we are allowed to go back and test the well.

24 Zones Left to Test it's entitled.

25 The next zone we would test is the
Wolfcamp interval and the details shown in the second and
third pages of this exhibit show it would take fifteen days

1 to test that zone.

2 The Yeso interval will take 42 days to
3 test.

4 The San Andres interval, about 40 days,
5 and in the what I think is extremely unlikely event that we
6 did not get a commercial well from one or all of those three
7 zones, we would be back trying to swab that Morrow zone
8 that's been damaged where all that gas is left and we would
9 be back trying to reverse the damage and produce gas from
10 that Morrow zone and I estimate it would take 25 days to
11 complete that and again, what would be done in those
12 days is indicated on the second and third pages of the
13 exhibit.

14 The second and third pages of the exhibit
15 are a portion of a response to the Examiner that Yates sent
16 on January 18th. Most the people here will recall that at
17 the end of the last hearing the Examiner asked that Yates
18 submit AFE's for what work they intended to do and a
19 detailed outline, day by day outline of what we would do on
20 the well.

21 The second and third pages of this
22 exhibit are the day by day outline of what we plan to do
23 with the well, to the best of our knowledge, on January
24 18th.

25 A few of the details are changed because
of the damage and one or two other factors, but mostly the
damage, but most of the things that we're talking about

1
2 needing to be done are precisely what we told the Examiner
3 needed to be done on January the 18th in response to his re-
4 quest for that information.

5 Q At the last hearing do you recall what
6 time period you requested Yates be given to re-enter and at-
7 tempt to return this well to a producing well?

8 A I said that it would take a minimum of
9 three months to test the well and that six months was a much
10 more reasonable time.

11 Q Would you now refer to Yates Exhibit Num-
12 ber Five and identify this and review it for Mr. Quintana?

13 A Yates Exhibit Number Five addresses the
14 present completion in the Canyon Lime in this Flint Well.

15 When testing was stopped the well was
16 producing 2 barrels of oil per day and about 73 MCF per day
17 of natural gas. That gas was 1400 BTU gas, rich gas, richer
18 than you'd get from what you'd call a gas well.

19 The whole calculation there shows that
20 this production is sustained, would produce income after ex-
21 penses, basically, of about \$200 a day and would pay out the
22 total amount of money that we spent to date within a year.

23 My calculations are based on it says \$20
24 per barrel oil and that, we expect to sell the oil for more
25 than that, but including operating costs you'd net about \$20
per barrel, and again the gas, you could probably sell for
\$3.00 or more; perhaps the after operating expenses and
such, I put down \$2.25.

1 We don't know what this -- what this zone
2 would actually do when placed on production but on a stabi-
3 lized test this is what -- this is what it produced and it
4 might be a keeper as it is.

5 Q Is it also possible that the production
6 from this zone could either be downhole commingled or dually
7 completed and produced that way in the well with other
8 zones?

9 A It could be dually completed with the
10 Wolfcamp zone, which is the next zone that we would like to
11 test.

12 Q Let me direct your attention to that
13 Wolfcamp zone and ask that you refer to what has been marked
14 as Yates Exhibits Six and Seven and review -- identify those
15 and review them for the Examiner, please.

16 A Exhibit Six and Seven are cross sections.
17 One is a north/south cross section, one's an east/west cross
18 section.

19 The purpose -- the purpose of Exhibit Six
20 and Seven is to show you our reason for wanting to test the
21 Wolfcamp formation, have you believe that is a reasonable
22 undertaking as an engineering procedure.

23 MR. KELLAHIN: At this point,
24 Mr. Examiner, I'm going to object to Exhibits Six and Seven.
25 The witness has clearly indicated to us that he wants to use
the geologic cross sections to show you he believes that
there are other zones that ought to be tested in the well.

1
2 Mr. Examiner, that was the sub-
3 ject of the January 16th, 1985, hearing and the purpose and
4 the call of this case is not to relitigate and re-argue
5 whether or not Yates ought to have the right to re-enter the
6 wellbore. The Commission has already decided that issue in
7 favor of Yates.

8 The fact that they have not
9 gone to the Wolfcamp is a subject of consideration as to why
10 they didn't use their time more prudently, but the question
11 about whether or not there is commercial gas available or
12 potential in the Wolfcamp is not the subject of this hear-
13 ing.

14 We think it's irrelevant and we
15 would suggest that the exhibits and this portion of the tes-
16 timony not be undertaken.

17 MR. CARR: May it please the
18 Examiner, first of all the purpose of the hearing in January
19 was to determine whether or not Blanco Engineering would be
20 able to use the well for salt water disposal.

21 At that time we came forward
22 and we explained to you that we thought there were zones in
23 the well that could be used for commercial production and
24 could be returned to commercial production. That's what
25 that case was about.

Mr. Kellahin would like to
stand, obviously, and I would, too, if I were him, right on
the exact wording of this order, but he forgets the last

1 paragraph in this order and it is the jurisdiction of the
2 cause is retained by you for the entry of such further or-
3 ders as the Division may deem necessary.
4

5 The question before you today
6 is whether or not you're going to attempt to take a well
7 that belongs to Yates away from them and give it to Mr.
8 White so that he may dispose of salt water in it.

9 Your statutory duty is prevent
10 waste and protect correlative rights and we're presenting to
11 you the arguments that are necessary for us to at the end
12 conclude and show you that in fact correlative rights will
13 be impaired and waste will be caused if you do not grant
14 Yates an additional period of time within which to continue
15 testing of this well.

16 This is absolutely relevant to
17 the very simple question that is before you and it is con-
18 sistent with your statutory duty, and we submit that the ob-
19 jection should be overruled.

20 MR. QUINTANA: Mr. Boneau, may
21 I ask you a question first before I make a ruling?

22 Would you give me the reason
23 why you did not test the Wolfcamp before you tested the
24 other zones, some of the other zones?

25 We're talking about the Wolf-
camp now, I believe.

A Yes, sir. We believe the prudent way to
test any well is to test it from -- basically from the bot-

1 tom up, and we're proceeding with that procedure that I sent
2 you on January 18th.

3 You look at the dates and it was three
4 weeks after the -- it was three weeks after the date of the
5 order before we first entered the well. There was quite a
6 lot of time in there. We spent essentially a week testing
7 each of three zones. There are six, seven, eight zones that
8 merit testing. We thought it would be totally imprudent to
9 half test six zones and much more prudent to test three
10 zones and attempt to make a reasonable argument that we
11 should have the time to test the others.

12 The Wolfcamp is fourth on the list. It's
13 that simple. The Wolfcamp is the next logical zone to test
14 and we believe we've been testing the zones in a responsible
15 manner and this is how far we got.

16 MR. QUINTANA: I have one --
17 one other quick question.

18 I notice that there's a lapsed
19 time between the date the Order 7693, in which I granted you
20 forty-five days to start testing the well, and from the date
21 that you started actually moving on the well.

22 Can you give me a reason why
23 there was a lapsed time in there?

24 MR. CARR: Mr. Quintana, I pro-
25 bably can explain that because they didn't start, they were
ready to go and they didn't start until I gave them the
okay.

1
2 We had concern about provisions
3 in the order which provided that when the matter came back
4 on for hearing that you would determine how much should be
5 reimbursed to Blanco for costs expended on the well. We
6 were concerned about that and whether or not it was putting
7 us in a position of having to go de novo on the entire mat-
8 ter, because we wanted to be certain that if we were also
9 going to be looked to to reimburse costs, that we would also
10 have an offset for any damage and additional expenses we in-
11 curred.

12 Until I was able to discuss
13 that with the Director of the Commission and we were able to
14 make a decision that it was prudent for us to go forward and
15 not seek a de novo hearing, which would have not served any-
16 body's interest, if we can assume that Mr. White wants to
17 dispose water in the well and we want to return it to pro-
18 duction, we decided not to go de novo and the day we reached
19 that decision I directed Yates to go forward and they did on
20 that date.

21 MR. KELLAHIN: Mr. Examiner,
22 before you rule, I wonder if I might have an opportunity to
23 close debate on my motion.

24 I think this is as convenient a
25 time as any for the Examiner to make some fundamental rul-
ings about how we are to proceed in this matter.

Mr. Carr would cite you to the,
as he did in his response to my objection, to the continuing

1 jurisdiction clause in the order, and he says that gives he
2 and his client the opportunity to relitigate any order
3 that's every presented.

4 We believe that that is not the
5 intent of that provision, Mr. Examiner. You can see what is
6 happening. Yates receives an order that's effective on the
7 30th of January, 1985, and for reasons explained by counsel,
8 they wait some twenty-two days before they enter the well
9 site.

10 I advised counsel immediately
11 upon receipt of that order that we would not appeal that or-
12 der. That was not an impediment to it.

13 It appears that the timetable
14 that Yates gave you following the hearing and before the or-
15 der was issued is one in which they set forth a time period
16 to test all these zones and if they had a problem in getting
17 on the well site and had a reason for the twenty-two day de-
18 lay, they were within the thirty days appeal period of this
19 order and they could have asked for a de novo hearing and we
20 could have come back and heard the things we're hearing to-
21 day.

22 In addition, in the transcript
23 on page 51, Mr. Boneau testified.

24 Mr. Carr asked him, "Do you
25 have plans to complete in any other zones?"

And he talked about the Wolf-
camp.

1
2 We're not doing anything dif-
3 ferent today than we did at the last hearing and I think
4 it's fundamental that you give us some guidelines in what
5 we're doing today in terms of this hearing.

6 It is my opinion and argument
7 that it is not proper for any party before the Commission to
8 sit with an order they apparently can't live with and then
9 when they come in and say I can't live with it, want to re-
10 litigate all the issues involved in the original hearing.
11 We don't keep doing this until Yates gets something that
12 they want. We've got to have some finality to this
13 arrangement and this is an order that they entered, they
14 didn't appeal, and it says they have to show cause why they
15 don't have commercial production.

16 We believe that's the purpose
17 of the hearing and we shouldn't spend the rest of the day
18 talking about the Wolfcamp. We didn't come prepared to do
19 that.

20 If we're going to fight about
21 the Wolfcamp and the Cisco and the Yeso and everything else
22 that may be in this wellbore, then we're going to have to
23 come back and do this some other time because that's not why
24 we were called to the hearing today.

25 For those reasons we object to
this -- these exhibits and this line of testimony and
believe that the Commission ought to rule favorably on our
objection.

1
2 MR. QUINTANA: Mr. Kellahin,
3 after some discussion with my counsel, I've decided to
4 overrule your objection and allow testimony of Mr. Boneau on
5 the cross sections, Exhibits Numbers Six and Seven.

6 I will weigh the evidence on
7 how much it has to do with what we're talking about now.

8 Mr. Boneau?

9 A Thank you, Mr. Examiner. Exhibit Six is
10 a basically east/west cross section. The wells involved are
11 shown at the bottom of the cross section. The well on the
12 far right is the subject Flint Well.

13 The point of the exhibit is to show that
14 the Wolfcamp zones, which are near the top, appear to be
15 continuous across this area and in the well on the far left,
16 which is the Ralph Nix No. 1, on drill stem test the
17 Wolfcamp tested 315 MCF a day of gas and that show in the
18 Ralph Nix gives us reason to want to test the Wolfcamp in
19 correlative zones in the Flint Well. That's really all
20 there is to say about the cross section.

21 Q Would you now go to Exhibit Number Seven?

22 A Exhibit Number Seven is similar. It's a
23 north/south cross section.

24 Here the Flint Well is the second well
25 from the left and again the Wolfcamp zones appear to
correlate across this area.

In the well on the far right, the Hondo
Keller No. 1, the Wolfcamp produced on test through perfora-

1 tions 19 barrels of oil, 600 MCF per day of gas, and 288
2 barrels of water, between a 5 and 10 percent oil cut. It
3 was not deemed commercial at that time but the Flint Well is
4 approximately 50 feet up dip from that really fairly good
5 oil show and gives us another reason to want to test the
6 Wolfcamp in our Flint Well.

7 Q Would you now refer to Yates Exhibit Num-
8 ber Eight and identify that, please?

9 A Exhibit Number Eight again has the pur-
10 pose of trying to show briefly why we think it is reasonable
11 to test the Yeso.

12 It's a map of the area around the Flint
13 No. 1 showing nearby Yeso production.

14 The Flint is indicated by the gas well
15 symbol in Section 22. There is a significant amount of Yeso
16 production to the south in the well that Blanco wants to
17 bring the water from. There are in fact Yeso wells in Sec-
18 tion 25, which would be just to the right of Section 26.

19 The drilling in this field has gradually
20 extended the production to the north and recently there has
21 been a well drilled to the Yeso in Section 22 just north of
22 the Flint, indicated by a red dot and a black dot, completed
23 January 25th, 1985. The well's name is Yates No. 1.

24 The Yates Well is producing 22 barrels of
25 oil per day from the Yeso.

And over in Section 23 there's a Yeso
well completed in November of 1984 by H&S Oil of Artesia.

1 The name of that well is Lattion No. 1.

2 And it produced an average of 26 barrels
3 of oil per day for the 31 days in December of 1984.

4 So there are two fairly good Yeso produ-
5 cers, one just to the east, one just to the north of the
6 Flint, plus the Atoka-Glorieta-Yeso Field within a mile to
7 the south.

8 Good chance for Yeso production in the
9 Flint Well.

10 Q Would you now refer to Exhibit Number
11 Nine and identify that and review it for Mr. Quintana?

12 A Exhibit Number Nine shows the San Andres
13 production around the Yeso Well and indicates why we think
14 there's an excellent chance to make a San Andres well at the
15 Flint location.

16 The Flint Well is literally surrounded by
17 San Andres producers. The numbers there are cumulative bar-
18 rels of oil produced to the end of 1984 by these wells.
19 There's a well with a cumulative of 22,000 barrels within
20 500 feet of the Flint location. There's a good well to the
21 west, to the south, to the east. It's in the middle of the
22 San Andres Field and there's an excellent chance that the
23 Flint will produce oil from the San Andres.

24 Q What does Yates request the Examiner --
25 what kind of an order -- what order does Yates request the
Examiner to recommend and, hopefully, the Division enter in
this case?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Yates requests as a minimum the 122 days, as shown on one exhibit, whose number I can't remember, Exhibit Four, to test the zones that we identified precisely here as excellent candidates for oil production, the Wolfcamp, the Yeso, the Atoka, and back to our main goal, which is that Morrow zone which has \$1.2-million worth of gas in it that has been damaged. It will be difficult to reach but needs to be tried despite the efforts by Blanco to seal it off.

Q What will be the impact on the correlative rights of Yates Petroleum Corporation if this request is denied?

A We will lose at least that \$1.2-million plus the opportunity to -- to open a new Wolfcamp Field or obtain 20 to 40,000 barrels out of the Yeso and San Andres.

Q If the -- your request is denied, will waste result?

A Yes, sir.

Q And how will that be?

A The gas I've -- the gas and the oil I've described in my statement would not be recovered.

Q Were Exhibits One through Nine prepared by you or under your direction and supervision?

A Yes, sir.

MR. CARR: At this time, Mr. Quintana, we would offer Exhibits One through Nine.

MR. QUINTANA: Exhibits One

1 through Nine --

2
3 MR. KELLAHIN: Excuse me, Mr.
4 Examiner, there are objections to certain of the exhibits,
5 sir.

6 MR. QUINTANA: You may proceed.

7 MR. KELLAHIN: I'd like to ask
8 this question -- the witness some questions on voir dire
9 about some of these exhibits.

10 MR. QUINTANA: You may proceed.

11 VOIR DIRE EXAMINATION

12 BY MR. KELLAHIN:

13 MR. KELLAHIN: Mr. Examiner, I
14 have no objection to the summary of dates and events on Ex-
15 hibit Number One. I'll pass to Exhibit Number Two.

16 Q Mr. Boneau, the three P/z curves prepared
17 by you on the Dayton Townsite, the Bob Gushwa, and the Flint
18 Wells, when were these exhibits prepared by you, sir?

19 Was this before or after the January 16th
20 hearing?

21 A The calculations for the Bob Gushwa and
22 the Flint were done immediately before the January 16th
23 hearing and my testimony regarding the amount of gas in fact
24 resulted from those calculations.

25 The exhibits, these pieces of paper were
prepared within the last week, and the calculations on the
Dayton Townsite done in that time.

1 Q The data from which you've made all the
2 P/z -- P/z calculations is data that was available to you
3 prior to the January 16th hearing, was it not?

4 A Yes, sir, that's correct.

5 Q Exhibit Number Three is the calculation
6 of dollar value based upon the Flint P/z curve that's in Ex-
7 hibit Number Two, so Exhibit Number Three is also informa-
8 tion that was available prior to the January 16th hearing
9 from which you could have made this calculation of economic
10 damage.

11 A At that hearing I specifically mentioned
12 the 1.5 BCF of gas, yes, sir.

13 Q All right, sir. Exhibits Six and Seven,
14 which are the two geologic cross sections, are compiled from
15 logs that were in existence and available to you prior to
January 16th, 1985, were they not?

16 A The answer to that turns on what you mean
17 by available.

18 Q All of those logs were in existence prior
19 to January 16th, 1985?

20 A I believe so, yes, sir.

21 Q All right, sir. Exhibit Number Four has
22 attached to it a chronology by days showing what Yates pro-
23 posed to do to the Flint Well and this cronology, if I
24 understand your testimony, is the chronology you submitted
25 to Mr. Quintana after the hearing but before the order was
entered.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A That's correct.

Q Exhibit Five is based upon information you derived from the Canyon test that was conducted subsequent to the order.

A That's correct. It is the March 8th to March 16th evidence (not clearly understood.)

Q All right. Exhibits Eight and Nine is information that was available to you prior to January 16th, 1985.

A Most of that information. There's a well completed in January 25th, 1985, on Exhibit Eight. The actual cums are not available at that date but the pattern of the production was available by that date, yes, sir.

Q The additional information used that was available only after January 16th, 1985, would not have changed your conclusion that you've drawn from those two exhibits, would it?

A No. The Flint Well was an excellent candidate for recompletion to the San Andres and the Yeso on January 16th, 1985, on July 4th, 1984, pick a day.

Q All right, sir, thank you.

MR. KELLAHIN: Mr. Examiner, we have no objection to Yates Exhibit One, simply a summary of events that is helpful to all of us.

Exhibit Number Five is obviously available new -- newly acquired available data that was not discoverable prior to the last hearing and we have no ob-

1 -- to present evidence from which you can determine whether
2 or not the Pan American Flint Gas Com No. 1 is capable of
3 commercial oil and gas production.

4 We're simply here trying to comply with
5 that and to also show you why we believe it should not be
6 used as a salt water disposal well.

7 I don't think the case that Mr. Kellahin
8 cited is on point here and I believe all we are doing is
9 simply trying to meet the directive of your show cause order
10 and come before you and present the kind of data that is re-
11 quired by that so that you can act consistent with your sta-
12 tutory directive to protect correlative rights and prevent
waste.

13 We're not pretending that this wasn't
14 available at that time but you seemed to -- you, the Divi-
15 sion, in view of certain directives we got from the Artesia
16 Office and others concerning other zones, to be interested
17 in why we felt other zones were capable of producing in com-
18 mercial quantities.

19 That is why have put this on. We think
20 the objections are inappropriate. They should be overruled
and each of these exhibits admitted into evidence.

21 MR. KELLAHIN: May I close de-
22 bate on my objection, Mr. Examiner?

23 MR. QUINTANA: You may.

24 MR. KELLAHIN: All this evi-
25 dence is available to, and some of which was discussed at

1 the prior hearing. The only reason that Yates is trying to
2 use the old evidence again is they're up against a forty-
3 five day period in the order that they don't want. That
4 constitutes a collateral attack on the prior order of the
5 Commission, unless Yates can come in and show you with new
6 evidence that could not have been discovered prior to the
7 last hearing that they need more time, other than the forty-
8 five days.

9 What they have told you today
10 is the same story they told you before; the same story as
11 the one that you gave them forty-five days to perform in.
12 They now say they don't like it. They want a change, and
13 the law precludes you from making that change unless you're
14 satisfied that there is new evidence discovered and avail-
15 able only after the last hearing from which you can change
the period of time in the past order.

16 That has not been presented to
17 you. You have no other choice but to sustain my objection.

18 MR. QUINTANA: Mr. Kellahin,
19 Mr. Carr. I won't -- to be really frank with you, I'm in a
20 tone of mood today where I'd like to settle this the best
way I can.

21 In these circumstances I have
22 heard what you've said, Mr. Kellahin, but I'm going to go
23 ahead and allow this evidence and give it the weight -- I am
24 very much aware of -- of the circumstances and what the is-
25 sue is here.

1
2 I just believe that I want to
3 give everybody their fair shot, last chance, to state their
4 opinion and I will put the amount of weight on it that I
5 think is necessary. You know, I may put zero weight on
6 them, one percent, 100 percent. I'll put the necessary
7 weight based on what evidence is presented and what was pre-
sented in the last hearing.

8 You may proceed, Mr. Carr.

9 MR. CARR: I have no further
10 questions of Dr. Boneau on direct.

11 MR. KELLAHIN: I have some
12 cross examination questions, Mr. Examiner.

13 MR. QUINTANA: I'm going to --
14 Mr. Carr, did you ask to admit these exhibits?

15 MR. CARR: Yes, I request they
16 be admitted.

17 MR. QUINTANA: Exhibits One
through Eight, is it?

18 MR. CARR: One through Nine.

19 A Nine.

20 MR. QUINTANA: One through Nine
21 will be entered as evidence.

22 You may cross examine, Mr. Kel-
23 lahin.
24
25

CROSS EXAMINATION

BY MR. KELLAHIN:

Q Mr. Boneau, I'm very much concerned about your statements with regards to the testimony you provided to say that you have evidence that Blanco introduced fluids into this well in an unorthodox way that you say suggests but are not conclusive evidence of damage to the Morrow zone.

That's a very serious problem, sir, and I'd like to discuss for you in detail exactly upon what you have based that statement.

I have not seen any of the exhibits you've introduced thus far that address that issue. You said you had evidence of fluids, sir. What is that evidence?

A I said there was evidence. I believe I said the evidence was not conclusive. If the -- if Blanco actually did what the evidence suggests, the damage is conclusive. The thing that's not conclusive is the evidence. Are we clear on that, at least to start?

Q All right, what is the evidence?

A The evidence --

Q Is it documentary evidence or what?

A The evidence is, as I said, two what I call bills that -- this one says --

Q Before you read what they say, may I see a copy of what you're looking at?

1 A Okay. One is a ticket from INW and one
2 is a ticket from Hughes Services.

3 MR. QUINTANA: Let me interrupt
4 here. Are you going to enter this as evidence?

5 MR. KELLAHIN: Yes, sir.

6 Q All right, sir, I have marked the xeroxed
7 copy of these two tickets that you've handed me as Blanco
8 Exhibit Number One to this case, Mr. Boneau, just so we can
9 refer to it.

10 If you'll look at the top document, be-
11 fore I ask you about your opinion, would you simply describe
12 for us what this is and where you got it?

13 A It's a ticket from INW, which is a water
14 hauling company in Artesia that says they took 150 barrels
15 of water for Blanco Engineering to the Flint lease Well No.
16 1 on September 12th, 1984.

17 Q All right, sir, where did you get this?

18 A We got that from INW.

19 Q All right, let's look at the bottom half
20 of the exhibit. It says Hughes Services, Inc. What is that
21 document?

22 A That again is what I would call a ticket
23 for acidizing services, 2500 gallons of 15 percent NEFEHCL
24 acid for Blanco Engineering to the Flint lease, and it's
dated September 13th, 1984, and that was obtained from
Hughes Services.

25 Q All right. Did you obtain that from

1 Hughes or did someone from Yates get that from Hughes?

2 A Another person from Yates got that from
3 Hughes.

4 Q All right. Other than these two docu-
5 ments, Mr. Boneau, did you discuss with any of the indivi-
6 duals at IW or Hughes Services, Inc. the facts behind the
7 issuance of these tickets?

8 A I did not, sir, no.

9 Q Other than these two tickets have you
10 based your opinion with regards to the potential damage in
11 the Morrow formation on any other evidence?

12 A Yes, surely. We did discover that Blanco
13 had drilled out the plugs in the well and we did discover
14 that an unknown to me amount of water was injected into the
Morrow by Blanco. You all admitted that much.

15 That would damage the well. Yates had
16 planned to drill out the plugs with air in order to keep
17 fluid off of the Morrows. We had no chance to do that be-
18 cause you had put water on the formation either in -- legit-
19 imately following the November 9th ruling or, as this small
20 amount of evidence suggests, entering the well at an earlier
date.

21 Q All right. These tickets referred to an
22 acid treatment and water hauling in September of '84.

23 Your direct testimony referred to the in-
24 troduction of water into the Morrow in January in an unor-
25 thodox way.

1
2 What evidence did you have that water was
3 introduced in January in the wellbore?

4 A If I said in January, I was mistaken. I
5 do not believe I said that but I might have.

6 Q All right. All right, sir, when Yates --

7 A Your testimony at the last hearing --

8 Q Let's call it Blanco's or Mr. White's
9 testimony, sir, just to keep the record straight.

10 A Thank you. I will try to do that, yes,
11 sir.

12 MR. CARR: Even though it might
13 be more accurate to say Mr. Kellahin.

14 Q Mr. Boneau, when you testified earlier
15 that Yates had swabbed the well for a week, you referred to
16 swabbing the Morrow at an interval from 9094 to 9116 or 9116
17 -- 9114.

18 A Yes, sir.

19 Q All right, sir. Is that the same inter-
20 val that you believed Blanco introduced this water into?
21 Are we talking about that same portion of the Morrow?

22 A Yes, sir.

23 Q Say again?

24 A Yes, sir.

25 Q Okay. What were -- what's the exact num-
ber of days that Yates swabbed that -- those perforations?

 A Seven.

 Q All right.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Six or seven.

Q Do you have documentation or information that will tell you what the total number of barrels of water you retrieved from those perforations during the six or seven days swab period?

A Yes, sir. Would you like that information?

Q Yes, sir.

A We might recount the days while we're going through it, also.

25 barrels on the 23rd; 30 barrels on the 24th; 30 barrels on the 26th. The 25th I believe was Sunday. 39 on the 27th; and 66 on the 28th.

Q The swab of those perforations, if I understood you correctly, was done prior to Yates attempting to acidize those perforations?

A Yates did not acidize those perforations.

Q You moved to lower perforations and acidized those.

A That's correct.

Q Other than the one, two, three, four, I get five actual days of swabbing of those perforations --

A I get six, one, two, three, yes, sir.

Q All right, other than those five days of swabbing those perforations that are in question, what, if anything, did Yates do with those perforations?

A I would say zero, nothing; nothing sub-

stantial.

Q All right. Let's go on, Mr. Boneau, to the Canyon test and you told me that your Canyon test resulted in about 2 barrels of oil and about 70 MCF of gas?

A Yes, sir.

Q How was that test information passed on to you, Mr. Boneau? Did you get that --

A It was passed on to me a number of ways. The completion foreman tells me with his voice. I read the drilling report, which is basically his report on paper, and I have in this particular case, I have reports from Bennett and Cathey, which is a commercial testing company in Artesia. So that when we obtained a good show of oil and gas from this zone, we hired Bennett and Cathey to take their equipment out there so that an independent and accurate measurements could be made.

Q I wonder if we might have at this time, Dr. Boneau, copies of the drilling report that you are reading from and a copy of the report done for you by the independent company.

Do you have extra copies of that?

A I don't -- well, just a second. I do have extra copies of the independent report.

MR. KELLAHIN: I wonder if we might take just a brief recess and have copies made for the hearing purposes?

MR. QUINTANA: Yes. We'll take

1 a five minute recess.
2

3 (Thereupon a recess was taken.)
4

5 Q Mr. Boneau, let's identify the two docu-
6 ments that I've requested you make copies of and which you
7 have, I believe we have marked as Yates Exhibit Number Ten
8 the daily drilling report summaries, and --

9 A I have it just the opposite.

10 Q I'm sorry, Exhibit Number Eleven will be
11 the daily drilling report and Exhibit Ten is the Bennett-
12 Cathey report.

13 A That's my understanding of how they're
14 marked.

15 Q Yes, sir.

16 A That's right.

17 MR. KELLAHIN: For purposes of
18 the hearing, Mr. Examiner, we would move the introduction of
19 what we have had Dr. Boneau identify as Blanco Exhibit Num-
20 ber One, which are the two water tickets, and as well as,
21 with Mr. Carr's concurrence, his Yates Exhibits Ten and Ele-
22 ven so that we might discuss all of these.

23 MR. CARR: I have no objection.

24 MR. QUINTANA: Yates Exhibits
25 Ten and Eleven and Blanco Exhibit Number One will be entered
as evidence.

You may proceed.

MR. KELLAHIN: Thank you.

Q Let's go back, Dr. Boneau, and talk about the Canyon test. Would you describe for us again the type of test, the length of test, and then the test results, and show us from the drilling summary report, Exhibit Eleven, where we may find that information?

A The Canyon test began on March 8th, which means it's on the drilling report for March 9th.

Q All right, sir.

A 3-9-85, at the bottom of page three, near the bottom of page three.

The first day it says perforated, 7944 to 7954, packer leaking, a bunch of other nonsense, but nothing particular happened that day other than it was perforated.

On the 10th the well was acidized with 1000 gallons of acid; flowed and swabbed back; 18 swab runs; recovered 55 barrels on the last run; 10 to 15 percent oil; short of load 31 barrels and not all the acid treatment was even recovered yet. We shut the well in for a pressure measurement. Shut in and run 36-hour pressure bomb are the words on that.

The next day there's analysis of the water that was swabbed out of the well previous to it being shut in for pressure.

And on the 12th, pulled the pressure bomb and pressure was 1977 psi down hole at the mid-perforation.

Set tester unit, which was -- well, which

1 would be the -- the Bennett equipment and it was -- it was
2 used briefly this day and then it was used that we'll get to
3 down in March 15th, and that's the information that's in Ex-
4 hibit Ten, is the later use of it.

5 That's all.

6 Q All right, when we look at the test
7 information, then, you have extracted from the test informa-
8 tion the 2 barrels of oil a day and the 70 MCF a day that
9 were used on Exhibit Number Five in talking about the value
10 of the Canyon production?

11 A That's correct.

12 Q Let's talk about the 70 MCF a day value
13 you've used, Dr. Boneau.

14 Do you believe that this well has the
15 ability to sustain production at that rate, and if not, what
16 is required before we will know whether or not it will sus-
tain production at this 70 MCF a day?

17 A I do not know if it will sustain that
18 production. It had leveled out at that production rate over
19 the last hours of the test. The only way I could tell would
20 be to test -- to test the well further. In the absence of
21 -- of all this goings on we would attempt to put the well on
22 production and test it for a week or a month, is what we
would do.

23 Q When you talk about the dollars spent to
24 date, the \$70,000, is that the money directly attributable
25 to the Canyon test or is that the total test for the entire

1
2 well?

3 A That's the estimated cost for the total
4 work on this five pages of drilling report that covers the
5 period from February 22nd to March 16th. In fact, at the
6 bottom of page four you'll notice an entry right above the
7 water analysis says ETCTD723662, estimated total cost to
8 date, and that is the number. That's exactly what it was.
Estimated total cost to date for our work on the Flint.

9 In order to obtain an estimate for the
10 work on the Canyon zone, you would go back to the -- the
11 point before the Canyon was tested. Estimated total cost to
12 date for that date was about \$29,000; subtract that from the
13 70, \$41-\$42,000 was spent on the Canyon test.

14 Q In order to recover the \$70,000 using
15 this test production information, takes about a year to do
that.

16 A Yes, sir.

17 Q What will be the total completed well
18 producing costs? You've got more numbers in here than 70 in
19 order to produce this from the Canyon, would you not?

20 Let me say this again. I think I
21 confused myself.

22 A Yes.

23 Q What is the total cost of completing a
24 well so that it will produce from the Canyon?

25 A It depends whether it would flow or pump.
We would need -- we would need surface equipment in addition

1 to what we have here basically. We'd need a -- probably
2 need a pump jack. We would need a separator. We would need
3 a tank battery. We would need \$30-50,000 worth of equip-
4 ment.

5 The \$70,000 is a -- what was a rough num-
6 ber that was on the drilling report and in thinking about it
7 now we say \$40,000 spent on the Canyon, say \$50,000 surface
8 equipment, \$90,000, \$70-to-\$90,000.

9 Q What do you do with the rest of the costs
10 of the test to date if you don't include them in the cost
11 for the Canyon?

12 You've confused me now. You've taken the
13 \$70,000 number, which I thought were the total expended to
14 date for testing the Morrow and all that.

15 A Yes, that's true.

16 Q All right, that includes the acid treat-
17 ments on the Morrow?

18 A Yes.

19 Q All right. You would use that total num-
20 ber plus the costs of the surface equipment, separators,
21 pump jack, whatever you needed, is an additional \$30-to-
22 \$50,000?

23 A It's a philosophical question and the
24 question is basically, does the final zone you end up in
25 have to pay out everything you've done in past history or do
you worry about -- or do you take the point that you write
off some costs and go ahead with the zone of interest.

1
2 If we're going to go to the Wolfcamp, do
3 we need to say that the Wolfcamp has to pay off every zone
4 downhole to be commercial. We don't do that but that's a
5 philosophical question that different companies answer different ways.

6 Q I don't want to be philosophical, Doctor.
7 The order requires a commercial well and I want to find out
8 what your test is for commerciality, --

9 A A commercial well --

10 Q -- if you know.

11 A A commercial well means to me that it
12 pays the daily operating costs, that you can operate tomorrow
13 and obtain more income than you pay out tomorrow and the
14 next day and the next day.

15 A well, you drill a well and you have a
16 blowout and it costs you \$50,000,000 to drill the well, you
17 know, you're never going to make any money on that well but
18 you can sustain -- you could produce a million cubic feet of
19 gas a day and be making an incremental dollar of, you know,
20 thousands of dollars a day. It will just never pay out
21 these huge costs, you know.

22 To me that would be a commercial operation,
23 producing that well at \$1,000,000 a day, but if you
24 put in the sum cost of the blowout and burning down the rigs
25 and insurance for killing people, and all that, you're never
going to make it, and that's the philosophy -- I called it
philosophical. It's not really philosophical but that's

theory (inaudible.)

Q Mr. Carr asked you what is it that Yates wants out of this hearing and out of the order and I believe your response is you want another 120 days.

A 122 is what -- 122 days on Exhibit Four, and I'm not sure if you objected to Exhibit Four, but 122 days on Exhibit Four would be required --

Q All right, let's look at Exhibit Four.

A -- to test the zones that have excellent technical merit.

Q Let's look at Exhibit Number Four. Since the order was entered on January 30th of '85 have we moved beyond day one on Exhibit Number Four?

A On the two legal sized sheets --

Q Yes, sir.

A -- of Exhibit Four? We have moved past day one, yes, sir. We have not done what we intended to do with the original Morrow perfs because we found out that they had been damaged and the main plan A was shot down, and so we were -- had to change the plan.

We are basically to day sixty-seven. Retreat to Canyon zone -- whoop, whoop, whoop, excuse, I'm sorry.

I was mistaken there. So we are basically to day fifty-four.

Q Okay.

A At the Canyon zone not feasible, and we

1 go on after the Canyon zone. Set a cast iron bridge plug,
2 go to the Wolfcamp. We're to that point.

3 Q All right. The two page summary shows
4 down through 110 days.

5 A Yes, and it has a sentence after that.

6 Q All right. Are we talking about --

7 A We're talking about fifteen days in the
8 Wolfcamp, exactly like is on the exhibit. We're talking
9 about forty-two days in the Yeso, exactly like is on the ex-
10 hibit, the legal sized pages. We're talking about forty
11 days in the San Andres and the note on the first page says,
12 procedure similar to Yeso procedure.

13 And we're talking about twenty-five days
14 in the Morrow, which is eighteen days that we -- that were
15 on the exhibit. They're page -- they're days -- I'd have to
16 figure out exactly, but they're days roughly five to twenty,
17 that we didn't do because we found out that the well had
18 been damaged, plus, as it says on the first page, the
19 twenty-five days was made up of seven days which was re-
20 quired to drill out to get us back down there so we could
21 make a real effort to undo the damage that was done to that
22 Morrow zone.

23 Q Okay, and your exhibit shows that we're
24 talking about actual days of work and you have not talked
25 about weekeds and holidays?

A No. You're right, and our normal
procedure has been to not work on Sundays.

1
2 Q If the Commission grants you another op-
3 portunity to enter the wellbore and that order is effective
4 April 1st, are we talking about 122 calendar days or are we
5 talking about more than 122 calendar days in order to accom-
6 plish the work days you have on the exhibit?

7 A I would of course feel much more comfort-
8 able with six months to accomplish our work.

9 I am saying that we're talking about 140
10 to 150 days counting additional Sundays.

11 MR. KELLAHIN: May I have a
12 moment, Mr. Examiner?

13 MR. QUINTANA: You may.

14 Q I'm losing track of the days, Mr. Boneau.
15 Where were we on March 16th, '85, and I think you told us
16 you stopped work in the well.

17 A On this legal sized sheet we're at
18 approximately day 53, 54, the bottom of the first page.

19 Q That takes us through the Canyon test?

20 A That takes us through the Canyon test.
21 Day -- day 52 was the -- thought of as the end of the eval-
22 uated well completion on the Canyon Lime zone.

23 Q All right. Now --

24 A We would start with day 53 if we were
25 going to go out there and continue with this.

Q Okay. Is March 16th the day in which the
forty-five day period expired or is that March 16th date in-
cluding the two week extension that was granted?

1 A March 16th is the day the forty-five days
2 expired and it's our understanding the last day we could do
3 work. It's the last day we did work.

4 Q To your knowledge was there ever any ex-
5 tensions granted beyond the March 16th, '85 date?

6 A My understanding of that was that on the
7 Friday preceding that, I don't remember if it was the 14th
8 or 15th or what date, we thought that we were going to be
9 able to have an extension to do work. The story I got the
10 following Monday was that we could only continue work if we
11 continued work on the same zone that we were presently in.
12 We had reached the end of our work on that zone according to
13 our schedule. Under those conditions we got the rig down,
14 moved it off, and waited for the hearing, and there was es-
sentially no extension.

15 Q All right, sir.

16 A From my point of view.

17 MR. KELLAHIN: I have nothing
18 further. Thank you.

19 MR. QUINTANA: Mr. Stamets, do
20 you wish to ask some questions?

21 QUESTIONS BY MR. STAMETS:

22 Q Mr. Bonneau.

23 A Yes, sir.

24 Q Before I ask you questions, I'd like to
25 recommend that the Examiner take administrative note of the

1 Commission files on this particular well and with that in
2 mind, then, I'd like to turn to Form C-103, which was filed
3 on this well in August of 1970, which is the Notice of In-
4 tention to Plug and Abandon, and reading from that, this was
5 filed by someone whose name I cannot read, but who claims to
6 be the Area Superintendent for Pan American Petroleum Cor-
7 poration.

8 And it says, well has watered out; unable
9 to return to production status. No workover possibilities.
10 Proposed P & A as follows, and then it goes on.

11 Now I'm wondering if indeed this well
12 watered out. Could that explain the third page of Exhibit
13 Number Two, could that explain the difference between where
14 the well stopped production and what you calculate as, say,
15 1.5 BCF? Is that -- could that not actually be represent of
16 natural gas but water in the reservoir which has encroached
in the well and effectively stopped production?

17 A I'll give you the answer that I gave to
18 Mr. Kellahin to a question in a similar nature. Some of the
19 Mr. Yateses had an interest. Martin Yates had an interest
20 in the Flint Well and they claim to have, you know, first-
21 hand knowledge of what was going on at that time, and so
22 they've told me some stories that disagree with what's writ-
ten there.

23 I've looked extensively through the re-
24 cord and that well produced through April of 1970. In March
25 of 1970 it averaged 1100 MCF of gas a day and 5 barrels of

1 water a day. They had produced at approximately that rate
2 for the previous two years. It had produced a little water
3 for two years.

4 In April of 1970 it produced, according
5 to C-115's, one day. On that one day it produced 1,039 MCF,
6 1,039,000 cubic feet of gas, essentially the same we'd had
7 in producing. It produced 6 barrels of water according to
8 the C-115 that one day.

9 There is no evidence that water produc-
10 tion increased. There is no evidence that gas production
11 decreased.

12 There is no evidence in the record, in
13 the production record, that it watered out. There is the
14 statement that you -- that you read, which is somebody's
15 opinion in Pan American.

16 In January I gave three reasons why I
17 thought perhaps Amoco would do this thing, which seem a lit-
18 tle ludicrous today and I'm not sure I can remember those
19 three reasons, but low gas prices was one, but the unusual
20 situation was that Amoco was not connected to the TransWest-
21 ern Pipeline. They had a prior contract and they were
22 carrying the gas through a small flow line across the Pecos
23 ten miles to the Empire Abo Gas Plant, and they had a very
24 ineffecient production line there with large friction losses
25 and they -- it was not a very good way to operate, and that
might be a contributing reason why they stopped producing
from the well.

1
2 The production evidence is that the well
3 was turned off and they walked away, which, you know, is
4 hard to understand, but that -- that's the evidence.

5 Mr. Yates tells me that he tried to get
6 them to put a compressor on the well and he believed at that
7 time that there was a lot of gas left in it, and the further
8 part of the story is that Amoco had an interest in this Bob
9 Gushwa and this Dayton Townsite well that we operated and we
10 wanted to put compressors on and it took I'm told months of
11 arguing to get Amoco to approve that and they would not ap-
12 prove it finally we, you know, paid their portion of putting
13 the compressors on.

14 So there is mystic folklore back there
15 and I'm not sure what exactly to make of it, but there's --
16 well, I expect when a well waters out that the gas produc-
17 tion dies and then water production comes up and at the last
18 hearing I testified that 50 to 100 barrels of water a day is
19 the kind of water you expect in a well watering out and
20 could find no evidence of that kind of thing happening in
21 this -- in this well.

22 Q To the best of my recollection this well
23 is located on the east side of the pool. Does that match
24 your recollection?

25 A That's correct. That matches my
recollection, yes, sir.

Q And my recollection is that water does
encroach on the Atoka Pennsylvanian from the east? Does

1 that match your recollection?

2 A The east side of the pool is lower than
3 the west side, that's correct.

4 Q How about the water encroachment? Are
5 you familiar with that? To the best of your knowledge is
6 water encroachment on the east side?

7 A I do not know about any water encroaching
8 on the east side. I will not deny that it is encroaching.
9 I do not know.

10 Q Assume for the moment that water was --
11 had been encroaching on the east side, and this well was
12 plugged in 1970, has there been production from the reser-
13 voir since 1970? Not necessarily from this well but from
other wells?

14 A Well, the wells that I've looked at, and
15 of course not all of them, seem to produce as if they're in-
16 dividual reservoirs.

17 Now the Morrow is in channels and so
18 there -- it's entirely believable that not all the wells are
19 in the same pool. It's not a blanket sand. I think every-
body will at least agree with that, that much.

20 It's hard to believe that every single
21 well out there is in a separate, separate reservoir. The
22 ones I looked at act that way.

23 The Dayton Townsite -- I believe that
24 there's very good evidence that the Dayton Townsite, which
25 is the well to the west, is not in the same reservoir as the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Flint and no gas has been produced through the Dayton Townsite out of the Flint reservoir.

The Bob Gushwa is the same story and we operate those, put water in those, and the facts agree with my conclusion.

I do not know if there's another well operated by someone that could be connected to the Flint well.

Q For the -- let's just make some assumptions, that the Flint Well did water out and that there are other wells in the pool which are producing from this same interval in connection with the same well. Would that additional production cause the water to migrate even further up dip past the Flint Well?

A Yes, and I would think even without the production the water would migrate further up dip. It would tend to want to equalize the pressure through the whole thing and when you had a drawdown pressure the water was moving in, it would tend to move in until the pressure was equalized in the water/gas reservoir.

Q In your talking with Mr. Kellahin earlier about what's commercial and you were describing a situation where the current income from a well exceeded the operating cost and even though this well might never pay back the cost of production you indicated you felt that might be commercial. Is that correct?

A Yes, sir.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q And if all of your wells were like that, would you be running a commercial operation?

A No, sir. Of course not.

Q Is what you're describing what's commonly called a salvage operation? You've invested so much money you're not ever going to get all your money back but you want to salvage what you can?

A Well, that's not the way I use salvage operation, but that -- your description may be the more common use of salvage operation.

Q You may or may not feel that you can answer this question. Do you believe that any producer has the right to produce through another party's wellbore?

A I can't conceive what that question means.

Q Well, let's just assume for the moment that -- that you've got a lease and another party has a lease which is to a deeper horizon and they drill a well to that deeper horizon, does the fact that that well penetrates your shallower lease give you any right to produce through that other party's deep wellbore?

A It obviously does not, well, not while they're operating it.

Q So as long as that wellbore belongs to somebody else you don't have any rights to be using it.

A That is my understanding. I'm, of course, no expert in this area but that's the way I've oper-

1
2 ated down --

3 Q I don't want you to answer these ques-
4 tions if you don't feel competent to answer them.

5 A Let's quit two questions ago.

6 Q To the best of your belief do you think
7 that a person would have to make some arrangements to ac-
8 quire the rights to that wellbore?

9 A That's what I've done in the past in sim-
10 ilar situations, yes.

11 Q Okay.

12 If this wellbore belongs to Blanco, it
13 would seem that the logical extension of the questions and
14 answers that we've had here would be then that Yates would
15 have no rights to produce through this wellbore, is that
16 correct?

17 A I think we're past the point where I'm
18 competent to answer. I don't agree with that but I don't
19 know if --

20 Q Okay.

21 A -- I'm competent to discuss it.

22 Q That's fine. If in fact the zone of in-
23 terest, the zone which is to be -- supposed to be used for
24 salt water disposal, has watered out in this well and is not
25 capable of commercial production, are there correlative
rights of Yates Petroleum in that zone which could be dam-
aged by utilizing the zone for salt water disposal?

A Would you repeat that?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q Okay.

A Please.

Q Okay, we're talking just now about the zone that Blanco proposes to use for salt water disposal and if the records of the Division are correct, and that zone did water out, and if it is not capable of commercial production of gas, are there correlative rights of Yates which would be damaged by using that zone for salt water disposal?

And correlative rights roughly are described as the opportunity to produce the reserves, oil or gas, in the pool in the portion under your acreage in the entire pool?

A If the -- if the well is watered out in the Morrow, as you're assuming, there would not be commercial gas around the well that Yates could get. By around the well I mean 500 feet, 1000 feet. It's possible that there would be gas on the west half of the 320-acre proration unit. The well is on 1980 -- 1980 from the south and 1980 from the east, and it's possible there would be gas over on the west 160 of the proration unit that may or may not be a commercial target for a different well and continued injection into that zone might fill the whole reservoir with water so that that gas could not be gotten, but it seems to me unlikely that it would be a commercial venture to drill another well on that proration unit to get that gas.

I'm trying to answer your question. I'm

1
2 --

3 Q Yes.

4 A -- maybe not making sense at all.

5 Q Have we had any evidence presented in
6 this case through any of the hearings to your knowledge
7 about the likelihood of commercial gas on the west side of
8 this proration unit?

9 A No. No evidence at all. That -- that
10 has not been discussed.

11 MR. STAMETS: I have no further
12 questions.

13 MR. QUINTANA: Mr. Stamets,
14 I'll take administrative notice of the case filed for the
15 well -- the well file for the Flint No. -- the Pan American
16 Flint Well -- Gas Com Well No. 1.

17 Do you have a question, sir?

18 MR. CLEMENTS: Yes.

19 QUESTIONS BY MR. CLEMENTS:

20 Q Dr. Boneau, on that 70 MCF a day that
21 you're getting out of this Canyon, have you had a gas analy-
22 sis run on that? Is it all -- are you going to indeed be
23 able to sell 70 MCF of gas or is part of that going to be
24 nitrogen or some inert type gas that you'll have to discount
25 that phase?

26 A The last gas analysis, as I mentioned,
27 was 1400 BTU gas, which means that there's mostly hydrocar-

There were -- the well was treated with acid and CO2. The last gas analysis had 3 percent CO2 and that would be expected to go away, but the CO2 content was still at 3 percent. I think that's the essence of the answer to your questioning.

Q

A

Q

A

C

A

C

A

Q

A

1 water for awhile, and it takes 30, 40, 50 days until the
2 well is a producing oil well.

3 Q On the -- on one of your exhibits here,
4 on the Number Eight, where you show the nearby Yeso
5 production, now you show the cum figures down here to the
6 south of this well. What period of time are we talking
7 about on most of these wells to get this cum value that you
8 show on here?

9 A The wells with low cums were drilled
10 recently.

11 Q Recently?

12 A The wells with high cums were drilled
13 '78, '79, '80, that kind of period.

14 Q '80, in other words we're talking about
15 four or five years, maybe?

16 A About four or five years, maybe, yes,
17 sir. If you'll look closely you'll see a lot of instances
18 of second wells on forties.

19 Q Uh-huh.

20 A One well with 30,000, one well with 8,000
21 on the same 40. The 8,000 is a second well drilled within
22 the last year or so.

23 MR. CLEMENTS: I have nothing
24 further. Thank you, Dave.

25 MR. QUINTANA: Let the record
show that the questions are coming from Les Clements, the
District Supervisor of the Artesia District Office.

1
2 Any further questions of the
3 witness?

4 MR. TAYLOR: Yeah, I have one.

5 CROSS EXAMINATION

6 BY MR. TAYLOR:

7 Q Dr. Boneau, you stated in your testimony
8 in the hearing in January 16th that if there was a rate be-
9 low 100 MCF a day your recommendation would be to give up
10 the well. If -- if right now is the end of your period to
11 test that, would you make a recommendation, such a
12 recommendation to Yates?

13 A The testimony -- several answers to that
14 question.

15 The testimony that you're referring to
16 was directed at that Morrow zone, 1.5 BCF, huge amounts of
17 reserves, and without knowledge that that zone had been
18 damaged. Okay. We're not requesting, I think, it's not
19 exactly the same apples and oranges answer or the same cir-
20 cumstances.

21 I'll try to get you an answer. The -- my
22 recommendation at the present time would be to put a
23 retrievable bridge plug over that Canyon and go test the
24 Wolfcamp, and to that, you know, as I understand it, it
25 would be give up that zone at least temporarily and another
point to that same question, the 70 MCF a day is rich gas.
It has a BTU value of 1500 -- at 1400 BTU. It has the same

1 BTU value as 100 MCF a day of Morrow gas.

2 So it is right on -- right on the border
3 of that 100 MCF I was talking about in the previous hearing.

4 But in the absence of all this goings on
5 and opposition, my recommendation would be to put a retriev-
6 able bridge plug over this zone and to go test the Wolfcamp
7 and hope we get a 25-50 barrel a day from the Wolfcamp. If
8 we get this, if we get a marginal producer from the Wolfcamp
9 we might, and again in the absence of all this, consider
10 putting the two zones together.

11 The Canyon zone as it is is not a strong,
12 commercial zone.

13 Q In your experience as an engineer, is a
14 test that shows 70 to 75 MCF of gas a day, how long is that
15 going to hold out on a well like this, which is, at least
the records show, had watered out previously?

16 A Well, now, whether or not the Morrow
17 watered out would have absolutely nothing to do with the
18 Wolfcamp. The well, the zone has nothing to do with the
19 Canyon. We're both mixed up, I'm sorry about that, has no-
20 thing to do with the Canyon. The -- what little data we
21 have on the Canyon shows that it's very, very tight, which
22 means that it would produce at low levels but has a chance
of producing for an extended period of time.

23 If we are talking about a Morrow well
24 making 70 MCF a day I would expect that it would fall off
25 very rapidly.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q Was this --

A A Canyon zone, you know, might -- might produce a year or two or three and only fall from 70 to 50 MCF a day.

Q Knowing that you only had forty-five days from the date of the last order in which to test, why didn't you test those reservoirs that you felt were most likely to be productive, those strata, or whatever?

A My answer to that is because we felt that once we knew that Blanco had damaged the zone the rules were all changed, had to be all changed in order to be at all fair, because that was the main project. We had an excellent chance at an excellent well there and that the Examiner and the Commission gave the order without understanding and when that was found out that that had been done, that the rules simply could not be applied literally as they had been and that the plan, your plan and our plan had to be totally different and the most reasonable thing for us would be to proceed as we would test the well in a prudent manner, and that's what we chose to do.

MR. QUINTANA: Mr. Boneau, on your testimony would you restrict your statements alleged -- alleged -- on allegations that Blanco has damaged the Morrow formation until that has been proven so or not so?

A Surely.

Q I'm confused about that. You can you say you know it was damaged? I don't understand this whole line

1 of damage to the formation. Explain that to me. How do you
2 know there was damage there?

3 What -- what is different from the fact
4 that Blanco had never been there and you entered that -- re-
5 entered that well and found what you found? What's differ-
6 ent from -- what's different from what you found from what
7 there would have been had nobody been in that wellbore?

8 A The plug was drilled out. That's --

9 Q I mean besides that, what damaged the
10 formation --

11 A That's the critical thing. That is the
12 critical thing.

13 Q What's it?

14 A Just that water was put on the formation.
15 That's all it would take --

16 Q Wasn't there water there previously?

17 A The water that was there previously would
18 have been Morrow water from the formation, which is friendly
19 to the formation.

20 Yeah, the prudent thing would be to drill
21 it out with air so that you did not put water on the forma-
22 tion and I've got data here, I can show you how Morrow water
23 would damage, but the truth is that water damages Morrow
24 wells.

25 Q In your professional opinion what are the
chances that this is a commercial well?

A That this is a commercial well?

1
2 Q That this will be a commercial well if
3 you're allowed to do all the testing you want to do and it
4 to a well, considering all the other wells in the area and
5 what you know about them?

6 A I would bet you next month's paycheck
7 that it's going to be a well. I think there between 90 and
8 100 percent that it's a commercial well.

9 Q How many Wolfcamp producers are there
10 within a mile of this well?

11 A Zero.

12 Q Zero. Have there ever been any Wolfcamp
13 producers within a mile of this well?

14 A No, sir, not that I know of.

15 Q What makes you so sure this is going to
16 produce from the Wolfcamp?

17 A I'm not sure that it's going to produce
18 from the Wolfcamp. I'm sure that it's going to produce from
19 the San Andres. I'm 90 percent sure it's going to produce
20 from the Yeso. I'm some lesser amount sure that it's going
21 to produce from the Wolfcamp, but overall it's going to pro-
22 duce from one of the three.

23 Q Does your certainty on this have to do
24 with the fact that John Yates believes there's gas there and
25 you guys are going to find it?

A No, that's back in the Morrow.

Q How many producers are there from the
other horizons within a mile? How many producers within a

1
2 mile are there from the other horizons that you desire to
3 test?

4 A Exhibits Eight and Nine would -- would
5 show you that pretty graphically. There are approximately
6 20 San Andres producers within a mile and somewhat in the
7 order of 10 Yeso producers within a mile.

8 Q When this well was first drilled was
9 there no testing of other formations done?

10 A The records on this well are a little bit
11 sketchy but the records say they drilled to 6000 feet.
12 There was no obvious production from the Abo. They drilled
13 on the 9249, I believe it was. They drill stem tested a
14 zone in what I call the Upper Morrow, slightly above the
15 producing zone, the old producing zone. They drill stem
16 tested the producing zone.

17 They made some kind of a judgment that
18 there was no flow into the wellbore from the Abo and I'm not
19 sure what that means at all. They drill stem tested an Up-
20 per Morrow zone and found no productive zone. They drill
21 stem tested the Morrow zone that produced for all those
22 years and it drill stem tested sensationally. They ran
23 pipe, perforated that zone, and produced that zone.

24 Q I guess that's all the questions I have.

25 MR. QUINTANA: Les Clements has
an additional question.

QUESTIONS BY MR. CLEMENTS:

Q You talked about the formation water, Dr. Boneau, isn't there some areas that people are fighting with us and the gas company in some Morrow wells because of damage by formation water on the Morrow? They come to us and ask for hardship classification because we ruined their wells. Could this not occur in this well? I mean, sometimes not -- what I'm trying to say, they don't want to shut the well in because they claim it ruins it, and that's strictly formation water that's doing it.

 Could this not occur in this well?

A Well, obviously, I think that the answer is it's possible. If formation water damages other Morrow wells, it's possible that formation water would damage this Morrow well, that's right.

 You know, not all those hardship cases are approved or --

Q That's true.

A -- believable.

Q I fight them if I can.

A And quite often the problem is simply that they need to swab the water and they can't afford to swab the water. But if formation water damages other Morrow wells it could possibly damage this one.

Q That's all. Thank you.

MR. QUINTANA: Are there fur-

ther questions of the witness?

MR. STAMETS: I'll ask another one or two.

MR. QUINTANA: Mr. Stamets, you may proceed.

QUESTIONS BY MR. STAMETS:

Q Mr. Boneau, do you know if Yates operates any salt water disposal wells in the general area where the water goes into the Morrow formation?

A Yes, they do. They operate the two wells we've talked about. The Bob Gushwa and the Dayton Townsite are disposal wells into somewhere in the Morrow zone.

Q Did those become disposal zones when they had been -- had become depleted in the Morrow formation?

A Yes, sir.

MR. STAMETS: That's all.

MR. QUINTANA: Any further questions of the witness?

If not, he may be excused.

MR. KELLAHIN: We have a witness to present, Mr. Quintana.

MR. QUINTANA: Mr. Kellahin, you may present your witness.

MR. KELLAHIN: Thank you, Mr. Quintana. We'll call at this time Mr. Paul White of Blanco Engineering.

MR. QUINTANA: Mr. White, would you please come up and be sworn in at this time?

MR. WHITE: Yes, sir, I will.

(Witness sworn.)

PAUL G. WHITE,
being called as a witness and being duly sworn upon his oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q For the record, Mr. White, would you please state your name and occupation?

A Paul G. White, President of Blanco Engineering, Incorporated.

Q Mr. White, have you previously testified before the Oil Conservation Division as a petroleum engineer and had your qualifications accepted and made a matter of record?

A Yes, sir, I have.

Q And did you testify before this Division Examiner at the hearing held in this case on January 16th, 1985?

A Yes, sir, I did.

MR. KELLAHIN: We tender Mr. White as an expert petroleum engineer.

1
2 MR. QUINTANA: He is considered
3 an expert witness.

4 Q Mr. White, some of the things that I'm
5 going to ask you, you did discuss at the hearing in January
6 16th, but I want to go over certain portions of those things
7 again with you, having you commence with the operations you
8 conducted on the Flint Number Well pursuant to the original
9 order by the Commission prior to the time you were notified
10 by Mr. Stamets that he had rescinded the order.

11 I'm going to hand you a copy of what has
12 been introduced as Blanco Exhibit Number One to today's
13 hearing, which are the two water tickets, and ask you in
14 chronological order to explain for us and tell us what was
15 done with the wellbore and what was done in relation to this
16 water.

17 A Let me start with this, with all due re-
18 spect to Yates Petroleum Corporation.

19 The assertion here has been made that
20 Blanco damaged the Morrow formation with water that we put
21 on the formation.

22 As I say, with due respect to Yates Pet-
23 roleum Corporation, I worked for Yates for one year and this
24 was a very common thing with Yates Brothers, that there was
25 damage to any well that didn't perform. It was kind of a
philosophical thing. It went on in the halls and it -- it
was just one of those situations where we knew that they
were going to say the well was damaged. If it made 400 bar-

1
2 rels a day of oil, it should have made 600. If it was a dry
3 hole, it should have made a well, and that was just common,
4 and I want to point that out, that it's a common practice
5 with Yates Brothers to assert damage.

6 Now then, we received an order from the
7 Commission. Prior to our receiving the order we had Mr.
8 Chad Dickerson, our legal counsel, call up here and talk
9 with the Examiner and he told me by phone that there was no
10 problem with the order, that we could go ahead and at least
11 go to the point of seeing if this well was going to properly
12 take water so we could order our additional equipment, our
13 ground lines, the tanks, pumps, and so on, because there's a
lag time of about six months on that ordering those pumps.

14 When Mr. Dickerson told us that, we rig-
15 ged up on the well. Now we had to have a reverse drilling
16 rig on that hole to drill those plugs and so what we did, we
17 acquired the services of Completion Services. They have a
18 tank there and they have to have it full of water to start
their drilling.

19 So we ordered out 150 barrels of water.
20 We placed this in the reverse rig tank and the rest in a
21 frac tank we had rented there, to be used to drill the
22 plugs, the only way I know to drill them, unless you did use
air. There's no reason to use air to drill those plugs.

23 We used this water to clean these plugs
24 out. The hole was loaded with water when we started. We
25 did not lose any fluid to the Morrow perforations. We

1
2 didn't even lose any fluid to them when we cleaned out
3 through the perforations.

4 Okay, we knew then that when the well was
5 plugged it's common for the lowermost plug to be placed over
6 the perforations and the perforations had taken the cement.
7 So they were sealed off.

8 So we cleaned the hole out and circulated
9 it clean. This is where 150 barrels of the water came from.

10 We close the casing and pressured up and,
11 by the way, we testified to this on page 19, or one of the
12 pages in the transcript. We didn't tell all that we did but
13 it's in there. We weren't hiding anything that we'd done
14 for the rehearing.

15 Okay, we got the plugs cleaned out and
16 then we closed the casing and tried to pump in. We could
17 not pump in the well at -- we finally pumped in the well at
18 2200 pounds.

19 We knew that that wasn't going to solve
20 our problem as far as salt water disposal because we were
21 approaching the -- or surpassing the restricted pressure
22 that the Commission would allow.

23 So we called out then our 75 -- our 2500
24 gallons of acid and 75 barrels of water in order to flush
25 the acid. There again we circulated the acid to spot; no
water going in the formation; it wouldn't take it. We cir-
culated the acid down the spot (sic) and then behind the
acid we pressured up with water and we cleaned the tubing of

1 the acid and we probably pumped in and I don't know this ac-
2 curately, but we only had 75 barrels there. We had to put
3 60 barrels behind the -- the acid to clear it into the per-
4 forations, and we wanted to flush it, so we finally put the
5 60 barrels of acid in which would have put 10 barrels in the
6 formation. Then we put behind that probably 20 to 30 bar-
7 rels of water and we got a two barrel per minute rate at
8 1250 pounds.

9 Okay, that wasn't all that good but we
10 knew we could pump into the zone. We knew we -- we had a
11 well that we could probably later break down further and so
12 that's what we did to the well.

13 And at that point we pulled the tubing
14 out of the hole and rig down and then after that the notifi-
15 cation that the order was rescinded came down. We never did
16 another thing to the well.

17 That well has been plugged for fourteen
18 years with water on it. Pan American says it watered out.
19 There again I can't see them leaving a million cubic feet of
20 gas a day and plugging that well.

21 Q All right, let's go through the calcula-
22 tions so you can tell us how many barrels of water that you
23 may have exposed to those perforations in the Morrow.

24 There's a certain volume of water in bar-
25 rels that's in the tubing.

26 A Uh-huh.

27 Q It was circulated with the acid, what are

1 we talking about?

2 A The tubing would hold 56 barrels of water
3 but when you circulate your acid to spot, you circulate that
4 water, that displacement goes into the earth pit, and so you
5 have not yet put any water in the formation.

6 At that time you shut the casing and you
7 displace 60 barrels of acid -- it's really 59-1/2 barrels of
8 acid -- plus the capacity of the -- that it takes to clear
9 it.

10 So you're going to put 59 barrels of
11 water behind that acid to get it in the formation; say 60
12 barrels.

13 Then we -- then we got a breakdown on the
14 acid, a little bit of a break on our pressure where we could
15 get into it and clear the perforations and then we put about
16 20 or 30 barrels, probably whatever was left on the truck,
17 into the formation at 2 barrels a minute, 1250 pounds, so
18 it's -- it's --there's no way that we could have put any
19 water in the formation. We were wishing we could. We want-
20 ed to go on a vacuum. In fact we talked about it, which
21 wasn't realistic, but that's what we wanted.

22 Q Mr. Boneau told us that Yates swabbed
23 back during a 7-day period 190 barrels of water. Do you
24 have an opinion as to whether or not that volume of water
25 swabbed back by Yates would have been adequate to swab back
and water that you'd placed on the formation?

A Yes, sir, that would have swabbed, the

1
2 hole was loaded, that would have swabbed the -- by the way,
3 that pressure would have shut down at 800 pounds when we
4 quit pumping it.

5 Now then, that, the answer to the ques-
6 tion, Tom, that would have brought back the 60 barrel capa-
7 city plus whatever -- whatever, in addition to that, what-
8 ever was in that formation.

9 I stopped by the unit to check with the
10 unit operator while Yates was testing this zone and he told
11 me that they were swabbing from the seating nipple, which
12 means that they were going to bottom, and they were getting
13 a rate of about 1400 feet an hour in the tubing, which would
14 indicate about 5 barrels of water per hour that he was swab-
15 bing.

16 And by going to the seating nipple he
17 wasn't, you know, the well was loading up too much with
18 water then, but just enough to keep 1400 feet an hour coming
19 into the tubing, and he was swabbing that back, very little
20 gas.

21 Q In your opinion is there commercial gas
22 that can be produced by this wellbore out of the perfora-
23 tions that you propose to utilize for salt water disposal?

24 A I might can tell the Commission without
25 any reservation, that before we got on the well, after we
got on the well, and when Yates gets through, if this is the
case, there is not any commercial gas left in the Morrow
zone, and when they drilled the lower Morrow, I might add

1
2 this, --

3 Q Well, let's talk about the other zones,
4 other than that one perforation that you want to utilize for
5 disposal.

6 A Okay.

7 Q Your -- you've reviewed the information
8 that Yates has with regards to their further attempts to
9 complete this well for commercial production?

10 Yes or no?

11 A Yes, un-huh.

12 Q All right, sir.

13 A This was in the Canyon?

14 Q No, sir, in the Lower Morrow.

15 A Oh, the Lower Morrow, yes, I have.

16 Q All right. What happened then and did
17 they obtain commercial production?

18 A Now this is information we had to get
19 from the (not understood) operator pretty well, but we asked
20 him about it. They did deepen to the Lower Morrow zone.
21 Now they didn't drill that with air, I don't think they
22 drilled it with air. I know they didn't. Why I don't know,
23 but they did not, and in deepening to the Lower Morrow zone
24 there was a time on this well that I was told that the Mor-
25 row perforations, either the lower ones or the ones we're
talking about in the hearing, begin to take four barrels a
minute, begin to lose four barrels a minute, and they were
losing four barrels a minute to the perforations.

1
2 Now that comes from the trucks that were
3 hauling water to the well.

4 Q If that occurs, what does that mean to
5 you as an engineer?

6 A Well, it means -- it can mean several
7 things.

8 It could mean that if the Lower Morrow
9 perforations were open at that time it could be feeding into
10 those.

11 It could mean that by this time the acid
12 and water had gotten out past whatever cement damage was
13 done when they plugged those perforations and it had broken
14 down and was actually showing more of a capacity to take
15 water.

16 Q Mr. Boneau has told us of those zones
17 that Yates tested within the period of time allowed by the
18 order, that they did test the Canyon zone and in his opinion
19 they had a test result of 2 barrels of oil and about 70 MCF
20 of gas.

21 Have you reviewed that information or are
22 you aware of that test information?

23 A Yes, sir. I called Eddie Mahfood to get
24 a test and Eddie gave me 1.7 barrels of oil, 73 MCF of gas,
25 and 36 barrels of water.

26 Q For the record, who is Eddie Mahfood?

27 A Eddie Mahfood's an engineer for Yates
28 Petroleum Corporation, and he told me then that they were

1 swabbing, that it would not flow, and that's the information
2 I got on the test on the Canyon.

3 Q Based upon that information, Mr. White,
4 do you have an opinion as an engineer as to whether or not
5 that's a commercial zone?

6 A It is not a commercial zone at this stage
7 of the game. There is no way.

8 Q Why not?

9 A Because it won't produce enough revenue
10 to pay for the cost of -- you see, they're still having --
11 been a pump, a pump unit, a sucker rod, the engine, electri-
12 cal tie-in, this all had -- the tanks bought to separate the
13 production from their other production on the lease, so the
14 355 day payout on the exhibit is erroneous because I don't
assume you're going to swab for 355 days.

15 Q If Yates is given another opportunity to
16 further test this well, what adverse effects upon Blanco's
17 correlative rights will that have?

18 A Well, it would destroy our wellbore.
19 The, really the shame of this thing is just that the beauti-
20 ful position of the well for salt water disposal will be
21 wrecked forever and the fact that we cannot have the well
22 for salt water disposal will suspend our Yeso drilling pro-
23 gram and it will leave about-- this is an estimate off the
24 top of my head -- it will probably lease about 300,000 bar-
rels of Yeso oil in the ground down there in Section 25.

25 Q What is currently costing you to dispose

1
2 of or truck away the Yeso produced water that you would uti-
3 lize this salt water disposal well for?

4 A The month of January we had \$1.12 and
5 we've got it now for \$0.95 a barrel.

6 And the --

7 Q On a daily basis what would that be in
8 dollars?

9 A Well, it's 600 barrels a day at 95 cents,
10 so say \$600 a day.

11 And I might add there that a 20-barrel a
12 day well is uneconomical at that point.

13 Q Is the wellbore currently in a condition
14 that you rendered that wellbore to Yates or is there addi-
15 tional work that's required in order to restore that well-
16 bore to the condition in which you turned it over to Yates?

17 A There would have to be additional work
18 done on the well if they restored it to the condition when
19 we gave it to them.

20 There would have to be -- Canyon zone
21 would have to be squeezed off and drilled out and tested and
22 I would assume the Morrow perforations, the lowermost Morrow
23 perforations, the second Morrow zone they attempted to com-
24 plete in, would have to be squeezed off, also, if it could
25 be restored in exactly the same condition as when we gave it
to Yates.

Q Do you have an estimate as an engineer as
to how long a period of time it would take to restore the

1 wellbore to the condition in which you turned it over to
2 Yates?

3 A Well, if you did -- you have to drill out
4 the plug on the Morrow, I assume, so you'd probably take, it
5 would probably take about six or seven days to restore it to
6 the original condition if all the tests held and squeezes
7 held.

8 MR. KELLAHIN: Thank you. I
9 have nothing further.

10 MR. CARR: I have a few
11 questions.

12 CROSS EXAMINATION

13 BY MR. CARR:

14 Q Mr. White, I want to go back a little
15 bit, too, in time.

16 When did you first start looking for a
17 disposal well in this area?

18 A Well, we started looking for a disposal
19 well, our whole plan was to drill two Yeso wells in Section
20 25, 18, 26, and establish an oil rate, and once those wells
21 were tested in July, we got an accurate test on the two
22 wells, a stabilized test, and at that point we began to look
for a salt water disposal candidate.

23 I'll take that back, Mr. Carr. We looked
24 earlier. We were researching the Commission files earlier
25 than that in anticipation of having to have a salt water

1 disposal well.

2 Q When did you actually start having a
3 problem in terms of -- or when did you really develop this
4 need for a disposal well?

5 A Well, we developed the need just as soon
6 as we acquired the Yeso acreage in Section 25, 18, 26.

7 Q And when was that?

8 A That was in -- Mr. Carr, I believe it was
9 in -- it was 1980, early, early 1984.

10 Q Was that before or after you acquired an
11 interest in the Copeland SN No. 1 Well, or what you call the
12 Williams No. 8?

13 A It was after we acquired the interest in
14 the Copeland.

15 Q What is the present status of that Cope-
16 land Well?

17 A It's a Yeso, a re-entry and a Yeso pro-
18 ducer.

19 Q It's a re-entry of an existing well.

20 A Yes, sir.

21 Q Was that existing well when you acquired
22 it open in this Morrow zone?

23 A No, sir, it had been -- it had been plug-
24 ged. There was no production casing in the well.

25 Q Was this a possible well for a disposal
well?

A No.

1
2 Q You could not have taken it down to the
3 Devonian?

4 A No. When you start to talk about that,
5 Mr. Carr, the expense is so prohibitive to drill that well
6 back out and drill deeper to the Devonian and case it
7 completely and cement it according to the Commission's
8 specifications, it's just too expensive.

9 Q Can you even make an estimate as to what
10 those costs might have been?

11 A I couldn't, Mr. Carr. I wouldn't want to
12 without doing some numbers.

13 Q Now Mr. Kellahin may have just asked you
14 this, but what costs are you incurring daily for the
15 disposal of this water?

16 A About \$600 a day with all wells pumping.
17 Now we've shut two wells in, so we're incurring a cost now
18 of about \$300 to \$400 a day.

19 Q Now concerning your interest in the Pan
20 Am Flint No. 1 Well, I want to just be certain I understand
21 this. Now your claim is based on a grant of right-of-way or
22 easement from the surface owner, is that correct?

23 A We have a contractual agreement signed by
24 -- the name escapes me, Mr. Carr, but it's signed by the
25 surface owner and the mineral owner, the trustee for both.

Q Okay, and this is what you're basing your
claim for the wellbore on.

A Yes, sir, we were told by Mr. Dickerson,

1
2 our counsel, to in all cases like this where there's a
3 plugged and abandoned well, it's a nonentity, it doesn't
4 interfere with anybody, it's just a plugged well, and we
5 were told to be sure and acquire those signatures on a
6 contract, agree with her on a cost and payment to her for
7 salt water disposal payments, and -- and then we would have
no problem.

8 Q Do you happen to have her name now?

9 A Let me see if it's on here. Lucille
10 Daley. She's Senior Vice President, Moncor Trust Company.

11 Q Okay. Now when you went in and started
12 working on the subject well did you do anything to test the
13 Morrow zone before you started working on it to see if in
fact it was capable to commercial production?

14 A No, sir.

15 Q And then you drilled out the plug and
16 circulated cement, is that correct? You didn't?

17 A No. No, we just cleaned the plugs out of
18 the 5-1/2 casing.

19 Q Is that what you used the acid for?

20 A No, sir. We just used clear water and a
21 bit, six drill collars, and 2-7/8ths Reynolds tubing.

22 Q And then what did you do with the acid?

23 A The acid later was circulated to spot on
24 the perforations of the Morrow zone and that acid was
displaced into those perforations.

25 Q Now if we assume that this zone had been

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

capable of production, just assume that for the purpose of the question, putting acid on the zone and the work that you did could have impaired a Morrow zone, could it not?

A No, not if you were going after the Morrow zone to produce it, because we would have immediately fallen back.

Q But you did not.

A No, we had o reason to.

MR. CARR: I have no further questions.

REDIRECT EXAMINATION

BY MR. KELLAHIN:

Q In your opinion, Mr. White, would leaving the acid treatment that you made on the perforations in the formation, would that have damaged the productive capacity of that formation to produce?

A Tom, we would have ot left it on there had we been attempting to complete a Morrow gas well. We would have used this same acid, nonemulsifying acid. It's supposed to be an acid that eliminates blocks, and we would have swabbed it back. I don't know.

Damage to reservoirs, as one of the examiners brought up, it's a -- it's a really wild thing, you know, it's an assertion a lot of times without proof.

MR. KELLAHIN: Nothing further.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

QUESTIONS BY MR. CLEMENTS:

Q Mr. White, what date did you rig up your reverse unit? Do you have that in your file?

A We rigged it up on September -- right around September the 11th.

Q And you did drill out the plugs with fresh water?

A Yes, sir, we did.

Q Do you know whether Pan American, they probably drilled the well with what, mud, fluids?

A Well, sir, I don't know. I really don't.

Q I don't either. I was just asking.

MR. CLEMENTS: I don't have any other questions.

MR. QUINTANA: I have no further questions of the witness.

If there are no further questions of the witness, he may be excused, and counselors may present their closing statements.

MR. KELLAHIN: I believe it's customary for me to go first because it's also customary for me to go last and any time in between.

Because Mr. Carr has an overwhelming and insurmountable burden of proof, it is customary for me to have first argument so that he will have every possible chance to rebut and convince you that he is somehow

1
2 right.

3 Therefore, I think this is a
4 matter in which the Commission, and we thank the Commission
5 very much for the attention that you've given this case.
6 There are a great many important cases here and appreciate
7 the fact that you have given this extra special considera-
8 tion. It's a case that's unique not only in terms of the
9 Division but in terms of the legal issues surrounding the
ownership of the wellbore.

10 Sometime over coffee we can
11 talk about those legal issues. If Mr. Hall was here maybe we
12 could talk about them now.

13 But the case to be decided is
14 whether or not Yates has had a fair and reasonable opportuni-
15 ty to test the well and we have moved considerably past the
16 order of January 30th, 1985, in which the Commission found
17 that there was insufficient evidence to determine whether or
18 not this wellbore had the capacity or capability of commer-
cial production.

19 Mr. White testified then as he
20 testified now that this well was not capable of commercial
21 production.

22 To remove absolutely any doubt
23 about that the Commission gave Yates the opportunity to
24 again test this wellbore for gas production, notwithstanding
25 its long history that we could reasonably conclude that the
chance of gas production were very small.

1
2 The Commission had, I think,
3 everything that Mr. Boneau told us today he told us in some
4 fashion back in January. He recalls his testimony a little
5 differently than I read it from the transcript. There are
6 two points that I want to remind you about, is that the Com-
7 mission had before it Dr. Boneau's opinions, particularly on
8 page 65 of the transcript. I'm talking to him about the
9 length of time required to test the well and he says we
might be on the well as much as three months, you know.

10 That became a point of concern
11 for the Examiner. Subsequent to the hearing you requested
12 that Yates give you an itemized, detailed schedule of the
13 events that they would propose to conduct on the well. We
have that again as Exhibit Number Four.

14 With that information available
15 to the Examiner, and with Dr. Boneau's testimony, the Com-
16 mission gave Yates forty-five days.

17 Now they come back and tell us
18 that ain't enough.

19 My point that I've tried to
20 stress all afternoon and will once more try to stress, is
21 that if they were unhappy with the forty-five day period,
22 they should have appealed this order to a Commission
23 hearing. The problems they've told us about now existed
24 then. The schedule for testing this well is the same as it
25 was then. We've lost some time in there from the 30th of
January to the 22nd of February. Mr. Carr explains what

1 they were doing. It should be come apparent to them that
2 they were eating into their time and if they didn't like it,
3 they should have done something about the order, but they
4 didn't.

5 They're stuck with that order.

6 They come in today and they say
7 we need more time because Paul White and Blanco, we suspect,
8 ruined this well for us. They've ruined it.

9 The testimony is absolutely
10 wrong. Dr. Boneau has speculated for us, he thinks, he's
11 not sure, but he says that they've introduced water to the
12 formation.

13 Mr. White was there. He's tes-
14 tified for you what was done to this formation with water.
15 You can add it up as well as I can. He says they may have
16 introduced a small quantity of water, say, sixty barrels.
17 Yates swabbed back 190. It's not unusual to acid treat the
18 Morrow formation and swab back water.

19 We don't have a gas well here.
20 We never had had a gas well. This has been an oil well, a
21 water well from fourteen years ago and it's still a water
22 well.

23 It's our turn to have the well-
24 bore. We think the order is clear. It's certainly not am-
25 biguous. It's our turn.

26 We would request that the Divi-
27 sion reinstate the original Order R-7693 effective imme-

1 diately, compel Yates to restore the wellbore to the condi-
2 tion that it was in when they received it from us or provide
3 that they will compensate us in dollars for the expense of
4 making that transition.

5 We think the Commission has
6 acted properly in this case. We believed in January that
7 this was not a gas well. Our believes have been confirmed
8 by Yates' efforts and the Commission has acted responsibly
9 giving them yet another opportunity to find the gas and they
10 can't do it and it's our turn to use the wellbore.

11 Thank you very much.

12 MR. QUINTANA: Mr. Carr?

13 MR. CARR: May it please the
14 Examiner, Yates Petroleum Corporation is before you today in
15 Case 8323 because, as you advertised this case, we were
16 called back to it and provided an opportunity to show you if
17 in fact the subject well was capable of oil and gas
18 production and whether or not it should be utilized as a
19 salt water disposal well.

20 The testimony presented here
21 today by Dr. Boneau about each of the zones in this well, we
22 submit, shows you that this well can and will be capable of
23 the production of oil and gas in commercial quantities.

24 Admittedly, further testing is
25 required but no one in this room thinks that this well really
cannot be returned in one of these zones or more than one of
these zones to commercial production.

1
2 The question then turns of
3 whether or not it should be used as a salt water disposal
4 well.

5 We're here before you again be-
6 cause we believe the best interest of Blanco Engineering and
7 the best interest of Yates Petroleum Corporation is served
8 by attempting to resolve this matter before the Oil Conser-
9 vation Division and we believe that if you give us a chance
10 to go back in and return this well to production and produce
11 it, you will one, solve the question before you, and you
12 will protect the correlative rights of Yates Petroleum Cor-
13 poration. You will prevent waste.

14 Certain questions here today,
15 particularly from Mr. Stamets, underscore the fact that one
16 of the real questions in this whole dispute is ownership of
17 the wellbore.

18 As much as, perhaps, Mr. Kella-
19 hin would like you to believe it, it isn't a question of
20 whose turn it is to operate and work with somebody's proper-
21 ty rights. This isn't just a bald assertion. We don't just
22 say we claim it just because it's convenient for the hear-
23 ing. We have researched the matter and we can go into great
24 length and great detail on what that shows, but I think it
25 might be useful to you in evaluating this case to refer to a
case called Gutierrez versus Davis. The cite is 618 F 2d
700. It's a simple case.

I'm going to read five sen-

1 tences to you from what is a relatively simple decision.

2
3 It involves a situation where a
4 well was drilled. It's abandoned, the wellbore reverts to
5 the landowner.

6 The first two sentences in the
7 decision.

8 "The facts are simple. The
9 Gutierrezes and the Davises entered into a standard form oil
10 and gas lease in April, 1974, for which the Gutierrezes re-
11 ceived a bonus of \$7750. The lease contained no restric-
12 tions on the exploration and drilling except that a well
13 could not be drilled within 200 feet of the house or barn."

14 The Court then goes on to note
15 that the well was drilled by someone else. It has reverted
16 to the landowner and the landowner then leased it to Davis
17 and it states in announcing its decision, the lease gives
18 Davis the right to use the land for the purpose of -- quote,
19 for the purpose of exploring, mining, and operating for oil
20 and other minerals.

21 "We agree with the trial Court
22 that, without express language to the contrary, a fair
23 reading of the contract gives Davis the right to drill
24 through any part of the real estate including the plug and
25 casing of the abandoned well when, as here, it was reason-
26 able use within the stated purpose of the lease."

27 We have the right to that lease
28 and if we are denied the right to use our property to test

1 these zones, we have no choice but to not talk about this
2 around coffee, but to talk about some place where there is
3 authority to protect our rights, and that is what we will
4 have to do and we do not want to do that.

5 There's been all sorts of talk
6 about, well, what happens if the zone is watered out? Could
7 correlative rights be impaired? Well, perhaps they could be
8 but we're talking about concepts that don't dovetail
9 together here.

10 We're talking about ownership
11 of a wellbore and we're talking about correlative rights in
12 a zone. Perhaps Mr. White can get, under his agreement with
13 the landowner, the right to drill another well and dispose
14 of water in this zone, if in fact it is watered out, and do
15 that without impairing anyone's correlative rights, but when
16 we look at the definition of correlative rights, and
17 correlative rights is an opportunity to produce without
18 waste their just and fair share of the reserves under your
19 property, and you remember it says "without waste", and if
20 you deny us the right to use our property, you are going to
21 put us in a position to produce these shallower formations,
22 we won't be doing it in a fashion which in fact does
23 constitute economic waste.

24 We submit that you don't have
25 the jurisdiction to determine the ownership of the well and
if you tell us this well must be converted to salt water
disposal, you in fact have done that, and that is something,

1 we submit, you simply cannot do.

2 Mr. Kellahin talks about Blan-
3 co's correlative rights. Well, look at the definition. It
4 talks about correlative rights under each property. Just
5 because they have a problem, I don't think you have the
6 right to come in and run over us and impair our correlative
7 rights and force us into a position where if we're to pro-
8 duce the reserves under our tract, we're compelled to do so
9 in a wasteful fashion.

10 They would like to use this
11 wellbore. They'd like to use it on a tract where they don't
12 own the minerals. They don't want to go to the other wells
13 in the area where they could have done something and perhaps
14 watered out a zone in which they in fact own the minerals
that underlie that tract.

15 In opening today Mr. Kellahin
16 said, I want to tell you how we got here. Yates went out
17 and they tested the well and they just didn't make a commer-
18 cial well.

19 How we got here was Blanco En-
20 gineering didn't give us notice in the first instance and we
21 wouldn't be sitting here before you today in a position
22 where they not only had without notice to us gone out and
23 gotten into that wellbore, but they had been in that well-
24 bore six to eight weeks before the order was even entered
25 and we didn't even have any idea what they were doing, put-
ting acid and water on the zone.

1
2 Yes, they have a problem, but
3 we don't think that it's right to come and try and enter an
4 order that impairs our correlative rights and cause waste
5 simply to bail them out.

6 We didn't get what we sought in
7 the last hearing. We told you at that time it would take
8 six months. We sent you a list showing how long it would
9 take to test each zone in that well, and we have been trying
10 to do so as a prudent operator would do.

11 We submit there is only one
12 reasonable thing you can do if you're to carry out your sta-
13 tutory duty, and if this Commission is to be the forum in
14 which this matter is to be resolved, and that is to give
15 Yates permission to go back as a prudent operator, use its
16 wellbore and test the zones that can be returned to commer-
17 cial production in that well.

18 MR. QUINTANA: Thank you, Mr.
19 Carr.

20 Any further statements in this
21 case?

22 MR. TAYLOR: Because, although
23 we for the purposes of this will assume that we will not or
24 do not have jurisdiction to determine ownership of the well-
25 bore, I think we would like a short brief on the wellbore
ownership because it seems to be being raised more than it
was in the first hearing, and I think that, although I don't
know that it's a big issue, I would also like a page or two

1 in that brief on notice. I still have a problem that Yates
2 claims they didn't have notice and there seems to be a lot
3 of facts that shows that they should have had notice.

4 And I know we have problems
5 with our notice rules but still I think I'd like you all to
6 address that and tell us just what kind of notice is not,
7 given the factual situations here where at least I think
8 there was constructive notice, whether that's going to suf-
9 fice, I don't know.

10 I think I'd like to have you
11 guys talk about it.

12 MR. CARR: I will need fifteen
13 days. I have a brief that I have to get out at that time,
14 if that's all right.

15 MR. KELLAHIN: I think that's
16 an excessive period of time. We've been folling with this
17 thing for six months. We've got a serious problem that
18 needs to be resolved.

19 I think a period of five days
20 is adequate.

21 Mr. Carr's staff is bigger than
22 mine, anyway.

23 MR. CARR: Mr. Kellahin
24 realizes he's already filed a brief in the case and I have
25 to do that still.

26 I think if he can do it in five
27 days that would be nice but we really, to do an adequate

1
2 job, if we're to respond to your questions, I think we'll
3 need fifteen.

4 And we have not been waltzing
5 around with that question that you've presented to us for
6 more than, maybe, three minutes at this point in time.

7 MR. QUINTANA: We will give --
8 we would like to receive within fifteen days both a proposed
9 order and the briefs that we requested and hopefully, by
10 having these proposed orders we can get this order out as
11 quick as possible for both peoples convenience.

12 Is there anything further in
13 this case?

14 If not, Case 8323 will be taken
15 under advisement.

16 (Hearing concluded.)
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division was reported by me; that the said
transcript is a full, true, and correct record of the
hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Enforcement of Case No. 8323,
heard by me on MARCH 27 1985.

Gilbert P. Quintana Examiner
Oil Conservation Division