

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARINGSANTA FE, NEW MEXICOHearing Date JULY 9, 1986 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
Bob Hulen	Byram	Santa Fe
Paul W. Burchell Guest Spald	El Paso Natural Gas Co. State Land Office	El Paso, TX. Santa Fe
Art L. Padilla	Padilla + Snyder	Santa Fe
W.S. McCoy	BCO Inc.	Santa Fe

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date JULY 9, 1986 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

9 July 1986

EXAMINER HEARING

IN THE MATTER OF:

Application of Amstar Energy Corpor- CASE
ation for salt water disposal, Lea 8934
County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation
Division:

Jeff Taylor
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

Ernest L. Padilla
Attorney at Law
PADILLA & SNYDER
P. O. Box 2523
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

GILBERT P. QUINTANA

Direct Examination by Mr. Padilla	3
Cross Examination by Mr. Catanach	21
Cross Examination by Mr. Taylor	26
Recross Examination by Mr. Catanach	33

E X H I B I T S

Amstar Exhibit One, C-108	6
Amstar Exhibit Two, Schematic	7
Amstar Exhibit Three, Schematic	7
Amstar Exhibit Four, Map	11
Amstar Exhibit Five, Plat	12
Amstar Exhibit Six, Contour Map	19
Amstar Exhibit Seven, Plat	20
Amstar Exhibit Eight, Return Receipts	21

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CATANACH: We'll call next
Case 8934.

MR. TAYLOR: Application of Am-
star Energy Corporation for salt water disposal, Lea County,
New Mexico.

MR. CATANACH: Are there ap-
pearances in this case?

MR. PADILLA: Mr. Examiner, Er-
nest L. Padilla, Santa Fe, New Mexico, appearing for the ap-
plicant in this case.

I have one witness to be sworn.

MR. CATANACH: Are there other
appearances in this case?

Will the witness please stand
and be sworn in?

(Witness sworn.)

GILBERT P. QUINTANA,
being called as a witness and being duly sworn upon his
oath, testified as follows, to-wit:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DIRECT EXAMINATION

BY MR. PADILLA:

Q Mr. Quintana, would you please state your name and what your connection to the applicant is?

A My name is Gilbert P. Quintana and I've been hired by the applicant to do work, consulting work in regulatory affairs.

Q Mr. Quintana, have you previously testified before the Oil Conservation Division?

A Yes, I have.

Q Can you briefly tell us what your work experience is? Tell us first of all in what connection you testified before the Oil Conservation Division before.

A I've testified before the Oil Conservation Division in matters dealing with allowables mainly.

Q What's your educational background?

A I have a BS degree in chemical engineering from New Mexico State University and I graduated from New Mexico State University in the fall of 1979.

Q What's your work experience in the oil and gas industry?

A After graduating from New Mexico State in 1979 I went to work for Amoco Production. I worked for Amoco Production approximately a year and a half in West Texas

1 as a production engineer over two large waterflood fields
2 that were in the process of secondary recovery operations,
3 which includes injection of water into the reservoir.

4 After a year and a half working there in
5 Houston -- West Texas, I was transferred to Houston and
6 worked as a reservoir engineer dealing with matters with in-
7 fill studies, things of that matter.

8 Q What -- what other work experience do you
9 have?

10 A I worked for the Oil Conservation Divi-
11 sion for a little under three years as an engineer and also
12 as a hearing examiner.

13 Q In that capacity did you have occasion to
14 work with and regulate salt water disposal applications?

15 A Yes, many times, both administrative and
16 at hearings.

17 Q Are you familiar with the applicant of
18 Amstar Energy Corporation?

19 A Yes, I am.

20 Q Are you familiar with the proposed injec-
21 tion program and the proposed injection zones?

22 A Yes, sir, I am.

23 MR. PADILLA: Mr. Examiner, we
24 tender Mr. Quintana as an expert in connection with testi-
25 mony here today.

1 MR. CATANACH: Mr. Quintana is
2 so qualified.

3 Q Mr. Quintana, let's go on now to -- let's
4 go on now to what we have marked as -- well, we haven't
5 marked them yet.

6 Mr. Examiner, may we mark these at a
7 later time for --

8 MR. CATANACH: Yes.

9 Q Okay. Let's go on now to what you have
10 -- what we will be marking as Exhibit Number One and have
11 you describe and identify that for the examiner.

12 A Exhibit One is the standard Oil Conserva-
13 tion Division C-108 form, along with attached, four pages
14 attached to it, which identify each of the questions in the
15 C-108 form in detail.

16 Q What is the second part to that exhibit?

17 A The second part to Exhibit -- Amstar Ex-
18 hibit One is my detailed review and answers to the questions
19 and to the C-108 form.

20 Q And that coincides with the exhibits that
21 you have prepared for introduction here today?

22 A Yes, they coincide with the additional
23 exhibits that have been attached to the C-108 form.

24 Q Okay, let's go on now and have you de-
25 scribe that second part of Exhibit Number One and start out

1 was set at 4400 feet with 470 sacks of cement with a top of
2 the cement at 2580 feet. This is an estimate based on a
3 volumetric calculation.

4 The long string 5-1/2 inch casing was set
5 at 13,618 feet with 1100 sacks cement and the top of the
6 casing is 9,500 feet and this is also a volumetric
7 estimation.

8 You'll notice from this currently the
9 well has a 2-7/8ths inch coated tubing set at a depth of
10 10,797 feet. It has perforations open in two formations,
11 one in the Airstrip Wolfcamp Pool, 10,860 feet to 10,872
12 feet; from 10,875 feet to 10,882 feet; from 10,888 feet to
13 10,893 feet; and from 10,896 feet to 10,904 feet.

14 The well also has a cement bridge plug at
15 11,460 feet -- no, excuse me, 11,500 feet, with -- with 400
16 -- with 20 feet of cement on top of that as a cap.

17 Right below that bridge plug we have some
18 additional Airstrip Wolfcamp perms open from 11,771 feet to
19 11,780 feet; from 11,632 feet to 11,649 feet; and from
20 11,661 feet to 11,669 feet.

21 As you go further down the wellbore you
22 have an additional cement bridge plug at 12,350 feet with a
23 20-foot cement cap on top of that.

24 Further down the wellbore we have Morrow
25 perms open from 13,238 feet to 13,250 feet.

1 And toward the bottom of the well you
2 have a plug set at 13,400 feet.

3 You also have some -- some Morrow perms
4 open on the very bottom but they seem to have been cemented
5 in when that plug was placed there, so those perms were at
6 13,496 feet to 13,508, and from 13,520 feet to 13,534 feet.

7 Q Go on now to Exhibit Number Three, Mr.
8 Quintana, and does that show your proposed injection
9 intervals?

10 A Yes, it does.

11 Q What are those intervals?

12 A I would like to point out, this well --
13 at this time, Mr. Examiner, I would like to make a change
14 from our original application and ask that a change be
15 included into this application. I'd like to include the
16 Devonian formation as part of the injection interval and let
17 me get to that portion in just a second here.

18 What we plan to do is we plan to drill
19 through all the cement bridge plugs, clean out to bottom of
20 the well, and drill additional number of footage to a total
21 depth of 14,500 feet, no, excuse me, 14,800, opening up the
22 Devonian formation.

23 We plan to keep the perforations that I
24 mentioned previously open and to open hole complete the
25 Devonian formation for 13,618 feet to 14,800 feet.

1 I would like to also point out the injection
2 zone incorporates the Wolfcamp formation, the Penn formation,
3 Strawn formation, Atoka formation, Morrow formation,
4 and, of course the Devonian.

5 At this time we anticipate only injecting
6 to Wolfcamp, the Morrow, and the Devonian formations.
7 That's because we think those are the formations that will
8 take the most water.

9 Q Mr. Quintana, in view of your amendment
10 with respect to the Devonian, would you be opposed to a re-
11 advertisement of this case to include the Devonian?

12 A I wouldn't be opposed to readvertisement
13 but in light of the fact that after a study of the area
14 there is no producing Devonian wells within two miles of the
15 -- of our proposed well.

16 I would hope that the Examiner may con-
17 sider accepting the Devonian formation and including it in
18 this current application as of today.

19 And at a later date I'll show you that
20 there are no Devonian completions within two miles.

21 Q Mr. Quintana, do you have any further
22 testimony with respect to Exhibits Number Two or Three?

23 A Yes, I do on Number Three. I'd like to
24 point out that we plan to inject with 2-7/8ths inch tubing
25 with a 5-1/2 inch nickel plated Loc Set packer set at 10,747

1 feet. This is approximately 100-foot above the Wolfcamp,
2 the top of the Wolfcamp formation, with the tubing, the bot-
3 tom of the tubing set at the Wolfcamp formation, at the top,
4 right at the top of the Wolfcamp formation.

5 And that's all I have on these two exhi-
6 bits.

7 Q Okay, let's go on to Exhibit Number Four
8 and tell us what that will be.

9 A Exhibit Number Four is an area review map
10 of the location. In this area review map we have a two-mile
11 radius circle around the well; a one-mile radius circle, and
12 a half-mile radius circle.

13 In this map we have we show has producing
14 wells within the miles that -- the wells that are producing
15 within two miles and their Wolfcamp and Morrow formations.
16 We also show the proposed well and some fresh water wells.

17 I would like to point out here that we
18 have no wells within the area of review in which to provide
19 detailed information on specific wells. This is a good
20 point in the favor of Amstar in the sense that no wells
21 within the half mile radius is a good indicator as to
22 whether it will affect other wells or would pollute fresh
23 water sources, because there are no means within a half mile
24 to get a fresh water source through an ill-plugged well or
25 things of that sort, and the chances of polluting fresh

1 water sources are pretty insignificant.

2 Also it should be noted that production
3 within this area is limited to areas far away from the pro-
4 posed injection well.

5 Now at this time I would like to just
6 confine my statements to that until I get to the rest of my
7 testimony.

8 Q Okay, let's go on to Exhibit Number Five
9 and have you identify that and tell us what it is.

10 A Exhibit Number Five is an area producing
11 pool -- is a, excuse me, Exhibit -- Amstar Exhibit Number
12 Five is entitled Area Producing Pool Boundaries and it shows
13 three producing pool boundaries within the area that the
14 well has to be utilized.

15 The three pools are the Airstrip Wolfcamp
16 Pool, the Larika (sic) Morrow Gas Pool, and the East Larika
17 (sic) Morrow Gas Pool.

18 It should be noted that the East Larika
19 (sic) Morrow Gas Pool in Sections 4 and Section 33 of Town-
20 ship 18 South, 34 East, and 18 South 35 East, barely incor-
21 porate within the half mile radius of the well so we are
22 principally talking about the Larika Morrow Gas Pool and the
23 Wolfcamp Airstrip Wolfcamp Pool.

24 Q Mr. Quintana, what are the proposed in-
25 jection rates that are anticipated for the injection well?

1 A The proposed injection rate for this well
2 is kind of an average of one barrel per minute and a maximum
3 4.5 barrels per minute.

4 Q What kind of volumes do you intend to in-
5 ject?

6 A We're hoping for an average of 1450 bar-
7 rels per day with a maximum of 2000 barrels per day. When I
8 say hoping, is we anticipate these averages to be as of an
9 economic cutoff point for -- for receiving a fair rate of
10 return on investment into the well.

11 Q Is this well going to be used for commer-
12 cial purposes?

13 A Yes, it is. We plan to open it for com-
14 mercial means to people that we enter into contracts with to
15 dispose of their produced water.

16 By this I mean it will be an open system,
17 and it's open to anybody that contracts with us. There'll
18 be a meter at the wellsite and an injection valve in which
19 the people will be able to go over there and connect up
20 their -- their tanker truck with a key that has access to
21 the -- to the system and the volumes will be measured as
22 they dispose of the water down in the system.

23 Q Mr. Quintana, does Amstar intend to use
24 this well for its own injection, as well?

25 A No. Amstar at this time is not involved

1 in the production of oil and gas. They're mainly in the
2 business of salt water disposal wells.

3 Q Tell us about how the application would
4 conform to the OCD policy of .2 psi per foot of depth as far
5 as pressure is concerned.

6 A Currently we anticipate the well to take
7 water under a vacuum and we're hoping that that's going to
8 be the case because it will definitely cut down on expenses
9 in having to pump it in.

10 Q Assuming you had to pump it in, what
11 would be the maximum pressure under that policy guideline?

12 A Well, we would ask for 2172 psi and this
13 is based on the OCD's standard of .2 psi per foot of depth
14 to the uppermost injection perforation. In this case the up-
15 permost injection perforation is 10,860 feet. You multiply
16 that times .2 psi per foot you get 2,172 psi. That would be
17 acceptable to us.

18 I'd like to point out that we don't anti-
19 cipate having to inject under pressure. This is something
20 that I would like to point out to the Examiner is important
21 in the sense, since we're not injecting under pressure, and
22 since it would be taken under a vacuum, that's another indi-
23 cation that injection into this well would not adversely af-
24 fect fresh water sources or any producing wells within a
25 two-mile area, since taken under a vacuum there's a large

1 void space there. It's evident that there'd be a large void
2 space there in order for it to -- the formations to accept
3 the water. No pressure would be applied so there would be
4 no frac pressure, no fracing the formation out toward other
5 wells, watering out gas wells or oil wells.

6 Q Mr. Quintana, tell us about the water
7 quality in the Morrow or the injectin intervals.

8 A Do you mean -- are you asking about com-
9 patibility of the formations?

10 Q Yes.

11 A Well, we don't anticipate any problems
12 with compatibility since we plan to dispose of waters from
13 the area -- within the area of this well, and primarily that
14 would be Wolfcamp, Morrow, and Bone Springs producers.

15 Chlorides for the Wolfcamp and Morrow
16 formations are -- range from for the Wolfcamp between 58,000
17 to 120,000 parts per million and for the Morrow approximate-
18 ly 33,000 parts per million. This is based on USGS Basin
19 Report 75-579, entitled Water Quality of Oil and gas Wells
20 in the Permian Basin.

21 Since the produced waters, and the injec-
22 ted waters are going to be of the same type, they we don't
23 anticipate any compatible problems.

24 Q Mr. Quintana, is that report that you
25 cite in the Part Seven of Reliable Reporter? (sic)

1 A Yes, it's generally used by many people
2 in the oil and gas industry in order to determine what the
3 chloride content or the salinity or the potability of waters
4 in the area.

5 Q Can you tell us a little bit now about
6 the geologic formations for the producing or the injection
7 intervals?

8 A We'll start with the Wolfcamp formation.
9 The Wolfcamp formation in the subject
10 well is encountered at 10,847 feet. This is based on the
11 log for that well and it has been previously submitted to
12 the OCD.

13 That's a -6859 foot subsea depth. The
14 approximate thickness of the formation is 728 feet.

15 The Wolfcamp formation in this area con-
16 sists of a thin-bedded dolomite shale and sandstone under-
17 lain by a carbonate bank of low porosity, approximately 2
18 to 3 percent, gradient to an argillite and dolomite shales.

19 Going on to the Penn formation, the Penn
20 formation in this well is -- occurs at 11,862 feet, which is
21 -7874 subsea depth, and the approximate thickness of the
22 Penn formation is 318 feet.

23 The Penn formation consists of shales and
24 thin, inter-bedded dolomite and clay grading to thin argil
25 laceous limestone.

1 would expect to encounter the Devonian formation and this
2 was derived from an offset well, approximately two miles
3 away, a little over two miles away.

4 We expect it to -- we expect to encounter
5 the Devonian formation at approximately 14,500 feet, and the
6 thickness of the Devonian formation we expect to be about 2-
7 300 feet thick.

8 Q Where are the fresh water sources encoun-
9 tered in the wellbore?

10 A The fresh water sources for this area
11 consist of only one fresh water source, which is the Ogalla-
12 la formation. The base of this formation can be found at
13 approximately 180 foot and which was confirmed by Jim
14 Wright, the District Engineer for the New Mexico State En-
15 gineer's office in Roswell.

16 Also encountered in this area is the San-
17 ta Rosa formation, which sometimes bears fresh water, but
18 according to Jim Wright the Santa Rosa formation in this
19 area is not potable; it is salt-bearing.

20 Q Where are the fresh water wells located?
21 I believe you've already testified about that.

22 A Yes, if you take a look at the area re-
23 view map, which is Amstar Exhibit Number Four, there are ac-
24 tually four wells within two miles but since the rules only
25 require to list two, well number one and well number two,

1 which are located, okay, the first well, fresh water well
2 number one is a domestic well and it's located in the north-
3 east quarter of Section 35, Township 18 South, Range 34
4 East. It is completed in the Ogallala and the State
5 Engineer's office doesn't have any information on this well,
6 except for the fact that they tested it at 21 parts per mil-
7 lion chloride in July of 1984.

8 The second fresh water well was drilled
9 by Mesa Petroleum as a drilling fluid water supply well. It
10 is located in the northwest quarter of Section 35, Township
11 18 South, Range 34 East. It is completed in the Ogallala to
12 a TD of 180 foot; perforated at 119 to 180 foot with the top
13 of the water occurring at 130 foot. It is cased with 6-
14 5/8ths inch casing to TD.

15 There are two other fresh water wells in
16 the area but not within a mile of the proposed well and
17 they're denoted as fresh water well number three and well
18 number four and the information on these is available if
19 you'd like to have it.

20 Q Okay, let's go on now to what you have
21 marked or what we will be marking as Exhibit Number Six and
22 tell us what that is.

23 A Exhibit Number Six is a geological con-
24 tour map of the top of the Strawn and the purpose of my pre-
25 senting this exhibit is to exemplify the fact that there are

1 no open faults or geologic connections between the disposal
2 zone and underground source of drinking water, since, if
3 there was some type of fault it would show up in the Strawn
4 formation on its way up to the surface and as you can see
5 from this contour map, that there is no such open fault.

6 Q Okay, Mr. Quintana, let's go on now to
7 Exhibits Seven and Eight and tell us what they are.

8 A Okay, Exhibits Seven and Eight are used
9 in conjunction with one another.

10 Exhibit Seven is an area of review of all
11 offset operators within a half mile of the proposed well,
12 which consist of MidAmerican Petroleum Corporation, Amoco
13 Production, TXO, Union Texas Petroleum, Sun, and Knox,
14 Incorporated.

15 I'd like to point out that Knox,
16 Incorporated was picked up by MidAmerican Petroleum awhile
17 back, so essentially they're one and the same company.

18 Exhibit Number Eight is a xeroxed copy of
19 the claim checks in which we provided proof of notice
20 through registered mail to all of the applicants, including
21 the NMOCD and the State Land Office, who is the surface
22 landowner, or at least they represent the surface people.

23 Q Mr. Quintana, do you have anything
24 further to add to your testimony?

25 A At this time, Mr. Padilla, I don't.

1 Q Would the approval of this application
2 be in the best interest of conservation of oil and gas?

3 A Yes, it would, in the sense that it would
4 provide a cheaper means for the producers in that area to
5 dispose of their water so that their operating costs or
6 their break even point would be lowered and they would be
7 able to produce additional hydrocarbons in the area before
8 having to shut the well in due to high operating costs.

9 Also I'd like to point out that the
10 reason Amstar Energy Corporation has proceeded to involve
11 themselves in this area is because many of their clients
12 from Texas, which they operate out of Texas, that operate in
13 this same area, have asked them to start doing business in
14 that area since they like their services and the costs that
15 they have charged them for previous disposals.

16 So that would essentially lower the costs
17 of these operators, producing costs.

18 MR. PADILLA: Mr. Examiner, we
19 tender Exhibits One Through Eight and pass the witness.

20 MR. CATANACH: Exhibits One
21 through Eight will be admitted into evidence.

22

23 CROSS EXAMINATION

24 BY MR. CATANACH:

25 Q Mr. Quintana, did you -- referring to the

1 schematic diagram of the proposed well --

2 A Yes.

3 Q Did you do the cement calculations your-
4 self on this, or was that done --

5 A No, I did not do the cement calculations
6 on this.

7 Q Where were those obtained from?

8 A I took those off the well records out of
9 the Hobbs District.

10 Those were generally accepted by the
11 Hobbs District Office at the time of the completion of the
12 well so I would assume that they're correct.

13 Q So you just don't know what those were
14 based on, what -- what those calculations were based on.

15 A No, except for the fact that they were
16 within the well records of the Oil Conservation Division on
17 Oil Conservation Division report forms consigned by the Dis-
18 trict Supervisor in Hobbs, Jerry Sexton.

19 If you'd like, I can calculate those at a
20 later date and submit them to you.

21 Q No, that won't be necessary. Your top-
22 most perforation is at 10,862 feet.

23 A Yes.

24 Q That's where you plan to -- that's the --
25 that's the start of the injection zone.

1 A Exactly. We don't plan to perforate any
2 other zones in the Wolfcamp formation except from 10,860
3 foot down. We hope to minimize costs in completing this
4 well as an injector. As a matter of fact, we expect the
5 Devonian formation to take most of the water; that's why
6 we've -- after some research we did, we, in talking with
7 some service companies in the area, we expect the Devonian
8 formation to take most of the water and -- and that's why we
9 want to open it up and that's why we amended the applica-
10 tion.

11 Q You haven't submitted any analysis of --
12 of native water in any of these formations. Do you -- how
13 do you know what the quality is in them?

14 A What do you mean native, native water in
15 the producing formation?

16 Q For the injection formations?

17 A I took that out of the -- where I stated
18 here, out of the USGS book and in the C-108 form it states
19 that these analyses may be measured or inferred from exis-
20 ting literature, studies, other wells, et cetera, and since
21 we are trying to minimize costs we chose to use literature
22 studies of the area.

23 If it pleases the examiner I could have
24 samples taken and analysis done but I, in my opinion, this
25 would be an expense that would be unduly justified since,

1 you know, the chlorides and the -- the water quality of pro-
2 duction in that area is fairly well established through lit-
3 erature and from many studies in the area; and also because
4 we'll be injecting water from the similar formations. We
5 won't expect to have any problems. It would be to our det-
6 riment to inject waters that would not be compatible because
7 it would just increase our operating costs or screw up our
8 well totally.

9 Q What I was getting to, you didn't submit
10 anything to us regarding the chloride content of any of the
11 waters.

12 A Oh, yes, well, I stated what they were.
13 58,220 parts per million for the Wolfcamp and 33,000 parts
14 per million for the Morrow formation. That's in part seven,
15 sub-part five, Roman Numeral VII, Sub-part 5.

16 Like I say, if you'd like, I could have
17 an additional -- some tests done.

18 Or if you'd like, I could also take some
19 samples from some nearby wells and include that also.

20 Q No, that won't be necessary.

21 You stated that there was no Devonian
22 production in the area?

23 A There's no Devonian production that I
24 could find.

25 Q And there are no wells that penetrate the

1 Wolfcamp within a half mile, is that correct?

2 A To my knowledge, no. There is one that's
3 fairly close. It's right on the edge of it but not quite,
4 and it's a temporarily abandoned well. It's -- if you'll
5 bear with me I could tell you what the well name is.

6 It's located in the northeast quarter of
7 Section 2 right below the injection well. I think you can
8 maybe -- have you found it, Mr. Examiner?

9 Q In the northeast quarter of Section 2?

10 A Yes, right below Section 35 where the
11 proposed well is at.

12 Q And that's right on the half mile circle?

13 A Yeah, well, it's just outside of it.
14 It's called the -- it's owned by MidAmerican Petroleum; ori-
15 ginally it was Knox but let me -- let me find it here.

16 Bear with me, Mr. Examiner. I thought I
17 had that -- I thought I had a copy of that well documenta-
18 tion but I don't seem to have it with me here. Do you have
19 some reservations about that well or is there a specific
20 question you're -- or point you're trying to get to?

21 Q No, I was just wondering if -- do you
22 know the TD of that well?

23 A No, I don't.

24 Q But you know that it does not penetrate
25 the Wolfcamp formation.

1 A Well, it does penetrate the Wolfcamp, it
2 does. It should be marked in your map that it does pene-
3 trate the Wolfcamp, but since it's outside the -- it's a
4 temporarily abandoned well.

5 I can get that information and provide
6 that to you at additional time.

7 Q Would you please provide me with a sche-
8 matic of that well? I just want to make sure that that ce-
9 ment --

10 A Fine.

11 Q -- behind the production casing would be
12 adequate enough to confine the injection water?

13 A Great, I will do that for you.

14

15 CROSS EXAMINATION

16 BY MR. TAYLOR:

17 Q Mr. Quintana, if you could look at your
18 offset operator map, I'm a little confused about who some of
19 the operators are.

20 A Yes.

21 Q To the north of the well is the Coquina
22 Mesa.

23 A They own the leases just to the north
24 half of the Section 35.

25 Q So those are the leases, it says Mesa and

1 Amoco, north half --

2 A Yes, Mesa owns the west half of the north
3 half of the north half of that section.

4 Coquina owns the east half of the north
5 half of the north half of Section 35.

6 Q Who operates the south half of the north
7 of the north half?

8 A MidAmerica Petroleum Corporation.

9 Q Okay, and you notified them. They're now
10 Knox, or somebody?

11 A Well, MidAmerica and Know are one and the
12 same. MidAmerica Corporation is in the process of filing
13 for bankruptcy, but they have been notified. As a matter of
14 fact, Amstar Energy Corporation received a bid from
15 MidAmerica Petroleum Corporation for the rights to inject
16 into this well.

17 Q Okay, and down in the northwest quarter
18 it says Eastland Union but that's the well in the other --
19 in Section 34?

20 A Yes.

21 Q And then in the northeast or the south-
22 east quarter it says May Williams. Is that an operator or
23 what is that?

24 A May Williams is pointing off to the well
25 just in the southwest quarter of Section 36; just like, just

1 the opposite of Eastland.

2 Q Okay, and that's outside the half mile
3 area?

4 A Outside the half mile.

5 Q Okay, I think that covers them all. Did
6 you notify the surface lessee or is there a surface lessee,
7 do you know? Did you notify the State Land Office?

8 A I notified the State Land Office and I
9 was not familiar if they'd leased that out to anyone for
10 grazing or things of that sort, but if -- I was under the
11 assumption that if they had leased it out to somebody that
12 they would notify them.

13 Q Does Amstar have an oil and gas lease to
14 that well or how do you have ownership or title to that
15 well?

16 A Amstar, since MidAmerica Petroleum Cor-
17 poration is in the process of filing for bankruptcy, they're
18 in the process of trying to sell off most of their assets to
19 pay off most of their debts and Amstar Energy received the
20 bid for the well, the proposed well, in which to make a spe-
21 cific bid for it, and I'm not sure of exactly the details of
22 who else made bids, but I know Amstar received the bid for
23 it.

24 Q So that almost -- they don't have a lease
25 or title yet but they were the successful bidder for the

1 well?

2 A They have been the successful bidder.
3 The last I discussed with --

4 Q Is this for the lease or the wellbore?

5 A For the wellbore. For the wellbore; for
6 the well itself, to operate the well.

7 Q Does that mean they're going to buy the
8 lease? That's a State oil and gas lease, right?

9 A Yes. Yes.

10 Q They're buying the lease from --

11 A They're going to take over operations of
12 the lease.

13 Q As the mineral lessee.

14 A I'm not quite sure about that. My last
15 conversations with Tommy Hensen, which is the owner of the
16 company, was that they had made a bid for -- to acquire
17 operating rights to the well, and they had received -- they
18 had obtained, like about 25 signatures of people that had
19 they had to get signatures in order to allow them to accept
20 that bid and they -- my last conversation with him was this
21 last Saturday in which he had told me that they had -- he
22 had received verbal approval that all the signatures had
23 been acquired and that they had acquired the lease to that.

24 I can specify that a little bit more by
25 asking him to submit the specific lease for --

1 Q Yeah, that will have to be clarified be-
2 cause if they -- if they only buy the rights for the well-
3 bore and somebody subsequently buys the rights to develop
4 the minerals, the mineral developer or owner would have a
5 prior right to use that wellbore.

6 A I'm pretty sure that they acquired both
7 but I can provide additional information to that at a later
8 date.

9 Q Okay, do you have permission from the
10 land office for commercial use of that wellbore?

11 A No. Not at this time. I plan to apply
12 for that as soon as I hear word on whether this is approved
13 or not. Talking to the land office they indicated to me
14 that -- for me to go through the hearing first before they
15 would consider it.

16 Q Was it made clear to them that this was a
17 commercial facility rather than as a lease operator?

18 I believe you have to have a business
19 lease. I'm not sure. You'll need to confirm that with the
20 land office.

21 A I'd have to check on that. The -- Tommy
22 Hensen, the owner, discussed that with the land office.

23 Q Okay and we need to determine whether or
24 not because it's an amended application it's going to have
25 to be sent back out to the -- to the people you've sent it

1 to, to give proper notice. I suppose the examiner can
2 determine that, but because notice was only received on the
3 1st, 2nd, or 3rd, no decision can be made until after 20
4 days so that people have the right to object and if there is
5 an objection and they call for hearing, you'll have to reap-
6 pear in that second hearing, at which time --

7 A I'd like to point out, Mr. Counselor,
8 that in my past experience as an examiner for the OCD, that
9 anybody that did receive a notice like that had every option
10 to call up and say that they received notice but they don't
11 have time to get to the hearing, to postpone the hearing.

12 I know many times hearings have been
13 postponed because of situations of this sort, and I feel
14 that if they have ot contacted you at this time and they've
15 been notified, that they're not interested or that they
16 don't see no problem.

17 Q Yeah, but they don't know that. The
18 notice says that they get either 15 or 20 days, what does it
19 say? It says here 15, I thought it was 20.

20 MR. CATANACH: The new rule
21 says 20 days.

22 Q In which to object, so if they object
23 within the 20 days, they would have a right to call for a
24 hearing.

25 MR. PADILLA: Mr. Taylor,

1 you're talking about with respect to notice on the Devonian
2 hearing.

3 MR. TAYLOR: No, I'm talking
4 about notice to this, the fact the application, I assume the
5 application was sent to these people that got notice, and it
6 says on the application that they have 15 days in which to
7 object and request a hearing.

8 A That is dealing with -- begging your par-
9 don, it says, "Surface owners of offset operators must file
10 any objection or request for a hearing of administrative ap-
11 plications within 15 days." And since this is not an admin-
12 istrative application --

13 Q Are you trying to say they don't have any
14 time to object?

15 A No, I'm not saying that.

16 Q Well, don't say that, then. I'm telling
17 you that we're going to give them 20 days --

18 A Okay.

19 Q -- from the date they received the appli-
20 cation in which to objection. If there is an objection and
21 a request for a hearing by that date, you will reappear and
22 do your hearing again so that they will have a chance. You
23 should have mailed this so that people getting notice -- I
24 assume none of them will object, but they have a right to
25 notice and a right to come to hearing and hear your testi-

1 mony and object to it, and --

2 MR. CATANACH: Mr. Quintana, to
3 clarify that a little bit, that's covered under Rule 1207
4 for notice for hearings --

5 A Uh-huh.

6 MR. CATANACH: -- that the
7 notice shall be given at least 20 days prior to the date of
8 the hearing.

9 A Thank you, Mr. Examiner.

10 Q And so we will hold this open until any-
11 body getting notice has had a chance to object to it, and
12 the examiner can determine whether the Devonian makes any
13 change in the application such that it will need to be re-
14 sent to those people.

15 That's it.

16

17 RECROSS EXAMINATION

18 BY MR. CATANACH:

19 Q Mr. Quintana, we've had a previous case
20 similar to this before and in that case we -- one of the re-
21 quirements for this type of well set-up is that they run an
22 injection profile survey to determine where the water is
23 going.

24 Would your clients be objectionable to
25 doing that?

1 A I see no problem with that.

2 Q Mr. Quintana, you don't see any danger in
3 the watering out of any potential producing gas or oil zones
4 in this well?

5 A In my opinion, no, I don't.

6 MR. CATANACH: I have no fur-
7 ther questions of the witness.

8 Are there any other questions
9 of the witness?

10 If not, he may be excused.

11 A Thank you, Mr. Examiner.

12 MR. CATANACH: Case Number 8934
13 will be taken under advisement.

14

15 (Hearing concluded.)

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete and true transcript of the proceedings in the Examiners hearing of Case No. 8934, heard by me on July 9, 1986.

David R. Catwood, Examiner
Oil Conservation Division