

1 STATE OF NEW MEXICO  
2 ENERGY AND MINERALS DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BUILDING  
5 SANTA FE, NEW MEXICO

6 9 September 1987

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Hixon Development Company for a gas storage well, San Juan County, New Mexico. CASE 9208

10  
11  
12 BEFORE: Michael E. Stogner, Examiner

13 TRANSCRIPT OF HEARING

14  
15  
16 A P P E A R A N C E S

17  
18 For the Division: Jeff Taylor  
19 Attorney at Law  
20 Legal Counsel to the Division  
21 State Land Office Bldg.  
22 Santa Fe, New Mexico 87501

23 For the Applicant:  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. STOGNER: This hearing will  
come to order.

I'll call next Case Number  
9208, which is the application of Hixon Development Company  
for a gas storage well in San Juan County, New Mexico.

At the Applicant's request this  
case will be continued to, and it will also be readvertised  
for, September 23rd, 1987.

(Hearing concluded.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true, and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a correct report of the proceedings in  
the Examiner hearing of Case No. 9208,  
heard by me on 9 September 1987.  
[Signature], Examiner  
Oil Conservation Division

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BLDG.  
5 SANTA FE, NEW MEXICO

6  
7 23 September 1987

8 EXAMINER HEARING

9  
10 IN THE MATTER OF:

11  
12 Application of Hixon Development CASE  
13 Company for a gas storage well, San 9208  
14 Juan County, New Mexico.

15  
16 BEFORE: Michael R. Catanach, Examiner

17  
18 TRANSCRIPT OF HEARING

19  
20 A P P E A R A N C E S

21 For the Division: Jeff Taylor  
22 Attorney at Law  
23 Legal Counsel to the Division  
24 State Land Office Bldg.  
25 Santa Fe, New Mexico 87501

For the Applicant:

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. CATANACH: We'll call next Case Number 9208, which is the application of Hixon Development Company for a gas storage well, San Juan County, New Mexico.

The applicant has requested that this case be continued to the October 7th, 1987.

(Hearing concluded.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO  
HEREBY CERTIFY the foregoing Transcript of Hearing before  
the Oil Conservation Division (Commission) was reported by  
me; that the said transcript is a full, true, and correct  
record of the hearing, prepared by me to the best of my  
ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9208,  
heard by me on Sept 23 1987.

David R. Cataract, Examiner  
Oil Conservation Division

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BLDG.  
5 SANTA FE, NEW MEXICO

6 7 October 1987

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Hixon Development                   CASE  
10 Company for a gas storage well,                   9208  
11 San Juan County, New Mexico.

12 BEFORE: Michael E. Stogner, Examiner

13  
14 TRANSCRIPT OF HEARING

15  
16  
17 A P P E A R A N C E S

18  
19  
20 For the Division:                   Jeff Taylor  
21   Attorney at Law  
22   Legal Counsel to the Division  
23   State Land Office Bldg.  
24   Santa Fe, New Mexico 87501

25 For the Applicant:                   Tommy Roberts  
   Attorney at Law  
   Farmington, New Mexico

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

BRUCE E. DELVENTHAL

Direct Examination by Mr. Roberts	4
Cross Examination by Mr. Stogner	19

E X H I B I T S

Hixon Exhibit One, Base Map	8
Hixon Exhibit Two, Schematic	12
Hixon Exhibit Three, Log	13
Hixon Exhibit Four, Schematics	14
Hixon Exhibit Five, Schematic	15

1  
2 MR. STOGNER: Call next Case  
3 Number 9208.

4 MR. TAYLOR: The application of  
5 Hixon Development Company for a gas storage well, San Juan  
6 County, New Mexico.

7 MR. STOGNER: Call for appear-  
8 ances.

9 MR. ROBERTS: Mr. Examiner, my  
10 name is Tommy Roberts. I'm an attorney in Farmington, New  
11 Mexico, and I represent the applicant, Hixon Development  
12 Company, in this case.

13 I have one witness to be sworn.

14 MR. STOGNER: Are there any  
15 other appearances in this matter?

16 There being none will the wit-  
17 ness please stand to be sworn at this time?

18  
19 (Witness sworn.)

20  
21 BRUCE E. DELVENTHAL,  
22 being called as a witness and being duly sworn upon his  
23 oath, testified as follows, to-wit:  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

DIRECT EXAMINATION

BY MR. ROBERTS:

Q Would you please state your name and place of residence?

A My name is Bruce Delventhal and I currently reside in Farmington, New Mexico.

Q What is your occupation?

A I'm a petroleum engineer.

Q Have you testified before the New Mexico Oil Conservation Division on any prior occasion?

A No, I have not.

Q Would you briefly describe your educational background which would be relevant to your profession?

A Okay. I received a Bachelor of Science degree from New Mexico Institute of Mining and Technology in petroleum engineering.

Q And would you please briefly describe your work experience prior to becoming employed with Hixon Development Company which is relevant to your profession?

A Okay. I worked one summer for Northwest Pipeline. I've worked during -- while I was going to school at Petroleum Recovery Research Center in Socorro, New Mexico.

Most of my experience is with Hixon De-

1 velopment Company.

2 Q How long have you been employed by Hixon?

3 A I've worked for Hixon for four and a half  
4 years.

5 Q And would you briefly describe your res-  
6 sponsibilities with your employment position?

7 A Okay. I'm responsible for all company  
8 engineering and operations and all aspects in that regard.

9 Q Would you describe the extent of the  
10 operations of Hixon Development Company in the Carson Unit  
11 Area?

12 A Yes. As unit operator of the Carson Unit  
13 Hixon Development Company's involved in all aspects of that  
14 unit operation.

15 Q And are you directly familiar with those  
16 operations?

17 A Yes, I am.

18 Q What have been your responsibilities  
19 within that area?

20 A I'm involved in all engineering projects  
21 and operation projects within that unit and also (unclear)  
22 other engineers that work that area.

23 Q Are you familiar with the application in  
24 this case?

25 A Yes I am.

1 MR. ROBERTS: I would tender  
2 Mr. Delventhal as an expert in the field of petroleum en-  
3 gineering.

4 MR. STOGNER: Mr. Delventhal,  
5 when did you graduate?

6 A I graduated in December of 1982.

7 MR. STOGNER: And you were at  
8 the PRRC when?

9 A I worked several -- on and off while I  
10 was going to school several years.

11 MR. STOGNER: That's where I  
12 remember you.

13 A Yeah.

14 MR. STOGNER: Okay. I thought  
15 you looked familiar.

16 A Yeah.

17 MR. STOGNER: Okay. Yes, Mr.  
18 Delventhal is so qualified.

19 Q Mr. Delventhal, would you briefly de-  
20 scribe the purpose of this application?

21 A Yes. Hixon Development Company seeks  
22 authority to utilize its Carson Unit 34-18 for a gas storage  
23 well.

24 Q Briefly explain the reason for that re-  
25 quest.

1           A           Okay. During the past twelve months we've  
2 experienced high line pressure in the Carson Unit that's  
3 prevented us from selling casinghead gas. During periods of  
4 high line pressure the alternatives available are, one, to  
5 continue producing oil but to vent the gas produced in asso-  
6 ciation with that oil. Or the second option would be to  
7 shut in oil production until line pressure diminishes to the  
8 extent casinghead gas can be produced into the sales line.

9                       Neither of these alternatives is satis-  
10 factory in that both result in waste. Temporary storage of  
11 the casinghead gas during period of high line pressure re-  
12 sult in conservation of gas while at the same time permit-  
13 ting economic operation of the unit.

14           Q           Who operates the gathering system into  
15 which the casinghead gas produced in the Carson Unit is de-  
16 livered?

17           A           El Paso Natural Gas operates that system.

18           Q           What steps, if any, ~~have been taken~~ by  
19 Hixon Development Company to deal with the maintenance of  
20 high line pressure by El Paso?

21           A           Okay, we've installed a gas compressor at  
22 that unit to try to increase gas pressure so that we can  
23 sell against their higher line pressures. The only problem  
24 is that's not really a cure-all for the situation since El  
25 Paso's system is a low pressure collection system and we're

1 limited to the pressure we can go to, 250 being the maximum  
2 that that system will stand.

3           Also, it doesn't solve the problem where  
4 we have down time or plant down time, I should say, that  
5 means that that gas system or collection system is shut in  
6 and we'd just be actually packing gas in that line. In  
7 other words, there's no movement of gas in the line.

8           Q           Mr. Delventhal, refer to what's been mar-  
9 ked as Exhibit Number One and identify that exhibit.

10          A           Okay. Exhibit Number One is a base map  
11 of the Carson Unit area.

12          Q           And what is the significance of this ex-  
13 hibit to this application?

14          A           Okay, this base map, the slash marks rep-  
15 resent the boundary of the Carson Unit. The red triangle  
16 represents the proposed Carson Unit 34-18 that we are pro-  
17 posing to use as injection or storage (unclear) and the red  
18 line represents a half mile radius around that -- that well  
19 and it also demonstrates that the wells within that half mile  
20 radius are well within the Carson Unit boundaries.

21          Q           Is ~~Hixon~~ Hixon Development Company the operator  
22 of the unit?

23          A           Yes, we are.

24          Q           To what formation or formations does this  
25 unit apply?

1 A To all formations.

2 Q And from what formation or formations is  
3 the gas produced which is proposed to be reinjected --

4 A This gas --

5 Q -- and stored?

6 A I'm sorry. This gas is produced from the  
7 Gallup, Bisti Lower Gallup formation.

8 Q And, Mr. Delventhal, what pool applies to  
9 that formation --

10 A It would be the Bisti --

11 Q -- in this area?

12 A I'm sorry, Bisti Lower Gallup Pool.

13 Q Mr. Delventhal, would you describe the  
14 vertical limits of the Bisti Lower Gallup Oil Pool?

15 A Okay. The Bisti Lower Gallup Pool is --  
16 its upper limit would be the base of the Upper Mancos and  
17 its lower limit would be the top of the Lower Mancos.

18 Q And are you familiar with the geologic  
19 characteristics of the reservoir which is encompassed by the  
20 unit?

21 A Yes, I am.

22 Q Would you describe those geologic charac-  
23 teristics?

24 A The reservoir is a northwest/southeast  
25 trending stratigraphic trap. The Bisti Lower Gallup reser-

1   voir is a sandbar complex which was formed during regressive  
2   and transgressive sedimentary cycle during the late Creta-  
3   ceous time period.

4                   This reservoir is bounded by the Massive  
5   Mancos Shale above and below, which serves as an impermeable  
6   barrier and trapping mechanism. There's no known geological  
7   evidence of faulting, thus gas stored in this reservoir  
8   would be confined.

9           Q           Would you briefly describe the history of  
10   the development of the Carson Unit?

11           A           Yes. The Carson Unit was developed in  
12   the late fifties and early sixties and at its peak it was  
13   composed of approximately 120 wells which at this time 78 of  
14   those wells are plugged. The remaining 44 wells consist of  
15   22 wells that are currently -- I'm sorry, 20 wells that are  
16   currently oil producers. The remaining 22 wells are used as  
17   water injection wells and some of those are temporarily shut  
18   in.

19           Q           Do you have an estimate of future recov-  
20   erable oil reserves from the unit?

21           A           Yes, it's approximately 4-million bar-  
22   rels.

23           Q           And do you have an opinion as to the re-  
24   maining producing life of the unit?

25           A           Yeah. The reservoir has a -- or I should

1 say this unit has a long producing life which is a function  
2 of price of oil and the cost of lifting (unclear) in that  
3 reservoir.

4 Q What are the current rates of production  
5 of oil and gas from the Bisti Lower Gallup formation in the  
6 unit?

7 A Okay, we currently produce 2500 barrels  
8 of oil per month and the associated gas with that 3000 MCF.

9 Q Mr. Delventhal, would you identify for  
10 the Examiner the exact footage location of the proposed in-  
11 jection well?

12 A Yes. It's located 660 from the south  
13 line and 1976 from the east line. It's in Section 18.

14 Q And what is the current status of that  
15 well?

16 A This well is currently shut-in.

17 Q Is it currently completed as an injection  
18 well?

19 A No, it is not.

20 Q What is the current status of the wells  
21 located within the one-half mile radius from the proposed  
22 injection well?

23 A There is a total of 22 wells which pene-  
24 trate the Gallup formation within that half mile radius. Of  
25 these twelve wells six of these wells are plugged and aban-

1 doned. Four of the wells are -- currently are in the pro-  
2 cess of being converted to water injection wells. There's  
3 one producing well and one well that is temporarily shut in.

4 Q What will be the source of the gas which  
5 is produced and then injected in the proposed injection  
6 well?

7 A All the gas that will be stored will be  
8 produced gas from the Bisti Lower Gallup reservoir.

9 Q To your knowledge is ownership of unit  
10 production common throughout the unit?

11 A Yes, it is.

12 Q Turn away from what's been marked as Ex-  
13 hibit One, now, Mr. Delventhal, and refer to what's been  
14 marked as Exhibit Number Two, and identify that exhibit,  
15 please.

16 A Okay. Exhibit Number Two is a wellbore  
17 schematic of the proposed storage well and there's also at-  
18 tached a data sheet with additional information.

19 Q What is the significance of the data il-  
20 lustrated on this exhibit to this application?

21 A This exhibit basically gives description  
22 of the casing program and the cementing program that was  
23 used to complete this well.

24 Q Okay, in your opinion will the casing  
25 and cementing results illustrated in this exhibit provide

1 adequate protection against loss of gas while it's being in-  
2 jected, withdrawn, or held in storage, and will it provide  
3 good and sufficient protection against contamination of  
4 groundwater?

5 A Yes, it will.

6 Q Mr. Delventhal, now refer to what's been  
7 marked as Exhibit Number Three and please identify that ex-  
8 hibit.

9 A Okay. Exhibit Three is an electric log  
10 run by Schlumberger when this well was initially drilled and  
11 it shows the proposed perforations that we'll inject gas  
12 into.

13 Q What is the significance of this data  
14 illustrated in this exhibit?

15 A I guess it -- it shows the injected -- as  
16 we say, the perforations that we will be injecting gas into  
17 and shows that those intervals are confined within the  
18 Gallup reservoir.

19 Q What conclusions can be drawn from the  
20 data illustrated in this exhibit?

21 A That there will be communication with  
22 other formations of any gas that's placed in storage in this  
23 well -- or in this reservoir.

24 Q Turn to what's been marked as Exhibit  
25 Number Four, please, and identify that exhibit.

1           A           Okay. Exhibit Number Four is composed of  
2 wellbore schematics and diagrams of the additional twelve  
3 wells within that half mile radius around the proposed  
4 injection well.

5           Q           What is the significance of the data il-  
6 lustrated on this exhibit?

7           A           Okay. This exhibit shows the program or  
8 cementing and casing program that was used in completion of  
9 these wells. It also further defines the cement that was  
10 used to plug and abandon those wells that are in that sta-  
11 tus.

12          Q           Do you draw any conclusions from this da-  
13 ta relevant to this application?

14          A           Yes, that there would be no loss of gas  
15 per these wells.

16          Q           In your opinion will migration away from  
17 the wellbore of the injection well occur?

18          A           No, not in this case. We're requesting  
19 to inject very small volumes of gas and for short periods of  
20 time. In other words, we're not going to store it for a  
21 long period of time. We plan to produce it back as quick as  
22 that line pressure decreases and allows us to do that.

23                       The other -- the other point I'd like to  
24 make is also that the change in pressure, Delta P, is always  
25 going to be in direction of that wellbore; therefore, we

1 don't feel that there will be any migration away from it.

2                   Currently we produce about 100 MCF a day  
3 at that unit. If you were just to make some calculations  
4 showing what the fillup would be with that gas, it would  
5 show that the radius that that would radiate away from that  
6 wellbore would be 550 feet, which is well within the forty  
7 acre spacing.

8                   Q           Refer to what's been marked as Exhibit  
9 Number Five, please, and identify that exhibit.

10                  A           Okay, Exhibit Number Five is a schematic  
11 of the storage facilities or the metering system and  
12 compressor system that will be used with this storage well.

13                  Q           Explain the data -- the significance of  
14 this data to the application.

15                  A           Okay. Looking at this schematic, we cur-  
16 rently bring oil, gas, and water that is produced from the  
17 Bisti Lower Gallup wells into the main tank battery and  
18 there it's run through a separator and the gas is separated  
19 and sent to a gas sales compressor which I mentioned earlier  
20 that we installed.

21                               Okay, from that point under normal sales  
22 conditions or line pressure that wasn't high, the gas would  
23 go to El Paso's meter and be metered there.

24                               Okay, when we ~~experience high line pres-~~  
25 ~~sure we're going -- we have a control valve after the gas~~

1 sales compressor, which will sense that high line pressure  
2 and turn that gas towards a second compressor which will be  
3 used to increase the pressure in order to inject it into the  
4 storage well.

5 I might note that before going into that  
6 storage well we'll have a gas meter or gas storage meter  
7 that will record the gas that is injected into that well.  
8 When line pressure increases or decreases to the point that  
9 we can produce that gas back, it will be run back through  
10 the -- another meter, a second meter, that will record the  
11 volumes that we produce back and from that point it will re-  
12 enter the -- our sales system and be sold via El Paso.

13 Q Do you draw any conclusions from this  
14 data with respect to the request in this application?

15 A Yes. That we will accurately measure  
16 both gas injected and produced from the well and that  
17 accurate records can be kept of those volumes.

18 Q Mr. Delventhal, would it be accurate to  
19 say that all gas produced from the reservoir which is  
20 reinjected will be reinjected into the formation from which  
21 it was produced?

22 A Yes, it would.

23 Q Will the injection well be equipped to  
24 permit a determination of injection pressure and annular  
25 pressure at the wellhead?

1           A           Yes. We'll have gauges both on the annu-  
2 lus and the tubing; also that the gas storage meter will be  
3 able to record the injection pressures.

4           Q           What average injection rate to you pro-  
5 pose to maintain?

6           A           Okay, we propose to maintain an average  
7 injection rate of 800 and 974.

8           Q           And what would you expect the ~~maximum in-~~  
9 jection rate to be?

10          A           It wouldn't exceed the 974.

11                   MR. STOGNER: I'm sorry, what?

12          A           The 974 would be the maximum.

13          Q           Now, this is the injection rate.

14          A           Oh, I'm sorry, I'm talking about pres-  
15 sures.

16          Q           Yes.

17          A           Excuse me. Our average injection rate  
18 would be around 100 MCF and the maximum would be 250 MCF.

19          Q           In your opinion, Mr. Delventhal, will in-  
20 jection pressures be maintained in accordance with applic-  
21 able rules and regulations?

22          A           Yes, they will be.

23          Q           And what would you expect the average in-  
24 jection pressure to be?

25          A           As I said earlier, 800.

1 Q Okay, and what about the maximum injection  
2 pressure?

3 A 974.

4 Q Okay. Who is the owner of the surface of  
5 the lands on which the proposed injection well is located?

6 A The Bureau of Land Management is.

7 Q And have they been provided notice of  
8 this application?

9 A Yes, they have. We sent a certified letter  
10 notifying of that with a return receipt requested, which  
11 we did receive the return receipt showing that they did receive  
12 the letter.

13 Q Mr. Delventhal, in your opinion will the  
14 granting of this application result in the prevention of  
15 waste and the protection of correlative rights and be in the  
16 interest of conservation?

17 A Yes, it will be.

18 Q Were Exhibits Numbers One through Five  
19 either prepared by you or at your direction and under your  
20 supervision?

21 A Yes, they were.

22 MR. ROBERTS: Mr. Examiner, I'd  
23 move the admission of Exhibit Numbers One through Five.

24 MR. STOGNER: Exhibits One  
25 through Five will be admitted into evidence.

1 MR. ROBERTS: I have no other  
2 questions on direct for this witness.

3

4

## CROSS EXAMINATION

5

BY MR. STOGNER:

6

Q Mr. Delventhal, let's talk about the com-  
7 pletion here for a second.

8

A Yes, sir.

9

Q I'll refer to your Exhibit Number Two.  
10 Now, you plan to run just one string of 2-3/8ths inch tubing  
11 and --

12

A That's correct.

13

Q -- injection going down in and then also  
14 coming back up.

15

A Correct.

16

Q This being the same gas going in and the  
17 same kind of gas going out, there really would not be any  
18 requirement to have this plastic lined like we usually do in  
19 our salt water disposal or water injection wells, is that  
20 correct?

21

A Correct.

22

Q Okay. Now, as far as the zones that it  
23 is actually being injected into, are these the same perfor-  
24 ations or within the same gas-bearing zone or producing zone  
25 that the other wells are being produced at or is --

1 A Yes, it is.

2 Q -- this --

3 A No, it's all the same, same sand inter-  
4 vals within that Gallup.

5 Q Okay.

6 A Bisti Lower Gallup.

7 Q Now what is the reservoir pressure in  
8 this reservoir?

9 A Currently right now?

10 Q Yeah.

11 A Well it would be an estimate -- I'm  
12 sorry, calculated at 200 psi.

13 Q What was the virgin pressure?

14 A The virgin was 1550. That calculation,  
15 by the way, is -- is at this particular well, the gas  
16 storage well.

17 Q And the actual injection itself would not  
18 occur until such time as El Paso wouldn't be able to -- you  
19 wouldn't be able to buck El Paso's pressures.

20 A That's correct.

21 Q Okay. How many wells out there are  
22 actually producing gas that you will be injecting into --

23 A As far -- I'm not sure I understand the  
24 question.

25 Q Is this going to be unit-wide gas collect-

1 ed at one central point and then injected?

2 A Yes.

3 Q Or are you just going to take a few  
4 wells?

5 A No, it's -- it will be all the unit gas  
6 produced that -- from wells that penetrate this same  
7 formation we'll be injecting to, which would be the Bisti  
8 Lower Gallup.

9 Q Okay, and your present monthly production  
10 out there, you said was 3000 MCF?

11 A Yes, that's correct.

12 Q Which comes out to about 100 MCF a day.

13 A Correct.

14 Q What are you presently doing with this  
15 gas when you can't buck El Paso's line?

16 A Okay, this gas right now when we can't  
17 buck the line pressure is getting vented.

18 Q How often does this occur in the last  
19 year that you've had to vent?

20 A How often last year did it occur? Well,  
21 in the nine months between August of last year to, let's  
22 see, June of this year, approximately 11,000 MCF were vented  
23 and that's at a regular time that the pressure is up and  
24 down, it's not on a necessarily continuous basis. One day  
25 it's up, the next day it's down.

1 Q So this would prevent waste inasmuch as  
2 you'd be able to recover the gas that you'd normally have  
3 vented.

4 A That's correct. I might add that we've  
5 experienced the frequency of this high line pressure has be-  
6 come more of a problem than it has in the past. This has  
7 kind of come to a head.

8 Q I'm sorry, what was that again?

9 A Well, I guess I said the frequency of the  
10 high line frequency occurrences has become more frequent  
11 than it has in the past.

12 Q Oh, I see. Just within the last year?

13 A Yes, and that -- a lot of that has to do  
14 with the market problems that industry has experienced.

15 Q And then in the summertime you have a  
16 higher -- expect higher line pressure, anyway, don't you?

17 A That varies out there, you know, they've  
18 had problems with their Chaco Plant so we see down time at  
19 erratic times.

20 Q Now prior to the hearing, Hixon or --  
21 yeah, Hixon submitted a form what, C-108? That's the appli-  
22 cation for injection?

23 A Yes, that's correct.

24 Q And all the data on that, that was re-  
25 quired?

1           A           Yes. I might add that that -- the one I  
2 think you have is for the Carson 24-18. We changed that  
3 well.

4                   MR. ROBERTS: Mr. Examiner, I  
5 have provided written notification of the amendment of the  
6 application to identify the Carson Unit 34-18 Well as the  
7 proposed injection well.

8           Q           And that was the reason for the readver-  
9 tisement --

10                   MR. ROBERTS: Yes.

11           Q           -- was it not?  
12                   And the 24 Well is just, what, about 330

13 --

14           A           It's due west of this.

15           Q           Due west?

16                   And there's no significant difference be-  
17 tween what the application would contain in the 24-18 as op-  
18 posed to the 34-18 --

19           A           No, it would be the same --

20           Q           -- in the C-108, right?

21           A           -- basic information.

22           Q           Now as far as the unit itself, is that  
23 made up of all Federal land or is there some State and fee  
24 land involved, too?

25           A           I don't know of any fee land there and I

1 don't know of any State land in that unit. I believe it's  
2 comprised of Federal.

3 Q When I look at your Exhibit Number One,  
4 which is the plat, I show some -- looks like some squares or  
5 rectangles in that.

6 A Okay, yeah, for example the one in 18  
7 there that's within the half mile circuit?

8 Q Yeah.

9 A Yeah, that's a water source well. It  
10 doesn't penetrate the Gallup formation. There are several  
11 of them within the unit when that -- the waterflood was at a  
12 -- in full swing.

13 Q Okay, so the box in Section 19, that's  
14 another water source well?

15 A Yes, the one with a 2 next to it, that is  
16 a water source well, as well as the one in 18 marked as 5.

17 Q Okay. And how about over in Section 13,  
18 it looks like you have one way down there in the lower  
19 southeast corner?

20 A Okay, that represents the Carson Unit  
21 tank battery and our main facilities for the unit.

22 Q Okay, and then your other source wells  
23 throughout there, 14 and 13.

24 A Yes, that's correct.

25 Q Is this unit presently under waterflood?

1           A           We're -- we have one active water injec-  
2    tor right now. We're currently in the process of reacti-  
3    vating four of these -- four wells; well, actually more than  
4    -- four wells within that half mile radius, and there's al-  
5    so, let's see, one, two, one additional well outside the  
6    half mile radius, we're going to reactivate that, also.

7           Q           Okay, when you say reactivate, was it a  
8    waterflood project?

9           A           Yes, yes, it was.

10          Q           Do you remember when that was activated?

11          A           The reactivation or the original?

12          Q           The original.

13          A           It was in the early -- I'm sorry, early  
14    sixties, I believe, two years after some of the earlier  
15    wells were drilled.

16          Q           And that was known as the Carson water-  
17    flood, I assume?

18          A           Yes, it was.

19          Q           Has Hixon always operated the unit?

20          A           No, we haven't. Shell developed the unit  
21    and we purchased it from them.

22          Q           When did Hixon purchase it?

23          A           It would have been in 197 -- not 70,  
24    1982, I believe.

25          Q           Will Hixon abide by the rules and regula-

1 tions as far as reporting on the appropriate forms, the Form  
2 133-A that is for (not understood) project?

3 A Yes, we will.

4 MR. STOGNER: I have no further  
5 questions of Mr. Delventhal.

6 Are there any other questions  
7 of this witness?

8 If not, he may be excused.

9 Mr. Roberts, do you have  
10 anything further in this case?

11 MR. ROBERTS: No, sir.

12 MR. STOGNER: Does anybody else  
13 have anything further in Case Number 9208?

14 The case will be taken under  
15 advisement.

16  
17 (Hearing concluded.)

18  
19  
20  
21  
22  
23  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO  
HEREBY CERTIFY the foregoing Transcript of Hearing before  
the Oil Conservation Division (Commission) was reported by  
me; that the said transcript is a full, true, and correct  
record of the hearing, prepared by me to the best of my  
ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9208,  
heard by me on 7 October 1987.

Michael H. [Signature], Examiner  
Oil Conservation Division