

STATE OF NEW MEXICO  
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BLDG.  
SANTA FE, NEW MEXICO

18 November 1987

EXAMINER HEARING

IN THE MATTER OF:

Application of Sohio Petroleum Com-           CASE  
pany (Standard Oil Production Com-           9260  
pany) for a waterflood project, Lea  
County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:                           Jeff Taylor  
  Attorney at Law  
  Legal Counsel to the Division  
  State Land Office Bldg.  
  Santa Fe, New Mexico 87501

For the Applicant:                         Peter N. Ives  
  Attorney at Law  
  CAMPBELL & BLACK, P.A.  
  P. O. Box 2208  
  Santa Fe, New Mexico 87501

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

STEPHEN GURLEY

Direct Examination by Mr. Ives 4

Cross Examination by Mr. Catanach 23

E X H I B I T S

Sohio Exhibit One, C-108 and attachments 5

Sohio Exhibit Two, Affidavit

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. CATANACH: Call next Case  
9260.

MR. TAYLOR: The application of  
Sohio Petroleum Company for a waterflood project, Lea  
County, New Mexico.

MR. CATANACH: Are there  
appearances in this case?

MR. IVES: Yes. Peter Ives  
with Campbell & Black on behalf of applicant Sohio Petroleum  
Company, Standard Oil Production Company.

MR. CATANACH: Are there any  
other appearances in this case?

How many witnesses do you have,  
Mr. Ives?

MR. IVES: I have one witness  
with me today.

MR. CATANACH: Okay, will the  
witness please stand to be sworn in?

(Witness sworn.)

STEPHEN GURLEY,  
being called as a witness and being duly sworn upon his  
oath, testified as follows, to-wit:

## DIRECT EXAMINATION

1  
2 BY MR. IVES:

3 Q Mr. Gurley, would you please state your  
4 name and place of residence?

5 A Stephen E. Gurley, 1014 Millstone, Sugar-  
6 land, Texas.

7 Q And by whom are you employed and in what  
8 capacity?

9 A Standard Oil Production Company as a re-  
10 servoir engineer.

11 Q And could you please summarize for the  
12 Examiner your educational background and work experience?

13 A I have an Associate degree in applied  
14 science from Lincoln County Junior College in Illinois.

15 I worked as a reservoir engineering tech-  
16 nician for five years for Cities Service Oil & Gas in Mid-  
17 land prior to getting my degree in -- BS in petroleum en-  
18 gineering from the University of Texas, Permian Basin, in  
19 1979.

20 I then worked for two years as an engine-  
21 er for Cities Service, two years as a production engineer  
22 for Coquina Oil Corporoation, and the last five years as a  
23 reservoir engineer for Standard Oil Company.

24 Q And are you familiar with the application  
25 that has been filed in this case and the wells and other

1 matters that that application deals with?

2 A Yes, sir.

3 MR. IVES: I would tender the  
4 witness as an expert reservoir engineer at this time.

5 MR. CATANACH: He is so quali-  
6 fied.

7 Q Could you briefly state what you are  
8 seeking in the application?

9 A We're seeking approval to inject water  
10 into five wells on our Phillips Lea State lease. It will be  
11 into the San Andres formation in the Vacuum Field in Lea  
12 County, New Mexico.

13 Q And if I could refer you now to Exhibit  
14 Number One, could you please identify what page one is and  
15 explain what it shows?

16 A This is Form C-108 for Application to In-  
17 ject Water. We are requesting permission to initiate a  
18 secondary recovery project. It will not be an expansion of  
19 an existing project.

20 And we also have included the attachments  
21 that are required on the form.

22 MR. IVES: We propose to go  
23 through the various pages of Exhibit One, essentially page  
24 by page, and identifying those in turn and what those are  
25 and what they show.

1           Q           Could you briefly turn to page two of Ex-  
2           hibit One and explain what that is and what that shows?

3           A           Page two is a summary of some of the  
4           questions that were asked on Form C-108. We will get into  
5           them in more detail as we come to these questions later on  
6           in the questioning.

7           Q           If I could ask you to turn to pages three  
8           and four of Exhibit One and explain what those are and what  
9           they show?

10          A           Pages three and four are a plat of the  
11          area around the proposed project.

12                   Page three was submitted with the  
13          original permission.

14                   Page four is just a simple blow-up of  
15          Figure 3 for clarification purposes as far as being able to  
16          read it better.

17          Q           Is the information that's shown on pages  
18          three and four identical, then?

19          A           Other than cleaning up the map a little  
20          bit, make it more easy to read, yes, sir, that's correct.

21          Q           What is the portion of the map on page  
22          four that is shaded in yellow?

23          A           That is our proposed area for a secondary  
24          recovery project, the Phillips Lea State Lease.

25          Q           And does that -- does page four show the

1 location of the subject wells?

2 A Yes, sir, there's going to be five  
3 injection wells; three wells will be convergents from  
4 producers, Wells Nos. 5, 7, and 8. We're also proposing two  
5 new leaseline injection wells on the east side of the lease,  
6 Wells Nos. 9 and 10.

7 We've been in communication with ARCO and  
8 they are in agreement with the wells.

9 Q And does the map on page four also show  
10 all the wells within a 2-mile radius of the injection wells?

11 A Yes, sir, and we've also drawn a half  
12 mile circle around each one of the injection wells.

13 Q And those half mile circles define the  
14 area of review?

15 A Yes, sir.

16 Q And does the map on page four also show  
17 lease ownership in the area?

18 A Yes, sir, it does.

19 Q And could you briefly identify what  
20 leases are within the area of review?

21 A The ARCO State Vacuum Unit is immediately  
22 to the east of our unit.

23 Phillips has several San Andres wells on  
24 the north. ARCO has three or four San Andres wells on the  
25 west, and Baxter operates a Queen waterflood to the south

1 and east of the proposed area.

2 Q And is Kincaid and Watson also --

3 A Yes, sir, Kincaid and Watson is included  
4 in our section. They haven't expressed any desire to  
5 participate in the waterflood.

6 Q In connection with the location of the  
7 two proposed injection wells labeled on page four as 9 and  
8 10, could you briefly explain the reasons for locating those  
9 wells were they are?

10 A Yes, sir. We felt those were the ideal  
11 locations in order to prevent waste and prevent (sic) cor-  
12 relative rights, and like I said earlier, ARCO has pretty  
13 much agreed with the locations and has agreed to participate  
14 in the sharing the cost.

15 MR. IVES: Mr. Examiner, if you  
16 should have any questions at any time on the various pages,  
17 please interrupt.

18 MR. CATANACH: Okay.

19 Q Let me now ask you, Mr. Gurley, to turn  
20 to pages 5 and 6 of Exhibit One and explain what those are  
21 and what those show?

22 A This is a tabulation of the wells in the  
23 area of review that's included in those half mile circles  
24 around the injection wells.

25 We have made a few corrections to this

1 sheet from a prior submittal.

2                   The Phillips Lea No. 23, we felt that it  
3 should be added even though it was not completed in the zone  
4 of interest.

5                   The Malco Phillips State No. 1 was an  
6 old, dry hole drilled in 1950 that we had trouble finding  
7 information from the District office on. We found out the  
8 information yesterday here at the office as far as the TD  
9 and the casing sizes that were run.

10                   On the Standard Oil Production Phillips  
11 Lea No. 1 Well, the original location on the original  
12 submittal was 1980 from the north line and 1980 from the  
13 north line. That should have read 1980 from the north line  
14 and 1980 from the west line.

15                   The Standard Oil Production Company  
16 Phillips Lea No. 8, the original location on the initial  
17 submittal was 990 from the south line, 1650 from the west --  
18 or from the north line. It should have read 990 from the  
19 south line and 1650 from the west line.

20                   We've also for simplicity included the  
21 current well names on the State Vacuum Lease that ARCO  
22 operates. For example, the 2 Hale State is also known as  
23 the State Vacuum Unit No. 2. We've included those new  
24 numbers, and also indicated which wells were injection  
25 wells.

1 Q And you've been referring to page 5 of  
2 Exhibit One. Could you now look at page 6 of Exhibit One  
3 and identify any additional information that has been put  
4 thereon?

5 A Yes, sir. The only changes here are  
6 again the additions of the new names on the State Vacuum  
7 Unit.

8 The No. 1 State is also known as the  
9 State Vacuum Unit No. 11.

10 This tabulation includes the operator,  
11 the well name, the date the well was spud, its location and  
12 API number, total depth, completion interval, IP formation,  
13 casing, and the amount of cement that was used to set the  
14 casing, and the current status of the wells. Where there's  
15 no status it's just an active producer.

16 MR. CATANACH: Mr. Gurley, be-  
17 fore we go any further, I'm going to have to get you guys to  
18 also list any surface casing in these wells, cement, and I'm  
19 going to have to ask you guys to estimate cement tops behind  
20 the production strings, either calculate them or see if  
21 there's any information about temperature surveys or bond  
22 logs or anything like that.

23 A Okay.

24 MR. CATANACH: You can just  
25 submit that, if you don't have that now you can just submit

1 that after the hearing this morning.

2 A Okay.

3 Q Mr. Gurley, in connection with the two  
4 wells which are identified on pages 5 and 6 of Exhibit One,  
5 which were not identified on the initial application submit-  
6 ted, are those wells shown on the map that was submitted  
7 with the original application, which is page 3 of Exhibit  
8 One?

9 A Yes, sir, they are.

10 Q Did the addition of those two wells  
11 necessitate any change in notice being sent out to persons  
12 with interests within the area of review?

13 A No, sir. Phillips already operated sev-  
14 eral wells in the area of interest and they also have the  
15 acreage that was assigned to the dry hole.

16 Q Let me ask you to turn to pages 7 and 8  
17 of Exhibit One and explain what those are and what they  
18 show.

19 A These are the wellbore schematics of the  
20 two dry holes in the area.

21 On page number 7 the Baxter Mobil State  
22 No. 1, the last word the District office had in Hobbs was  
23 that this well had not been -- the plugging had not been  
24 completed. It was in progress.

25 The Malco Phillips State No. 1 was a

1 schematic that we -- we put together yesterday after dis-  
2 covering the records in the Santa Fe office that weren't  
3 available in the District office earlier. These are the on-  
4 ly two dry holes in the area of review.

5 Q Let me ask you now to turn to pages 9  
6 through 18 of Exhibit One and identify each of those in turn  
7 and explain what they show.

8 A Page 9 is an injection well data sheet  
9 summary for the Well No. 5. It's currently a producer; it  
10 will be converted to injection. On the initial submittal we  
11 did not know at that time what type of tubing we would be  
12 using. We're now going to be using fiberglass lined tubing  
13 with a Baker Lok-set packer.

14 The number 10 is a wellbore schematic of  
15 the Phillips Lea No. 5 showing the completion dates, casing  
16 data, downhole equipment and the perforation intervals.

17 Page number 11 is an injection well data  
18 sheet summary for Well No. 7. It's also going to be a con-  
19 version from an existing producer. We'll be using fiber-  
20 glass lined tubing set in a Baker Lok-set packer.

21 Number 12 is a wellbore schematic for No.  
22 7 Well showing the same data as far as the completion dates,  
23 casing data, downhole equipment and perforated interval.

24 Page number 13 is an injection well data  
25 sheet for the Well No. 8 with again the tubing will be

1 fiberglass lined and set in a Baker Lok-set packer.

2                   Page 14 shows the wellbore schematic for  
3 that well showing the completion dates, casing data, down-  
4 hole equipment, and perforations.

5                   Page number 15 is an injection well data  
6 sheet for the new proposed leaseline injection Well No. 9.  
7 We're proposing to use fiberglass lined tubing in it, also,  
8 and set in a Baker Loc-set packer.

9                   Page 16 is the proposed wellbore  
10 schematic we plan to use for that well with the casing that  
11 we propose to use and depths, cement, and the perforated  
12 interval.

13                   Page number 17 is an injection well data  
14 sheet for the new, also the new injection Well No. 10, with  
15 again we're using fiberglass lined tubing and a Baker Loc-  
16 set packer, and the wellbore schematic for that well is  
17 shown on page 18.

18                   I might add that on the original  
19 submittal we had the locations on Wells 9 and 10 as 15 -- on  
20 Well No. 9 we had the location 1565 from the north line and  
21 1250 from the east line. We have moved that in to 1350 from  
22 the east line to get it approximately 30 feet on our side  
23 of the leaseline.

24                   The -- as far as -- if you look back at  
25 the map on page 4, or even on page 3, the original wells are

1 spotted correctly. The distance from that lease line was  
2 just incorrect. We moved it 400 feet in on a -- to the west  
3 on both Wells 9 and 10.

4 Q On pages 9, 11, and 13, which are the in-  
5 jection well data sheets for Wells Nos. 5, 7, and 8, are the  
6 footage location descriptions set forth there correct?

7 A Yes, sir.

8 Q And were they correct in the original ap-  
9 plication --

10 A Yes, sir.

11 Q -- that was made?

12 A And we've been in communication with ARCO  
13 on the changes we made and they're in agreement with us.

14 Q So it is your intention and you will be  
15 using lined tubing in these wells?

16 A Yes, sir.

17 Q Will the annulus be filled with -- will  
18 the annulus be filled with an inert fluid?

19 A Yes, sir.

20 Q And do you agree to do pressure testing  
21 of the fluid in the annulus as required by the Federal Un-  
22 derground Injection Control Program?

23 A Yes, sir.

24 Q And into what formation do you propose to  
25 inject?

1           A           The San Andres.

2           Q           And could you give us the thickness and  
3 formation relating to the perforations?

4           A           Net thickness is approximately 45 feet.  
5 Depth of the formation at an average depth of 4650. It's a  
6 fractured dolomite with a 9.5 percent average porosity;  
7 pretty much a depletion drive reservoir with current bottom  
8 hole pressures around 100 pounds.

9           Q           What is the source of the water that you  
10 propose to inject in the subject wells?

11          A           We have two sources. We're going to use  
12 approximately 150 barrels per day of the produced fluid that  
13 is currently being produced on the lease.

14                    We will also have to buy make-up water  
15 from the Phillips fresh water line that supplies Carlsbad.  
16 It's branched off and it has a line going to the ARCO unit  
17 and we're going to either share in the cost of the line or  
18 buy water from ARCO to make up the additional 1100 barrels a  
19 day required.

20          Q           And what is -- what are you presently  
21 doing with this water?

22          A           The 150 barrels per day we're currently  
23 producing is going into a disposal well and it's being dis-  
24 posed into the aquifer, San Andres aquifer on the lease.

25          Q           And what volumes do you propose to in-

1 ject?

2 A We estimate approximately 1250 barrels  
3 per day average.

4 Q And what will be the maximum daily injec-  
5 tion rates?

6 A Around 1300 barrels a day.

7 Q And will the system be opened or closed?

8 A It will be a closed system.

9 Q And will you be injecting that water un-  
10 der pressure or by gravity?

11 A It will be under pressure.

12 Q What is the maximum injection pressure  
13 you propose to use?

14 A We'd like to use 1250 pounds.

15 Q And why is that?

16 A The Commission has set limitations of .2  
17 pounds per foot to the depth of the injection interval.  
18 This is based off a .7 overburden pressure minus a .5 hydro-  
19 static head of super-saturated brine.

20 We're going to be using for the most part  
21 fresh water which has a gradient of .433. The difference in  
22 the two gradients would equal to about 1250 pounds. We'd  
23 still have the same bottom hole pressure if we had 1250-  
24 pound surface pressure with the fresh water.

25 Q And is the 1250 maximum injection pres-

1 sure you propose to use a conservative injection pressure  
2 figure which would not fracture the strata confining the in-  
3 jection formation?

4 A No, sir, it wouldn't fracture the forma-  
5 tion.

6 Q And do you later intend to gather data to  
7 be offered to show that the strata confining the injection  
8 fluid has a fracture gradient which might support a higher  
9 injection pressure if that data so shows?

10 A Yes, sir.

11 Q And you do intend to be performing step  
12 rate tests in connection with this project?

13 A Yes, sir, as soon as we start injecting.

14 Q And are you aware of higher injection  
15 pressures being used by anyone in the immediate area of your  
16 proposed location?

17 A Yes, sir. In our verbal communications  
18 with ARCO they indicate that they are -- have a maximum  
19 1400, 1450 pounds surface pressure on the State Vacuum Unit  
20 immediately to the east.

21 Q If I could now ask you to refer to pages  
22 19 through 22 of Exhibit One and explain what those are and  
23 what they show.

24 A Pages 19 through 21 are water analysis  
25 reports on the produced water from five different locations.

1 Page 19 shows it from the Well No. 5, Phillips Lea State  
2 (unclear) No. 5. The Phillips Lea No. 7 is shown on page  
3 20, and the sample from the South Tank Battery is shown on  
4 page 21. Pretty much show that this is typical San Andres  
5 water for the area with chlorides of around 200,000.

6 Q And could you now look at page number 22  
7 and explain what that is and what that shows?

8 A 22 is a water analysis from the fresh  
9 water supply line from the Phillips fresh water line. It  
10 shows very low chloride which, of course, would be asso-  
11 ciated with a -- with fresh water.

12 Q If I could ask you now to turn to pages  
13 23 through 25 of Exhibit One and identify what those are and  
14 explain what they show.

15 A We also had filtration tests run on the  
16 fresh water supply line to determine the amount of solids  
17 that were present in the fresh water. These tests indicate  
18 that there are very few solids over .5 microns, which would  
19 indicate that we should not have any plugging problems using  
20 the fresh water from that line.

21 Q And could you just identify each of the  
22 three pages in turn?

23 A Yes, sir. Page 23 is just a tabular sum-  
24 mary of the test that was run as far as the volumes that  
25 were injected, the time required to inject that volume

1 through a 5-micron filter. Normally if you had plugging  
2 problems or a high amount of solids, the rate would get  
3 higher as you increase the volume of time because of the  
4 plugging that you would see across the filter.

5 There's very little fluctuation with time.

6 Page 24 is just a summary of this data  
7 showing which -- what type of materials were present, indi-  
8 cated that there was some sand and some iron from probably  
9 just the piping.

10 And 25 is a graphical solution of the  
11 tabular data.

12 Q I'd ask you turn -- to turn to page 26 of  
13 Exhibit One and explain what that is and what that shows.

14 A 26 is a comparison between the two waters  
15 as far as there were any scaling tendencies as the waters  
16 were mixed. We wanted to be sure that we weren't causing  
17 any scaling problems downhole or in the tubing as a result  
18 of mixing these waters, and as you can see there is very in-  
19 significant scaling tendencies as far as calcium sulfate,  
20 which is probably one of the major scaling -- scales in the  
21 area. We don't --

22 Q Okay.

23 A We don't anticipate any scaling problems  
24 from mixing the two waters.

25 Q And could I ask you now to turn to pages

1 27 and 28 of Exhibit One and explain what they are and what  
2 they show?

3 A 27 and 28 are just two additional water  
4 analysis reports from a separate laboratory and we just  
5 wanted to verify that we had the correct analyses and these  
6 are in agreement very much with the previous analyses shown  
7 earlier.

8 27 is the fresh water supply line and  
9 page 28 is from the Phillips Lea No. 5 Well.

10 Q Are there any fresh water zones in the  
11 area?

12 A Yes, sir, there are.

13 Q And what are the depths of those fresh  
14 water zones above the injection interval and any water zones  
15 immediately below the injection interval?

16 A There are no fresh water zones  
17 immediately below. There are two water zones, fresh water  
18 zones above. The alluvium is at a depth of 20 feet, and the  
19 Ogallala is at a depth of 250 feet.

20 Q Are there any fresh water wells within  
21 one mile of the proposed injection wells?

22 A Yes, sir. We have three wells that are  
23 within that radius. The water analysis from those three  
24 wells is shown on pages 29, 30, and 31, respectively.

25 These indicate that the -- the date the

1 water samples were taken, which is October 19th, and also on  
2 the remarks section at the top, indicates the section -- the  
3 location of these wells.

4 Q And from what intervals are they produc-  
5 ing?

6 A The Ogallala.

7 Q And your reference to the date of the sam-  
8 ples was October 19, 1987?

9 A October 19, yes.

10 Q 1987.

11 A 1987. There they compare very closely to  
12 the (unclear).

13 Q And are there any other materials attach-  
14 ed to Exhibit Number One?

15 A Yes, sir. We've attached three logs from  
16 the three producing wells that we propose to convert to in-  
17 jecting. These logs show the current perforated interval in  
18 the San Andres.

19 Q And was this information already provided  
20 to the OCD at an earlier time?

21 A Yes, sir.

22 Q And these have been attached --

23 A These have been attached for -- for the  
24 hearing.

25 MR. IVES: We would also offer

1 at this time, or note standard Exhibit Number Two, which is  
2 an affidavit concerning compliance with the rules and regu-  
3 lations of the OCD with regards to notice and that com-  
4 pliance has been -- notice has been provided to all persons  
5 to whom notice should have been provided.

6 Q Are you aware of similar applications  
7 which have been granted for salt water disposal in the same  
8 general area or pool as the subject application?

9 A Yes, sir.

10 Q And could you identify what those are?

11 A Yes, sir. Two of the units are on the  
12 map on page 4, the ARCO State Vacuum Unit, as mentioned ear-  
13 lier, is immediately offsetting to the east. Immediately  
14 the east of their unit is the West Vacuum Unit operated by  
15 Texaco, and off the map, which is further to the east, yet,  
16 is the East Vacuum Unit operated by Phillips.

17 Q Have you examined the available geologic  
18 and engineering data and have you found as a result of this  
19 examination any evidence of open faults or any other hydro-  
20 logic connections between the disposal zone and any under-  
21 ground source of drinking water?

22 A No, sir.

23 Q Well, you have --

24 A Well, I've examined but there's no --  
25 there's no communication.

1 Q In your opinion will granting this appli-  
2 cation prevent waste, protect correlative rights, and be in  
3 the best interest of conservation?

4 A Yes, sir.

5 Q How soon does Standard plan to commence  
6 drilling in this area?

7 A We have budget -- money budgeted for this  
8 year for initiating the project. We'd like to get it star-  
9 ted some time in December, if at all possible.

10 Q And therefor, does Standard request that  
11 this application be expedited?

12 A Yes, sir.

13 Q Were Exhibits One and Two prepared by you  
14 or compiled under your direction and supervision?

15 A Yes, sir.

16 MR. IVES: I would offer Exhi-  
17 bits One and Two into evidence at this time.

18 MR. CATANCH: Exhibits One and  
19 Two will be admitted into evidence at this time.

20

21 CROSS EXAMINATION

22 BY MR. CATANACH:

23 Q Mr. Gurley, if I -- were you done?

24 MR. IVES: That's all I have.

25

1 Q Mr. Gurley, if I understand it, you're  
2 asking for a maximum injection pressure of 1250 psi at this  
3 time?

4 A Yes, sir.

5 Q Based on the fact that you're using fresh  
6 water?

7 A Yes, sir, that's the only reason for it.

8 Q I thought you were going to -- a partial  
9 amount of your injected fluid was going to be produced  
10 water.

11 A Be about 10 percent. With current --  
12 initially we propose to use about 1150 barrels a day, or  
13 1100 barrels a day of -- of fresh water and probably only  
14 about 150 of produced water, which will raise the gradient  
15 slightly but not that dramatically.

16 We're a little concerned that ARCO is  
17 injecting at higher pressures and what kind of sweeps we'll  
18 be able to get if we -- we will be getting on the east side,  
19 you know, giving ARCO's pressures, and we will be injecting  
20 at a lower pressure than they are.

21 Q How long have you been producing these  
22 wells out here in this (not clearly audible)?

23 A We purchased these leases in about mid --  
24 early 1960's. We drilled the three larger number of wells,  
25 7, 8, and 9, or 6, 7, and 8, in the late seventies as an

1 infill program.

2 Q Okay. Is this in the Vacuum San Andres  
3 Pool?

4 A Yes, sir, it's in the Vacuum Field.

5 Q Would you know what your cumulative oil  
6 production on the lease was?

7 A About 750,000 barrels.

8 Q Mr. Gurley, have you done any decline  
9 curves on these producing wells?

10 A Yes, sir. We indicate there's probably  
11 150,000, 200,000, remaining primary.

12 Q And have you also calculated what the  
13 additional recovery will be?

14 A Based off the response seen in the ARCO  
15 State Vacuum Unit, they have had -- they're going to see  
16 probably a .5 secondary to primary ratio and assuming the  
17 same response, that's the same response we'll get, we should  
18 get around, you know, 450-500,000 secondary recovery, given  
19 the data that we know on ARCO.

20 Q Well, would you say that the producing  
21 wells on the lease are more or less stripper wells at this  
22 -- at this point in time?

23 A Yeah, I know, for example, Well No 8 is  
24 the highest producer. It makes 14 barrels a day. The re-  
25 mainder, 1 makes 3 barrels a day; 2 makes 8 barrels a day; 7

1 makes 3 barrels a day; 6 makes 3 barrels a day; and 8 makes  
2 5 barrels a day. So, yes, sir.

3 Q Okay, would you be willing to submit  
4 those decline curves and reserve estimates, recovery  
5 estimates?

6 A Yes, sir.

7 Q Okay.

8 A Just as long as we're not held to them  
9 all. That's our estimate of reserves and I probably could  
10 give you those, yes, no problem.

11 Q Was -- was Kincaid and Watson, did you  
12 try and get them to be included in the unit?

13 A We first tried to purchase their lease  
14 and they were interested in that. They we made them aware  
15 that we were going to initiate a waterflood and they didn't  
16 indicate any desire whatsoever to enter the unit.

17 I don't know whether they felt they would  
18 get response anyway, given the location of our, you know,  
19 Nc. 7 Well, or whether they were in a budget -- budget  
20 crunch and didn't have the money for sharing the cost.

21 Q Is this -- this is all a State lease?

22 A Yes, sir.

23 Q Okay, it's all commonly owned, I guess.

24 A I guess so. It won't take a unit, in  
25 other words, to form it.

1 Q Okay. Do you know how ARCO got their  
2 maximum injection pressure on to where it is at?

3 A Verbal conversations with their engineer,  
4 it was, of course, they ran some step rate tests, made sure  
5 they stayed below the, you know, the fracture pressure, and  
6 I think they talked with Mr. Sexton in -- in the Hobbs of-  
7 fice and pretty much arrived at at maximum injection rate  
8 that they were -- or pressure they were limited at.

9 Q Okay, but this was after they recovered  
10 ---

11 A Yeah, this flood was initiated in 1977.

12 Q So you feel that 1250 psi won't fracture  
13 anything above the San Andres.

14 A These wells, when they were fraced ini-  
15 tially, the fracture pressure was 4500 pounds, so we've  
16 still --

17 Q Bottom hole pressure?

18 A Bottom hole pressure, yes, sir, so we  
19 still should be, you know, well below the fracture pressure  
20 indicated by those early (unclear.)

21 Q So what happens when you -- when your  
22 percentage of water changes and you get more -- you get more  
23 brine, start injecting more brine? You think that's going  
24 to be any danger?

25 A We've calculated, even with a super-sat

1 urated solution using up gradient, we still will stay below  
2 the -- well below the fracture gradient. I don't anticipate  
3 that we'll ever get up to a .5 gradient level on our -- on  
4 our fluid. The chlorides are high but it's not super-satur-  
5 ated in the pipe.

6 Q Okay, would Sohio be willing to run one  
7 or two tests just to verify the --

8 A Yes, sir.

9 Q -- stabilized --

10 A Yes, sir. We're going to do some step  
11 rate tests just for our own protection to make sure we stay  
12 below fracture pressure. We, you know, it's in our own in-  
13 terest to stay below it. We don't have any intentions of  
14 injecting above it.

15 MR. CATANACH: Okay, I think  
16 that's all I have at this time of the witness. He may be  
17 excused.

18 Mr. Ives, did you make note of  
19 all that you needed to submit?

20 MR. IVES: I think we have all  
21 the --

22 A Yes, we've got it here.

23 MR. IVES: -- information lis-  
24 ted here.

25 MR. CATANACH: Okay. And going

1 by the corrections that you made in the application, I don't  
2 think that additional notice is necessary to any offset  
3 operators; it's not that important, so just go with what you  
4 have and as soon as you submit that other information, we'll  
5 just take the case under advisement.

6 A Okay.

7 MR. IVES: Great.

8

9

10 (Hearing concluded.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9260, heard by me on November 18 1987.

David R. Catnach, Examiner  
Oil Conservation Division