

dearnley, meier & associates

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BEFORE THE  
NEW MEXICO OIL CONSERVATION COMMISSION  
CONFERENCE ROOM, STATE LAND OFFICE BUILDING  
SANTA FE, NEW MEXICO

July 25, 1973

EXAMINER HEARING

IN THE MATTER OF:

Application of Yates Drilling  
Company for a unit agreement,  
Eddy County, New Mexico.

Case No. 5030

IN THE MATTER OF:

Application of Yates Drilling  
Company for a waterflood project,  
Eddy County, New Mexico.

Case No. 5031

BEFORE: Richard L. Stamets,  
Examiner.

TRANSCRIPT OF HEARING

dearnley, meier & associates

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BEFORE THE  
NEW MEXICO OIL CONSERVATION COMMISSION  
CONFERENCE ROOM, STATE LAND OFFICE BUILDING  
SANTA FE, NEW MEXICO

July 25, 1973

EXAMINER HEARING

IN THE MATTER OF:

Application of Yates Drilling  
Company for a unit agreement,  
Eddy County, New Mexico.

Case No. 5030

IN THE MATTER OF:

Application of Yates Drilling  
Company for a waterflood project,  
Eddy County, New Mexico.

Case No. 5031

BEFORE: Richard L. Stamets,  
Examiner.

TRANSCRIPT OF HEARING

1 MR. STAMETS: We will call next Case 5030:  
 2 Application of Yates Drilling Company for a unit agreement,  
 3 Eddy County, New Mexico.

4 MR. LOSEE: A. J. Losee, of Losee and Carson,  
 5 Artesia, appearing on behalf of the Applicant. We have one  
 6 witness we would like to be sworn.

7 MR. STAMETS: Are there other appearances in this  
 8 case?

9 (No response)

10 MR. LOSEE: Mr. Examiner, I would move to consolidate  
 11 for hearing purposes this case, Case 5030, and the waterflood  
 12 project, Case 5031.

13 MR. STAMETS: Without objection, Case 5030 and  
 14 Case 5031 will be consolidated for testimony.

15 \* \* \* \*

16 PEYTON YATES,  
 17 was called as a witness, and after being duly sworn according  
 18 to law, testified as follows:

19 DIRECT EXAMINATION

20 BY MR. LOSEE:

21 Q Would you state your name, please?

22 A Peyton Yates.

23 Q Where do you live, and what is your occupation?

24 A I live in Artesia, New Mexico, and I'm a petroleum  
 25 engineer.

1 Q What education and experience have you had in the field  
2 of a petroleum engineer?

3 A I graduated in 1965 from the University of Texas with  
4 a bachelor of science degree in petroleum engineering.  
5 In 1966, I received, from the same school, a masters  
6 degree in petroleum engineering.

7 Q Since your graduation, what experience have you had in  
8 the field of petroleum engineering?

9 A I was employed for a total of two years with Chevron  
10 Oil Company in Utah. That two-year period was followed  
11 by two years of service in the United States Army. In  
12 September of 1970, I went to work for Yates Drilling  
13 Company in Artesia, and have been there ever since.

14 Q And since you have joined Yates, have you been familiar  
15 with the Artesia field in Eddy County, New Mexico?

16 A Yes.

17 MR. LOSEE: Are Mr. Yates's qualifications acceptable?

18 MR. STAMETS: They are.

19 Q (By Mr. Losee) Would you state the purpose, first of  
20 Application 5030?

21 A The purpose of Application 5030 is to secure approval  
22 of the Artesia Metex Unit agreement, which consists of  
23 2016.93 acres, more or less, of State land.

24 Q And would you state the purpose of the application in  
25 Case 5031?

1 A There are several purposes. First of all, we would  
2 like approval of a waterflood project on the unit land  
3 that we have mentioned with 14 Grayburg injection wells.  
4 We also would like approval of a procedure to affect  
5 changes in the injection wells by administrative approval  
6 of the Commission without having to show response to  
7 the waterflood.

8 Q Please refer to what has been marked as Exhibit One,  
9 and explain what it portrays.

10 MR. STAMETS: Let me ask one question at this point.  
11 Do you anticipate that any of these additional injection wells  
12 might be at non-standard locations?

13 THE WITNESS: Mr. Examiner, there is the possibility  
14 where we have two wells on a 40-acre tract where I could  
15 anticipate in the future that there might be some non-standard  
16 locations.

17 MR. STAMETS: So to allow you additional injection  
18 wells as standard and non-standard wells no closer than  
19 330 feet from the boundary of the unit would be the sort of  
20 thing you would be looking for?

21 THE WITNESS: Yes, sir.

22 Q (By Mr. Losee) Please refer to what has been marked  
23 as Exhibit One, and explain what is portrayed by that  
24 exhibit.

25 A Exhibit One consists of a plat of the general area in

1 which the Artesia Metex Unit is proposed. It shows  
2 the land ownership in and around the unit area, and  
3 also shows the wells that have been drilled in and  
4 around the unit area.

5 Q Please refer to what has been marked as Exhibit Two--  
6 Or before we refer to Exhibit Two, Mr. Yates, would you  
7 give a brief statement of the history of the development  
8 of production in the Grayburg and Queen sands in the  
9 unit area?

10 A Yes, sir. The proposed unit area is within what is  
11 called the Artesia Queen Grayburg San Andres field.  
12 The discovery well was drilled in 1924. There was no  
13 further development of the field within this unit area  
14 until 1948, and by that time, the discovery well had  
15 produced over 63,000 barrels of oil.

16 Development started over again on a much increased  
17 scale and was completed by 1956, at which time there  
18 were 54 producing wells within the unit area. The  
19 unit area has produced 1,203,000 barrels of oil up to  
20 1/1/73. At present, there are 20 wells on production  
21 in the unit area, which produce 1 barrel of oil a day.

22 Q Now, would you refer to Exhibit Two and explain what  
23 is portrayed in this exhibit?

24 A We have more detail in Exhibit Two of the unit area.  
25 We have the unit outlined, the proposed tract numbers

1 for the tracts that will be included within the unit  
2 area.

3 We also have indicated the injection wells with  
4 a triangle drawn around each one of these proposed  
5 injection wells, of which there are fourteen.

6 Q How many available logs are there on these fourteen  
7 injection wells?

8 A There are six available logs.

9 Q Will you turn to Exhibit Number Three, and does this  
10 exhibit contain the logs on those six injection wells?

11 A Yes, with a possible exception of the San Andres not  
12 being reached in some of the wells. You can see on  
13 the first log portrayed that we did pick a well that  
14 would show the entire interval from the Queen through  
15 the San Andres, which is going to be the interval which  
16 will be unitized.

17 Q Would you point out-- I take it that Well No. 12 is a  
18 typical log of a typical injection well?

19 A That's correct. The production is primarily from the  
20 Metex zone, although there has been production from the  
21 Loco Hills zone. We anticipate most production to come  
22 out of the Metex.

23 Q Do you have any figures on the permeability and porosity  
24 in the Loco Hills and the Metex?

25 A We have one porosity log of a well drilled in Section 25

1 that was a deep well, and they ran the porosity across  
2 this interval, and it indicated a porosity of fifteen  
3 percent for the Metex.

4 We do have permeability for the Metex in an  
5 adjacent area, which indicates an average permeability  
6 in the area of 20 millidarcies.

7 Q Would you please refer to what has been marked as  
8 Exhibit Four, being diagramatic sketches on the 14  
9 injection wells, and describe this exhibit?

10 A Yes. sir. There are two types of wells that we have  
11 to deal with in this area, those that do not have  
12 production string at the present, and only have surface  
13 casing in them; and those that do have production string  
14 placed in them.

15 We have tried to indicate here which wells have  
16 casing already in them and which wells do not. By  
17 casing, I am speaking of production casing. In those  
18 wells that do not, we propose to do the following, and  
19 the first sketch in Exhibit Four is one of those wells.

20 Q That is Well No. 40 on Tract One, is that correct?

21 A Yes. We propose to run a 4 and a half inch casing  
22 to the total depth. As you can see, the total depth is  
23 indicated at the bottom of the sketch. We are going  
24 to cement the 4 and a half inch casing with 200 sacks  
25 of cement. We calculate the estimated top of the

1 cement to be around 1300 feet. We will then perforate  
2 the pay zones, the Loco Hills through the Metex, from  
3 1810 through 2010 feet and perforate the various sand  
4 intervals that are within that interval.

5 MR. STAMETS: I believe each of these exhibits  
6 has a little block on the right-hand side that explains what  
7 you propose to do with each individual well, and that would  
8 include any packing, is that right?

9 THE WITNESS: That's right, Mr. Examiner. You will  
10 notice on those wells that already have production casing  
11 within the block, we propose to set a 2 inch cement line  
12 tubing, because that's all we need to do with the well.

13 Q (By Mr. Losee) In this example, your cement is going  
14 to be an estimated 4 to 5 hundred feet above your  
15 perforations?

16 A That's correct.

17 Q And you run the cement and tubing and set it on a  
18 tension packer?

19 A Yes. Also on the sketch, we have listed when the well  
20 was completed, the elevation, total depth, the pay  
21 interval, when the well was completed in the perforations,  
22 and the initial treatment. As you will see, most of  
23 these were shot with nitroglycerin, from 200 to 400  
24 quarts. We have also indicated in each case the top  
25 of the Loco Hills formation on the lower left-hand side,

1 our thought being that that would be the uppermost  
2 zone that we will be injecting into.

3 We have also indicated on the drawings that we  
4 will have in addition to the cement line tubing that we  
5 will place on the casing a valve and gauge by which  
6 we can observe any packer leaking.

7 Q Now, there is one of these wells, the Edie C.K. No. 1  
8 where there was a question about production.

9 A Yes. We wanted to point out to the Commission that it  
10 has been reported to us by the operator of the well  
11 that there is 7 inch casing set in the well. We were  
12 unable to find a report of it in the Commission files,  
13 but we have taken the operator's word, and have it on  
14 the diagramatic sketch as being there.

15 We do not know, and neither does the operator, at  
16 what depth this casing may be set, or the amount of  
17 cement used to set it. Of course, once we re-enter the  
18 well, if we find out that the casing is not actually  
19 there, we intend to treat it as we would the other wells  
20 that do not have casing.

21 Q What is the proposed source of your water, Mr. Yates?

22 A We are negotiating with two firms at this time for  
23 fresh water from caprock, the Double Eagle Corporation  
24 and the Yucca Water Company.

25 Q And you would anticipate that one of those companies

1 would furnish the water?

2 A Yes.

3 Q Do you propose to re-inject your produced water?

4 A Yes.

5 Q Would this be through a particular well, or just any  
6 of the wells?

7 A We do not have any well in mind. It would probably be  
8 through all of the wells.

9 Q At what pressure do you propose to inject this water?

10 A The injection pressure would be 1500 pounds. Anything  
11 above that would possibly create unneeded fractures.  
12 We also plan to inject initially somewhere in the  
13 neighborhood of 5000 to 5500 barrels a day in the 14  
14 wells, and anticipate an average of 4200 barrels a day  
15 after we have the pressure for the unit.

16 Q Do you have an opinion as to whether the proposed casing  
17 method and injection method will protect any fresh water  
18 in the area?

19 A Yes.

20 Q What is that opinion?

21 A That it will. The methods we are taking to observe the  
22 annular pressure will assure us that the well will not  
23 be able -- that we will be able to determine if any  
24 water is escaping our casing and possibly contaminating  
25 fresh water areas.

1 Q Please refer to what has been marked as Exhibit Five,  
2 and explain what is detailed on this exhibit.

3 A Exhibit Five is a tabulation of accumulative production  
4 and present well production capabilities. We have  
5 listed all of the wells in the unit area, first under  
6 their old lease and well number, then the tract number  
7 and new well number.

8 Besides that, we have accumulative oil production  
9 for each well, and then besides that, we have listed  
10 the April, 1972 through April, 1973 monthly oil production.  
11 The purpose of this exhibit is to show the wells are  
12 presently in a stripper state.

13 You will notice in some cases, there are two wells  
14 listed on the same tract. These wells, as I mentioned  
15 earlier, are wells where we have two wells on the same  
16 40-acre tract. Their production was reported together,  
17 and we were unable to separate them.

18 Q What was the maximum monthly production in April of 1973  
19 for any of these wells?

20 A The maximum monthly production for any wells within  
21 this area was 78 barrels for the State 64 Well No. 110.  
22 As you notice, there were twenty wells on production  
23 in April of 1973, with an average production of 1 barrel  
24 a day each.

25 Q Do you have an opinion as to whether these wells are

1 in an advanced stage of depletion?

2 A Yes, I do.

3 Q And are they in such a condition?

4 A Yes, sir.

5 Q Your Exhibit Number Five shows that the accumulative  
6 production was 1,203,000 barrels of oil. Do you have  
7 an estimate as to the amount of oil that would be  
8 recovered by your waterflood project?

9 A Yes, we do. We estimate approximately 1,150,000 barrels  
10 of oil would be recovered.

11 Q And this is oil that would not be otherwise recovered  
12 except for a waterflood project?

13 A The most that I could possibly assign as remaining  
14 primary would be somewhere in the neighborhood of 15  
15 to 20 thousand barrels of oil.

16 Q Now, please refer to what has been marked as Exhibit  
17 Six, and explain what is detailed on this exhibit.

18 A Exhibit Six consists of a list of the tracts by tract  
19 number of the working interest ownership. We have  
20 listed those parties within each tract, and those that  
21 have signed up or that we have received a verbal  
22 commitment from or no commitment from.

23 As you can see, we have received something in the  
24 neighborhood of 98.9 percent commitment. The other  
25 parties have not replied at this time to our inquiries

1 as to whether or not they would participate.

2 Q And those two tracts upon which you have not either  
3 received a sign-up or a verbal commitment are tract  
4 8 and tract 22, is that correct?

5 A That's correct.

6 Q Is that represented on your Exhibit Number Two by the  
7 two exterior tracts in which Kersey Company is the  
8 operator?

9 A That's correct.

10 Q Do you think the commitments you have give you substantial  
11 control of the unit area?

12 A Yes, we do. And I might add also that we really do not  
13 anticipate any problem with those parties that are  
14 listed as not having committed themselves. We do  
15 believe this will be resolved.

16 Q Now, please turn to what has been marked as Exhibits  
17 Seven and Eight, being the unit agreement and the unit  
18 operating agreement for the Artesia Metex Unit Area,  
19 and explain the proposed allocation formula.

20 A The proposed formula for participation is based upon  
21 eighty-five percent of accumulative production and  
22 fifteen percent surface acreage of the tract.

23 Q Would you explain how the formula was arrived at?

24 A The formula was arrived at by negotiations between the  
25 working interest owners. The purpose of using the

1 surface acres would be necessary in order to account  
2 for the fact that there were in many cases two wells  
3 on one forty-acre tract.

4 Q Has this unit agreement been approved by the Commissioner  
5 of Public Lands?

6 A We have received approval from the Commissioner of  
7 Public Lands as to form of the agreement. The date of  
8 that letter we received was June 16th of this year--  
9 Pardon me, June 12th of this year.

10 Q Have you issued an invitation to all working and  
11 overriding royalty owners to join the unit?

12 A Yes, we have.

13 Q Were Exhibits One through Seven prepared by you or under  
14 your direction?

15 A Yes, sir.

16 MR. LOSEE: We move for the introduction of Exhibits  
17 One through Seven.

18 MR. STAMETS: Without objection-- Let me ask you  
19 one thing. I have here Exhibit Seven and Exhibit Seven-B.

20 MR. LOSEE: Let's call them One through Seven-A  
21 and Seven-B.

22 MR. STAMETS: Without objection, Exhibits One through  
23 Seven-A and Seven-B will be admitted in evidence.

24 (Whereupon the aforementioned exhibits were entered  
25 in evidence.)

1 MR.LOSEE: That concludes our direct examination.

2 \* \* \* \*

3 CROSS EXAMINATION

4 BY MR. STAMETS:

5 Q Mr. Yates, do you know if there are any old holes  
6 plugged and abandoned inside the unit area which might  
7 not be properly plugged and abandoned under today's  
8 plugging procedures?

9 A Sir, I know there are plugged and abandoned wells within  
10 the unit area, but I cannot tell you whether they were  
11 properly plugged and abandoned under today's procedure.

12 Q Have you looked into it enough to see if these would  
13 give you any trouble with water escaping up hole into  
14 the dry formations?

15 A We considered the possibility, but I have not gone  
16 into all the producing wells. One of the wells was  
17 re-entered, and it is plugged and abandoned. I do  
18 feel this one was properly plugged and abandoned, but  
19 I have not looked into the wells. We have considered  
20 the problem as to whether or not there will be trouble  
21 with some of the abandoned wells, and there is this  
22 possibility.

23 Q What would the operator intend to do if one of these  
24 old abandoned wells should start flowing oil or water  
25 or both?

1 A Well, if it would flow oil, we would try to run a  
2 production string down and complete it. If it were  
3 too wide, or if we saw any signs of fluid coming from  
4 one of these wells, we would take steps to either plug  
5 and abandon the well properly or to complete the well  
6 properly.

7 Q If I understand you, at this time, you propose to  
8 inject only into the Loco Hills and the Metex zones of  
9 the Grayburg?

10 A This is correct.

11 Q Do you anticipate--

12 A May I expand on that?

13 Q Yes.

14 A There is a possibility we might want to inject into  
15 the Premier sand of the Grayburg, although we are not  
16 very hopeful of the Premier, based on other parties'  
17 experiences. At this time, I could not say we would  
18 want to inject into the Queen sand intervals, but  
19 there is a possibility that we may wish to come to you  
20 in the future to do so. But I do not see that at this  
21 time.

22 Q On your series of exhibits labeled Number Four, you  
23 show packers, but you don't indicate where these will  
24 be set. Have you made a determination as to where  
25 these would be set? Would these all be within one

1 hundred feet of the injection interval?

2 A Yes, sir. I would like to point out on the right  
3 center of the page on each sketch, we have stated where  
4 we intend to set the packer.

5 Q So as an example, on the first page, the packer would  
6 be set at 1785 feet?

7 A Yes, sir. I think we have stated that on every one of  
8 them.

9 Q Looking further down on this exhibit, I find that the  
10 K Well No. 1 was set with 75 sacks of cement. Do you  
11 think that is a sufficient amount of cement to protect  
12 the casing and the hole with 1500 pounds of pressure?

13 A I remember seeing that 75 sacks, and I wondered myself  
14 at that time whether it would be sufficient. I think  
15 we will be able to tell, and if we have any problem  
16 with losing pressure or with losing water-- We will,  
17 of course, monitor the wells with radio-active tracers,  
18 and if there is any sign of communication-- This will  
19 be one well we will watch carefully, and if there is  
20 any sign of communication, we will take remedial measures  
21 to get more cement down there.

22 Q If water were to escape vertically behind the pipe,  
23 would it tend to come up the annular space between the  
24 5 and a half and 8 and five-eighths inch casing?

25 A It would, yes. If it got above the calculated top of

1 the cement or above the actual top of the cement, yes,  
2 it would.

3 Q So if there was some method of monitoring that annular  
4 space, at least that type of leaking could be detected?

5 A Right.

6 Q I have essentially the same set of questions relative  
7 to the Gulf State No. 1. There are eighty-five sacks  
8 of cement. Would your answer be roughly the same in  
9 that case?

10 A Yes, it would.

11 Q And of course, the same applies to the C.K. State "W"  
12 without the 7 inch casing which may or may not be there?

13 A Yes, sir.

14 Q And the Edie "C" State with 40 sacks of cement?

15 A Yes.

16 Q Mr. Yates, do you get out in the field quite a bit?

17 A Yes, sir.

18 Q Are you familiar with the injection wells of your  
19 operations, your other operations?

20 A Yes, sir.

21 Q Are those wells equipped with gauges that can be read  
22 on the annular space? I know almost every order we  
23 write says there will be one, is this actually being done,  
24 to your knowledge?

25 A Yes, to my knowledge, it is. We have requested field

1 personnel to put them on. In fact, I think, if I  
2 remember correctly, we have experienced pressure increase,  
3 and witnessed it with a gauge.

4 Q On the annular space between the injection tubing and  
5 the casing?

6 A Yes, sir.

7 Q And this would indicate a repair was needed?

8 A Yes, sir.

9 Q What happens to gauges in the oil fields that are left  
10 out in the open?

11 A Well, obviously they aren't any good after a few years,  
12 they rust. The best technique is to have them fixed  
13 up, and in a routine manner, your company will check  
14 the gauges, use portable gauges to check the regular  
15 gauges.

16 Q Is this a standard type of gauge that the Commission  
17 could acquire and utilize over a wide area?

18 A I don't see why not, sir. That would be up to the  
19 Commission. I would think that the Commission could  
20 find a standard type gauge, yes. Really, sir, the only  
21 thing I would say is any sign of pressure, even a gauge  
22 that might read a few pounds over, probably would be  
23 adequate.

24 Q Is there a more foolproof, easy-to-see, attention-  
25 attracting device, gauge or system, to determine leakage

1 in injection wells?

2 A Yes, you can take the gauge off, and if you see water  
3 coming out, it would certainly attract attention. I  
4 don't know of any other simple procedure.

5 Q So just having the annulus open in your opinion is  
6 more effective than having a gauge opened?

7 A Yes.

8 Q What about a well taking water under vacuum?

9 A If you had a leak behind the casing?

10 Q Right.

11 A You would not be able to witness it either with a gauge  
12 or by other detection. The only way you could determine  
13 this is by routine measurements, trying to determine  
14 it with some kind of survey.

15 Q But you are not anticipating this, you would expect  
16 the pressure to increase?

17 A Right. If we did not get pressure, we would go in  
18 and find out why not.

19 Q Getting back to the C.K. No. 7, you would work with  
20 the Commission's District Office in coming up with  
21 an appropriate program of completing this well which  
22 would protect the fresh waters of the zones in the area?

23 A We would be most happy to, yes.

24 Q I have one other question. On your Exhibit Number Two,  
25 in Section 30 of 18, 28, in the Southwest quarter of

1 the Northwest quarter, Tract 22, you show an injection  
2 well, and this is one of the parties that you have  
3 some indication may not join. Would this cause any  
4 great problem to the project?

5 A No, sir. I would anticipate, number one, if the party  
6 did not join, that we would obviously not use that  
7 injection well, and would probably try to change the  
8 injection well immediately to the west of the No. 108  
9 in order to better protect the oil that would be  
10 within the unit area.

11 However, I would like to point out with respect  
12 to the tract and the uncommitted party that the party  
13 has expressed some interest in possibly selling his  
14 interest. He just said that he really wasn't interested  
15 in a waterflood project, but we do not think that  
16 non-commitment is non-cooperation.

17 MR. STAMETS: Are there any questions of the  
18 witness?

19 (No response)

20 MR. STAMETS: If not, the witness may be excused.

21 (Witness excused.)

22 MR. STAMETS: Is there anything further in Cases  
23 5030 and 5031?

24 (No response)

25 MR. LOSEE: I have no statement in either of the

dearnley, meier & associates

209 SIMMS BLDG. P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 cases.

2 MR. STAMETS: In that case, Cases 5030 and 5031  
3 will be taken under advisement.

4 \* \* \* \*

5  
6 STATE OF NEW MEXICO )  
7 ) ss  
8 COUNTY OF BERNALILLO )

9 I, RICHARD E. McCORMICK, a Certified Shorthand  
10 Reporter, in and for the County of Bernalillo, State of New  
11 Mexico, do hereby certify that the foregoing and attached  
12 Transcript of Hearing before the New Mexico Oil Conservation  
13 Commission was reported by me; and that the same is a true  
14 and correct record of the said proceedings to the best of  
15 my knowledge, skill and ability.

16 *Richard E. McCormick*  
17 CERTIFIED SHORTHAND REPORTER

18  
19  
20  
21  
22 I do hereby certify that the foregoing  
23 a complete record of the proceedings  
24 the Executive hearing of Case No. 5031  
25 said by me on *July 25* 1973  
*Richard E. McCormick*  
New Mexico Oil Conservation Commission

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25I N D E XWITNESSPAGE

PEYTON YATES

Direct Examination by Mr. Losee 3

Cross Examination by Mr. Stamets 16

E X H I B I T SEXHIBITADMITTED OFFERED

Applicant's #1	Plat	15	5
Applicant's #2	Map	15	6
Applicant's #3	Logs	15	7
Applicant's #4	Sketches	15	8
Applicant's #5	Tabulation	15	12
Applicant's #6	List of tracts	15	13
Applicant's #7-A	Unit agreement	15	14
Applicant's #7-B	Unit operating agreement	15	14