

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
Santa Fe, New Mexico
June 22, 1977

EXAMINER HEARING

IN THE MATTER OF:)
)
)

Application of Texaco Inc. for statutory) CASE
unitization, Lea County, New Mexico.) 5970
)

BEFORE: Richard L. Stamets, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the New Mexico Oil Conservation Commission: Lynn Teschendorf, Esq.
Legal Counsel for the Commission
State Land Office Building
Santa Fe, New Mexico

For the Applicant: Ken Bateman, Esq.
WHITE, KOCH, KELLY & McCARTHY
Attorneys at Law
220 Otero Street
Santa Fe, New Mexico

For Phillips Petroleum Co.: W. Thomas Kellahin, Esq.
KELLAHIN & FOX
Attorneys at Law
500 Don Gaspar
Santa Fe, New Mexico

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

I N D E X

	<u>Page</u>
1	
2	
3 <u>MORRIS S. TODD</u>	
4 Direct Examination by Mr. Bateman	3
5 Cross Examination by Mr. Stamets	18
6 Redirect Examination by Mr. Bateman	56
7 Cross Examination by Mr. Stamets	60
8 <u>ROBERT E. DAVIS</u>	
9 Direct Examination by Mr. Bateman	19
10 Cross Examination by Mr. Stamets	22
11 <u>ROBERT J. ANTHONY</u>	
12 Direct Examination by Mr. Bateman	23
13 Cross Examination by Mr. Stamets	33
14 Cross Examination by Mr. Stamets	52
15 <u>W. J. MUELLER</u>	
16 Direct Examination by Mr. Kellahin	38
17 Cross Examination by Mr. Bateman	44
18 Cross Examination by Mr. Stamets	45
19 Redirect Examination by Mr. Kellahin	46
20 Cross Examination by Mr. Stamets	49
21	
22	
23	
24	
25	

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

EXHIBIT INDEX

	<u>Offered</u>	<u>Admitted</u>
1		
2		
3	5	17
4	6	17
5	6	17
6	6	17
7	8	17
8	8	17
9	10	17
10	10	17
11	10	17
12	16	17
13	16	17
14	16	17
15	21	22
16	24	32
17	25	32
18	26	32
19	28	32
20	28	32
21	29	32
22	39	44
23	46	52
24		
25		

1 MR. STAMETS: We will call next Case 5970.

2 MS. TESCHENDORF: Case 5970, application of Texaco,
3 Inc. for statutory unitization, Lea County, New Mexico.

4 MR. STAMETS: Call for appearances in this case.

5 MR. BATEMAN: Mr. Examiner, I'm Ken Bateman, White,
6 Koch, Kelly and McCarthy, appearing for the applicant.

7 MR. KELLAHIN: Tom Kellahin, Kellahin and Fox,
8 appearing on behalf of Phillips Petroleum Company.

9 MR. BATEMAN: I have three witnesses and ask that
10 they be sworn.

11 MR. STAMETS: Would all of the witnesses stand and
12 be sworn at this time?

13 (THEREUPON, the witnesses were duly sworn.)

14
15 MORRIS S. TODD
16 called as a witness, having been first duly sworn, was examined
17 and testified as follows:

18
19 DIRECT EXAMINATION

20 BY MR. BATEMAN:

21 Q. Would you state your full name, your address and
22 place of employment, please?

23 A. My name is Morris S. Todd, I live in Midland, Texas
24 and I'm employed by Texaco, Inc. as a petroleum engineer.

25 Q. What is your title with Texaco?

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (305) 982-9212

1 A. Currently it is Division Unitization Engineer.

2 Q. Have you previously testified before the Commission
3 and had your qualifications made a matter of record?

4 A. No, sir.

5 Q. Would you then briefly review your educational and
6 work experience?

7 A. I graduated in June, 1949 with a Bachelor of Science
8 in Petroleum Engineering from the University of Oklahoma, Norman,
9 Oklahoma. I was employed by Texaco after that and I have been
10 employed by Texaco as a petroleum engineer for twenty-eight
11 years.

12 Q. What is your experience with the unit which is the
13 subject of this application?

14 A. Well, I have been with this unitization effort
15 since its inception in about January of 1973, approximately four
16 and a half years.

17 MR. BATEMAN: Are the witness' qualifications
18 acceptable?

19 MR. STAMETS: Any objection?

20 MR. KELAHIN: No, sir.

21 MR. STAMETS: The witness is considered qualified.

22 Q. (Mr. Bateman continuing.) Would you briefly describe
23 what Texaco is seeking by this application today?

24 A. Texaco is applying for the creation of the Central
25 Vacuum Unit, Lea County, New Mexico, through statutory unitiza-

1 tion through the development of that unit area by the drilling
2 of injection wells on unorthodox locations and for a pressure
3 maintenance allowable equal to the top allowable, eighty barrels
4 per well per day times the number of wells.

5 Q Now, would you refer to what has been marked as
6 Exhibit One and describe the horizontal limits of the proposed
7 unit?

8 A Exhibit One is actually Exhibit A to the unit agree-
9 ment, it outlines the unit area, it includes twenty-nine leases
10 which have been numbered tracts one through twenty-nine and
11 seventy-six wells. It includes three thousand and forty-six
12 and two-tenths acres and like I said, it is outlined on
13 Exhibit One.

14 Q Would you briefly relate why the horizontal limits
15 are described as they are here?

16 A When this effort started back in January, probably
17 the first meeting was held in February of '73, it included
18 not only the unit area as outlined but it included Section 35
19 of 17 South, 34 East and it included the one hundred and
20 twenty acres in Section 31 that is within 17 South, 35 East
21 that you can see is entitled the Mobil "K" lease. Through
22 subsequent negotiations for unitization these areas were dropped,
23 leaving the boundary as it is outlined today.

24 Q Would you proceed then with what has been marked as
25 Exhibits Two, Three and Four to illustrate the change in the

1 unit boundary lines?

2 A. Well, we have -- we talked to these companies and
3 asked for their authority to use these exhibits, these letters
4 of theirs as exhibits, except Exhibit Two is a letter from
5 Phillips Petroleum Company dated February 10th, 1976 wherein
6 they ask that their M. E. Hale lease and their Mabel leases
7 in Section 35 be deleted from unitization efforts and with
8 that deletion that they would be very willing to go ahead and
9 put their Santa Fe leases within the unit and negotiate
10 participation and they are outlined as tracts 8, 8-A and 8-B.

11 Now figure three in its three-page part altogether
12 shows the withdrawal of Continental Oil Company for their
13 H-35 lease in Section 35, dated July 16th, 1976 and then a
14 letter dated August 31st, '76 wherein they asked to be
15 withdrawn from the unit and this request was recognized.

16 Then we have a letter from Mobil Oil Corporation
17 dated October 21st, 1976 wherein you see Mobil had at that
18 time three leases in the unit which two of them are identified
19 as tracts 13 and 19 within the unit boundary and through
20 negotiations they asked that their "K" lease be deleted from
21 the unit boundry and it was so done.

22 Now, all of these leases that have been dropped, it
23 is anticipated will be under unitization of some sort or
24 pressure maintenance by water injection we believe within a
25 year to a year and a half's time so every lease out here will

1 be afforded the opportunity of benefiting from water injection,
2 secondary recovery.

3 Q In your opinion then can the unit as now described be
4 officially operated as a pressure maintenance project?

5 A Yes, we believe it can.

6 Q Are there other pressure maintenance projects in
7 the immediate area?

8 A Yes, adjacent to and southwest of our proposed
9 Central Vacuum Unit is our Vacuum Grayburg-San Andres Unit
10 which is a hundred percent Texaco operated project.

11 Adjacent to and west of Section 35, 17 South, Range
12 34 East is the West Vacuum Unit.

13 I might say the Vacuum Grayburg-San Andres Unit
14 has been in operation for approximately four years. Now,
15 the West Vacuum Unit operated by Texaco has been in operation
16 approximately ten years and, of course, on further west of
17 them, that is the recently created State Vacuum Unit operated
18 by Atlantic Richfield in which Texaco owns an interest and then
19 I might add with the development of Section 35 as a unit,
20 probably, and the continued operation to the east, Phillips
21 Petroleum Company is actively pursuing the formation of the
22 East Vacuum Unit, the entire Vacuum Grayburg-San Andres Pool
23 will be under unitization and pressure maintenance, water
24 injection.

25 Q In addition there is the North Vacuum Abo Unit, I

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 believe?

2 A. Yes, the North Vacuum Abo Unit operated -- of course,
3 that's a deeper formation and then overlying the North Vacuum
4 Abo Unit is Mobil's Bridges State Unit.

5 Q. All right, have you prepared a list of working
6 interest owners and offset operators in this matter?

7 A. Yes, we have, that is Exhibit Five. It is prepared
8 in a manner to show that all of the participants, working
9 interest participants in the unit and the offset operators
10 and there is a note that said if an offset operator is also
11 a working interest owner he is listed as a unit working
12 interest owner.

13 Q. Proceed then with Exhibit Number Six and describe
14 the unitized formation?

15 A. The unitized formation is described in the unit
16 agreement, if I might refer to it, under article two, paragraph
17 J, where it says, the unitized formation means the Grayburg-
18 San Andres formation identified between the depths of thirty-
19 eight fifty-eight feet and forty-eight fifty-eight feet on
20 the Welex Acoustic Veleocity log run on November 15th, 1963
21 in the Texaco State of New Mexico "O" NCT-1 Well No. 23 located
22 in the southwest-southeast of Section 36, Township 17 South,
23 Range 34 East, Lea County, New Mexico and it is to include all
24 subsurface points throughout the unit area correlative to
25 those identified depths.

1 Now, Well 23 is not a well that is to be a unit well
2 but it is a twin to Well No. 10 and Well No. 23 was used as
3 an identifying well because it drills to a deeper formation,
4 through the formation, and it is a later, more modern log and
5 pretty well identifies it to us and this was selected by the
6 Engineering Committee for an example log.

7 Now the top of the log is Exhibit Number Six, you
8 can see thirty-eight fifty-eight, the top of the Grayburg
9 and you can see the entire proposed unitized interval to the
10 base of the pay and it also includes the top of the San Andres
11 pay which delineates or outlines the Grayburg versus the
12 San Andres in this unitized interval.

13 Q. You mentioned the selection of this well by the
14 Engineering Committee, would you just briefly relate what
15 the Engineer Committee is and what it was composed of?

16 A. The Engineering Committee when this unit effort
17 started, working interest owners met in February of '73, they
18 formed an Engineering Committee comprised of representatives
19 of practically all of the companies and they met at approxima-
20 tly thirteen official meetings and they developed the engineer-
21 ing justification and the basis upon which they gave parameters
22 and basis upon which we could create this unit. They drew the
23 maps, they picked the pay, they did all of the engineering
24 features necessary to form the basis for this unit.

25 Q. Thank you. Was a structure map prepared then in

1 this manner?

2 A. The Committee prepared a structure map which we
3 offer as Exhibit Number Seven which somewhat outlines the
4 areal extent of the proposed unitized formation and shows that
5 it not only exists in Well No. 23 but it exists throughout the
6 unit area.

7 Q. Now has the unit agreement and the unit operating
8 agreement been prepared and circulated among the various
9 working interest owners?

10 A. Yes, sir, it has.

11 Q. Is that Exhibits Eight and Nine?

12 A. Yes, sir.

13 Q. Does the unit agreement contain a participation
14 formula by which the produced unitized hydrocarbons are to
15 be allocated among the separately owned tracts?

16 A. The formula for participation is outlined in the
17 unit agreement, article thirteen, page six, wherein it is
18 outlined that there are five parts to the formula that were
19 arrived at through negotiations. It's twenty percent weight
20 to the tract percent of current unit oil production for the
21 period May 1st, '75 to November 1st, '75, plus ten percent
22 weight to the tract percent of unit remaining primary oil
23 reserves as of November 1st, '75, plus twenty-seven and a half
24 percent weight to the tract percent of unit cumulative oil
25 production as of November 1st, '75, plus twenty-two and a

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 half percent weight to the tract percent of unit net hydrocarbon
2 pore volume, plus twenty percent weight to the tract percent
3 of ultimate primary oil recovery. All of those weightings
4 should add up to a hundred percent, if they don't we're in
5 trouble.

6 Q You mentioned that this formula was developed
7 through negotiations, would you explain your remark on that?

8 A Well, there were four meetings held through which
9 negotiations were conducted for the selection of this formula
10 which is the basis of participation in these agreements.
11 Actually during these four meetings there were thirty-seven
12 formulas proposed and those were proposed by, some by each
13 and every company. Negotiations were, you might say, rather
14 vigorous throughout. As a matter of fact, we tried to give
15 up two or three times but we couldn't even get agreement on
16 that so actually formula thirty-eight is a compromise formula
17 which developed following the fourth meeting and the negotia-
18 ting period covered a period of approximately four months and
19 then circulated by letter ballot and given approval by the
20 working interest owners.

21 Q In your opinion is the formula fair, reasonable and
22 equitable to all participants in the unit?

23 A Yes, we believe that it is.

24 Q To your knowledge what is the extent of the approval
25 of the unit agreement today?

1 A. Well, we have that testimony by a landman, I think
2 it's approximately eighty-three percent by working interest.

3 Q. Are you familiar with all of the terms and conditions
4 of the unit agreement and unit operating agreement, I believe?

5 A. I believe so.

6 Q. Does the unit operating agreement contain a provision
7 for credits and charges to be made in the adjustment among
8 the owners in the unit area for their respective investments
9 in wells, tanks and other personal property?

10 A. That is contained in the unit operating agreement,
11 Exhibit Nine, article ten, page six and it's entitled "invest-
12 ment adjustments" and shortly after the unit, when it is
13 formed and created and becomes effective, there will be a
14 unit inventory taken of all of the equipment contributed to
15 the unit by the various operators. The working interest owners
16 in committee will act to price this inventory and evaluate it.
17 Now if a participant who contributes equipment to the unit
18 contributes a value of equipment that is greater than his
19 unit participation is equal to, you see his unit participation
20 times a total value, then he receives money in the adjustment.
21 If his contribution of equipment is less than that calculated
22 by his unit participation, then he pays, and then the unit
23 operator, acting as such, collects all of the monies from those
24 who pay and disburses it to those who receive and in this way
25 in the future after the unit is formed, everybody owns alike

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 and according to the unit participation and all of the equipment
2 that is contributed to the unit.

3 Q. All right, sir, does the unit operating agreement
4 contain a provision governing how the cost of the unit opera-
5 tions, including capital investments, shall be determined and
6 charged to the separately owned tracts?

7 A. Yes, sir, that is contained in the unit operating
8 agreement, article twelve, page eight and it merely states
9 in brief, that the unit operator will initially pay all costs
10 and then bill everybody monthly for their share in accordance
11 with their unit participation.

12 Q. Does it also provide a method for the collection of
13 those costs in the event that an owner does not pay?

14 A. Yes, sir, there is a lien provision in there, I'm at
15 a loss to quote the article right now, but in brief, in the
16 event somebody fails to pay his bills and that usually runs
17 over three or four months before you recognize it, why the unit
18 operator and the unit, working interest owners in the unit,
19 have a lien on all of that operator's share of the unit equip-
20 ment and his share of unit production with his unit production
21 primarily being used to satisfy that lien or his unpaid
22 portion of the unit expense, unit investment, plus a reasonable
23 interest which in this agreement is set out to be ten percent.

24 Q. Was that interest rate also determined by negotiations?

25 A. Yes, sir, it was.

1 Q Do the agreements contain a provision designating
2 the unit operator?

3 A Yes, they do, it's twice. Texaco is designated the
4 unit operator in the unit agreement by article six, page
5 four and coincidentally it is mentioned also in the unit
6 operating agreement as article six, page four of that agreement.

7 Q Does that provision also provide for the removal
8 and substitution of the unit operator?

9 A The resignation or removal of a unit operator is
10 within the unit agreement as article seven, page 4 and merely
11 states for "just cause", which is usually a pretty severe
12 thing, that an operator may be removed by an affirmative vote
13 of ninety percent of the working interest, excluding the vote
14 of the unit operator and that selection of his successor and,
15 of course, his removal, will be subject to the approval of
16 the Commissioner, meaning the Land Commissioner and his
17 successor can be selected by a favorable vote of sixty-five per
18 cent of the working interest owners but it also provides that
19 if the unit operator votes only to succeed himself or does
20 not vote then his successor can be selected with a vote of
21 fifty-one percent of those voting, excluding the voting
22 interest of the unit operator, subject to the approval of
23 the Commissioner.

24 Q The provision of voting, is there also another
25 provision for voting in the decision making process for the

1 matters to be decided by working interest owners?

2 A. Yes, that is provided for in the unit operating
3 agreement, it's article four, page three and it says that all
4 matters that come before the working interest owners for
5 the expenditure of money or other cause may be decided by
6 a favorable vote of sixty-five percent voting interest with
7 two or more working interest owners voting favorably.

8 Q. Does the agreement identify the time of the commence-
9 ment of unit operations and the circumstances under which
10 those operations shall be terminated?

11 A. The unit agreement, subject to the approval of the
12 Commission and the Commissioner in article twenty-five, page
13 eleven, provides that following first approval of the Commission,
14 followed by approval by the Commissioner and then by vote of
15 the working interest owners, that the unit will become
16 effective at seven A.M. on the first day of the month following
17 all of that procedure, that's the effective date.

18 Now the termination of the agreement is provided
19 in article twenty-seven, page twelve, with first the approval
20 of the Commissioner and then seventy-five percent of the work-
21 ing interest owners voting favorably, that unit operations can
22 no longer be conducted economically then this unit agreement
23 can be terminated.

24 Q. With respect to termination does that provision also
25 provide for accounting to the various interests in the event

1 of termination?

2 A. Yes, it makes a provision for that, there will be,
3 you might say or you say you are going to divide up the unit
4 equipment or the proceeds from the sale thereof to each and
5 every working interest owner.

6 Q. What is the estimated cost of the unit operations
7 over the balance of its productive life?

8 A. The investment costs are in the neighborhood of
9 eighteen million dollars.

10 Q. In your opinion will the estimated additional costs
11 of conducting pressure maintenance operations exceed the
12 estimated value of the oil, plus a reasonable profit?

13 A. No, sir.

14 Q. Has tentative approval of the unit agreement been
15 obtained from the New Mexico Land Commissioner?

16 A. Yes, it has by a letter dated February 17th, 1977.
17 It has given us tentative approval and outlined the procedure
18 to follow in the event of approval by the Commission.

19 Q. That's Exhibit Number Ten, is that correct?

20 A. Yes, sir.

21 Q. Now do you have a market for the increased produc-
22 tion of oil and gas?

23 Q. Yes, the predominant purchaser out there of the
24 oil is Texas-New Mexico Pipeline Company and Exhibit Eleven
25 is a letter from them dated June 11, '77 stating that they can

1 handle all of the increased production that we will have.

2 Q. What about the gas production?

3 A. The principal gas producer out there is the Phillips
4 Petroleum Company and we have a letter from them dated
5 June 16th, 1977 saying that their Lea Gasoline Plant can
6 handle the anticipated increase in gas production.

7 Q. The letters you are referring to are marked
8 Exhibits Eleven and Twelve, is that correct?

9 A. Yes, sir.

10 Q. Were Exhibits One through Twelve prepared by you
11 or under your direction?

12 A. Yes, sir.

13 Q. In your opinion will the approval of Texaco's
14 application prevent waste, protect correlative rights and
15 result in a fair, reasonable and equitable share of production
16 to all parties concerned in the unit?

17 A. Yes, sir.

18 MR. BATEMAN: I offer Exhibits One through Twelve
19 at this time.

20 MR. STAMETS: These exhibits will be admitted.

21 (THEREUPON, Texaco Exhibits One through
22 Twelve were admitted into evidence.)

23 MR. BATEMAN: We have no further direct.

24 MR. STAMETS: Any questions of this witness?
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CROSS EXAMINATION

BY MR. STAMETS:

Q In response to Mr. Bateman's question you indicated that there would be an investment cost in this project of eighteen million dollars?

A Yes, sir, I believe we outlined that in our application.

Q Then in response to the next question, I'm not certain that I understood the answer. I believe Mr. Bateman asked you if the project which is envisioned here, if the additional recovery from that will pay back this eighteen million plus reasonable profit?

A Well, I understood the question to be that he said, will the extra cost exceed the proceeds from the sale of additional oil and that's why I answered, no.

Q So the answer is, yes, the additional recovery will exceed the eighteen million plus the return of a reasonable profit?

A Yes, sir.

MR. STAMETS: I misunderstood one side or the other of the question.

Are there any other questions of the witness? He may be excused.

(THEREUPON, the witness was excused.)

MR. BATEMAN: I would call Mr. Davis, please.

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ROBERT E. DAVIS

called as a witness, having been first duly sworn, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. BATEMAN:

Q. Would you state your full name, address and place of employment, please?

A. Robert E. Davis, Midland, Texas and I'm employed by Texaco, Incorporated.

Q. In what capacity are you employed by Texaco?

A. Senior Land Representative.

Q. Have you previously testified before the Commission?

A. No, I have not.

Q. Would you briefly relate your educational and work experience?

A. I'm a graduate of Baylor University and my tenure of service with Texaco covers a period of twenty-one years, beginning March of 1956. I have had various Land Department assignments and my current assignment involving secondary recovery projects covers a period of approximately two years.

Q. What is your familiarity with the area in question today?

A. I have been familiar with the Central Vacuum Unit for approximately one year. My first initiation with the

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Central Vacuum Unit began in June of 1976 at which time I
2 attended a working interest owners meeting.

3 MR. BATEMAN: Are the witness' qualifications
4 acceptable?

5 MR. STAMETS: Any questions of the witness?

6 MR. KELLAHIN: No objection.

7 MR. STAMETS: He is considered qualified.

8 Q. (Mr. Bateman continuing.) Mr. Davis, to what extent
9 have you been able to obtain the agreement of working interest
10 owners and royalty interest owners to the proposed unitization?

11 A. There are nineteen working interest owners with
12 varying unit participation. Of these nineteen owners, fifteen
13 have ratified the unit agreement and unit operating agreement.
14 The combined unit participation of the fifteen owners that
15 have ratified is eighty-three point four percent. There are
16 four owners, according to the exhibit, who have not ratified.
17 In my communication with my office this morning I have
18 learned that Norman B. Stovall, Junior, one of the four
19 unsigned working interest owners contacted our office and
20 states that he will sign.

21 As to royalty owners, overriding royalty owners,
22 there are eleven in number, seven of the overriding royalty
23 and royalty owners have signed and ratified the unit agreement.
24 I will make a qualification to that statement. The State of
25 New Mexico which is the principal royalty owner has not

1 actually signed but they have indicated by letter that they
2 have examined the unit agreement, unit operating agreement,
3 and tentatively approve it and will sign upon approval by
4 the Oil Conservation Commission.

5 Q Now, you are referring to what has been marked as
6 Exhibit Thirteen, are you not?

7 A Yes, sir, I am.

8 Q Which is a resume of the percent participation at
9 this point?

10 A Yes, sir.

11 Q Will you please describe the extent to which you
12 have gone to obtain approval of all of the parties concerned?

13 A I have made contacts personally, I have also made
14 contacts principally by telephone and by correspondence.

15 Q In your opinion have you made a good faith effort
16 to secure voluntary unitization of the pool?

17 A Yes, I have.

18 Q Are you aware of any substantial objection on the
19 part of any unsigned interests to the proposed unitization?

20 A No, I'm not.

21 Q Do you have in your possession executed applications
22 by all of the parties indicated on Exhibit Thirteen?

23 A Yes, I have.

24 Q Other than the State of New Mexico?

25 A Yes, sir.

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q Was Exhibit Thirteen prepared by you or under your
2 direction?

3 A Yes, it was.

4 MR. BATEMAN: I offer Exhibit Thirteen at this time.

5 MR. STAMETS: Exhibit Thirteen will be admitted.

6 (THEREUPON, Texaco Exhibit Thirteen was
7 admitted into evidence.)

8 MR. BATEMAN: That completes the direct.

9 MR. STAMETS: Are there any questions of this
10 witness?

11 MR. KELLAHIN: No.

12

13 CROSS EXAMINATION

14 BY MR. STAMETS:

15 Q Mr. Davis, did you indicate what percentage of unit
16 participation these seven royalty interests account for?

17 A They account for ninety-nine point three three
18 percent of the total royalty and overriding royalty interests.

19 MR. STAMETS: Any other questions of the witness?

20 He may be excused.

21 I have one question, I'm sorry. The unit participa-
22 tion, that is based on the unit formula, is that correct?

23 MR. DAVIS: Yes. The unit participation of each
24 working interest owner is derived from the unit agreement as
25 outlined in the exhibit, the unit agreement.

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 MR. STAMETS: And it's not based on acreage but an
2 allocation formula?

3 MR. DAVIS: Very definitely, yes.

4 MR. STAMETS: That's all. Thank you.

5 (THEREUPON, the witness was excused.)

6 MR. BATEMAN: I call Mr. Anthony.

7

8 ROBERT J. ANTHONY

9 called as a witness, having been first duly sworn, was examined
10 and testified as follows:

11

12 DIRECT EXAMINATION

13 BY MR. BATEMAN:

14 Q Would you state your full name, please, your
15 address and place of employment?

16 A I'm Robert J. Anthony, I live in Lovington, New Mexico
17 and I'm employed by Texaco.

18 Q In what capacity are you employed?

19 A I'm a District Reservoir Engineer.

20 Q Are you familiar with the area in question today?

21 A Yes, I am.

22 Q Have you previously testified before the Commission?

23 A No, I have not.

24 Q Would you then briefly relate your educational and
25 work experience?

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q I graduated from the University of New Mexico in
2 1964 with a BS in mechanical engineering. I was employed
3 immediately thereafter by Texaco as a petroleum engineer and
4 I have been assigned to the Lovington area in the Hobbs
5 District of Operation for the past thirteen years.

6 Q Did you participate in the Engineering Committee
7 involved in this unit?

8 A I have been with this Engineering Committee since
9 its inception in 1973.

10 MR. BATEMAN: Are the witness' qualifications
11 acceptable?

12 MR. STAMETS: Any questions?

13 MR. KELLAHIN: No objection.

14 MR. STAMETS: The witness is considered qualified.

15 Q (Mr. Bateman continuing.) Please refer to Exhibit
16 Fourteen and generally describe the proposed pressure mainten-
17 ance operation in the unitized area and the plan of operation?

18 A The operations contemplated for the Central Vacuum
19 Unit area is pressure maintenance by water flooding. Exhibit
20 Number Fourteen is a plat showing the injection pattern with
21 the proposed well numbers. We intend to change these current
22 well numbering to this system on this map. It is planned to
23 implement a forty-acre five-spot flood pattern. The pattern
24 will be developed by drilling fifty-four injection wells and
25 converting one currently producing well to injection.

1 The triangles on Exhibit Fourteen indicate with the
2 small open dots in the center those wells that are to be
3 drilled. One well is to be converted down in Section 7, 18
4 South, 35, is indicated by Well No. 131 with the solid dot, it
5 should be solid, but it's not very.

6 MR. STAMETS: It's not very solid on my copy but
7 we'll fix that.

8 Q (Mr. Bateman continuing.) I notice there are no
9 injection wells around the unit boundary, would you explain
10 that?

11 A This is done purposely to protect correlative rights
12 until such time that cooperation can be obtained from all of
13 the offset units that are intended to be formed and at that
14 time the injection pattern will be expanded to the boundaries
15 of the unit.

16 Now, injection is to be into the Vacuum Grayburg-
17 San Andres formations within the interval to be unitized as
18 indicated previously from thirty-eight fifty-eight to forty-
19 eight fifty-eight.

20 Q Would you proceed then with Exhibit Fifteen and
21 describe a typical completion for an injection well?

22 A Exhibit Fifteen is a typical injection well comple-
23 tion. This is the completion we intend for the wells to be
24 drilled. We will set eight and five-eighths inch casing at
25 three hundred and fifty feet and circulate cement behind this

1 pipe. The well will be drilled to a total depth of approxi-
2 mately forty-eight hundred feet. Four and a half inch casing
3 will be set at total depth with sufficient cement circulated
4 behind the pipe to tie back to the eight and five-eighths. In
5 an aid to circulate the cement back to the surface pipe we
6 will use a cement stage tool at the base of the salt which in
7 this case is approximately twenty-five hundred feet.

8 Now, injection will be down internally plastic coated
9 tubing, two and three-eighths inch, set on the packer approxi-
10 mately fifty feet above the top perforations. Annular space
11 between the tubing and the four and a half inch casing will be
12 loaded with inhibited fluid to prevent corrosion.

13 Q I understand that one of the producing wells will be
14 converted into an injection well?

15 A Right.

16 Q That is Exhibit Sixteen?

17 A That is Exhibit Sixteen. This is currently Sun Oil
18 Company "B" lease State No. 7. On our Exhibit Fourteen it was
19 Well No. 131 as indicated. This is in the southwest quarter of
20 the northwest quarter of Section 7, Township 18 South, Range 35
21 East. This well was drilled to a total depth of forty-seven
22 hundred seventy-two feet. Surface casing was set, eight and
23 five-eighth inch at sixteen hundred and forty-nine feet, five
24 hundred and fifty sacks of cement circulated cement to the sur-
25 face. Four and a half pipe was set at forty-seven seventy-two.

1 Six hundred and fifty sacks of cement circulated cement to the
2 surface behind the four and a half. The well was perforated
3 from forty-four twenty-six to forty-seven twelve in the
4 San Andres formation. In converting this well to injection
5 it will be down two and three-eighths internally plastic coated
6 tubing as the other well with a packer set at approximately
7 forty-three seventy-six or fifty feet above the perforation.

8 Q. What is the proposed rate of injection?

9 A. Our initial injection rate is expected to be nine
10 hundred barrels of water per day per well. While we have
11 designed and applied for fracture pressure injection, we
12 request the fracture pressure limit not be applied in order
13 that injection rates can be maintained commensurate with
14 good engineering practice.

15 Q. Is the volume of injection water which is proposed
16 available for your use?

17 A. Injection water for the Central Vacuum Unit will be
18 made up of formation water produced from the unit and fresh
19 water from Texaco and Mobil water rights through water supply
20 wells in the Ogallala formation. We do have sufficient
21 fresh water to supply our needs.

22 Q. Do you anticipate any problem with corrosion in the
23 injection wells?

24 A. No, we do not.

25 Q. Will the structure take that volume of water at a

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 reasonable injection pressure?

2 A. We have designed for a thousand pounds, now with a
3 thousand pound injection pressure we feel we can get nine
4 hundred barrels of water per day on the average into the unit.
5 If we are limited to any pressure under that then we will not
6 be able to inject at these rates and it will curtail our
7 operations.

8 Q. Proceed then with Exhibits Seventeen and Eighteen
9 and describe the production both within the unit area and
10 within the surrounding area to the extent of two miles?

11 A. Exhibit Seventeen is a map of a portion of the
12 Vacuum field. On this map in the center the Central Vacuum
13 Unit is denoted by the crosshatched lines. The solid line
14 just outside of the Cental Vacuum Unit boundary indicates all
15 of those wells that have penetrated the San Andres pay within
16 a half a mile of the Central Vacuum Unit boundary.

17 The outer boundaries of this map indicate all of
18 the wells that penetrate the San Andres pay within two miles
19 of the Unit.

20 Now Exhibit Number Eighteen is a tabulation of all
21 of the wells penetrating the injection zone within the unit
22 and within one half mile surrounding the unit. This exhibit
23 shows the operator, lease name and well number, the surface
24 casing size, setting depth and cementing data; the inter-
25 mediate casing size, setting depth and cementing data; the

1 production or injection casing, as the case may be, setting
2 depth and cementing data, the total depth of each well, the
3 producing or injection interval, the location and any
4 plugging data and in the outer two columns we indicate the
5 ground elevation and the open-hole size of all of the wells
6 completed in the San Andres formation within the unit that
7 are to be unitized by this application.

8 Q In your opinion is the unitized operation and
9 development of this pool not reasonably necessary in order to
10 carry on an effective maintenance program?

11 A Yes, it is.

12 Q Could it be done economically on a cooperative
13 basis?

14 A It could be done economically but it would present
15 economic waste in that cooperation procedures would increase
16 the total investment in the area and probably operating
17 costs also which would result in economic waste.

18 Q In your opinion will the pressure maintenance
19 operation within the unitized area prevent waste and result
20 within a reasonable probability an increased recovery of
21 substantially more oil and gas from the pool?

22 A Yes, it will. Our Exhibit Number Nineteen is a
23 graph of predicted secondary response and the continued
24 primary performance for the Central Vacuum Unit. The dashed
25 lines along the lower part of the graph indicate the

1 predicted primary performance. The solid line indicates our
2 prediction of the secondary performance or the pressure
3 maintenance performance.

4 We predict that our increase in reserves from this
5 project will be forty-seven million eight hundred and sixty-
6 four million barrels.

7 Q All right, now, the economic limit is projected on
8 present prices, is that correct?

9 A That is correct. The economic limit for continued
10 primary is less than the indicated economic limit for secondary
11 operations because of the increase in operating costs due to
12 secondary operations.

13 Q Does Texaco have a request to make with regard to the
14 unit allowable to be assigned to the Central Vacuum Unit?

15 A Texaco is operator of the proposed Central Vacuum
16 Unit and requests that a project allowable be assigned to
17 the Central Vacuum Unit equal to the number of wells in the
18 Unit times top proration unit allowable of eighty barrels of
19 oil per day for the Vacuum Grayburg-San Andres Pool.

20 Q In referring to the number of wells you are including
21 injecting wells as well as producing wells?

22 A That is right. It will be a total of a hundred and
23 thirty-one wells times eighty barrels per day at the time of
24 completion of the initial drilling program.

25 Q At what point will the injecting wells be counted

1 when your formula has -- want to be considered in determining
2 the allowable?

3 A. Upon the date of the start of injection into that
4 well.

5 Q. Is there any precedent that you are aware of for
6 such an allowable?

7 A. This is the allowable granted to Texaco on their
8 Vacuum Grayburg-San Andres Unit which was initiated January
9 the first of 1972.

10 Q. In your opinion has the productive reservoir in the
11 proposed unit been reasonably determined by development?

12 A. Yes, it has, the Vacuum Grayburg-San Andres Pool was
13 discovered by Mobil Oil Company in their Bridges State Well
14 No. 1 in 1929. Development began in the Vacuum field in 1939
15 and continued over a period of approximately twenty years and
16 the development has sufficiently outlined the Vacuum productive
17 limits.

18 Q. Does your application also involve the approval of
19 injection wells at unorthodox locations?

20 A. Yes, it does.

21 Q. It has already been referred to but does Texaco
22 have a proposal for the name of the new unit?

23 A. Yes, our proposed name is the Central Vacuum Unit
24 in that it lies approximately in the center of the Vacuum
25 field.

1 Q. Were Exhibits Fourteen through Nineteen prepared by
2 you or under your direction?

3 A. Yes, sir, they were.

4 Q. In your opinion will the granting of Texaco's
5 application prevent waste and protect correlative rights?

6 A. Yes, it will.

7 Q. With respect to that would you want to expand your
8 remarks concerning offset operators of the unit?

9 A. Our injection plan as indicated on Exhibit Fourteen
10 leaves one row of producing wells outside of the injection
11 boundary. When the top allowable of eighty barrels of oil
12 per day is applied to each of these, any of these wells that
13 have the capability of producing eighty barrels or more will
14 be limited to eighty barrels of oil per day and, therefore,
15 will prevent any drainage across the Central Vacuum Unit lease
16 lines.

17 MR. BATEMAN: I offer Exhibits Fourteen through
18 Nineteen at this time.

19 MR. STAMETS: These exhibits will be admitted.

20 (THEREUPON, Texaco Exhibits Fourteen through
21 Nineteen were admitted into evidence.)

22 MR. BATEMAN: We have no further direct.

23 MR. STAMETS: Any questions of this witness?

24 MR. KELLAHIN: No, sir.

25

CROSS EXAMINATION1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. STAMETS:

Q. Mr. Anthony, you indicated that the annulus in these injection wells would be loaded with inhibited fluid. Do you propose to gauge those or leave them open to determine whether there is any leakage?

A. Yes, sir, each gauge will be gauged by a pressure gauge and these pressures are reported in our area offices twice monthly.

Q. Okay. Is this proposed project in an area where the Commission has found water circulating in the salt section and other zones that it is not supposed to be in?

A. Yes, sir, it is.

Q. Okay. Is one of the theories on why that water is there high injection pressures?

A. One of the theories is that it is caused by high injection pressures. It's not mine, incidentally.

Q. Do you have a better one?

A. Well --

Q. We had an extensive hearing the other day, there was a Texaco witness and I don't recall whether he presented a better explanation or perhaps any explanation at that time.

A. Because we have not been able to prove our theory any more than we can prove the fracture theory.

Q. The Commission in recent orders, recent actions, has

1 done a number of different things to attempt to eliminate
2 injection pressures such as to prohibit fracturing of the
3 confining strata. We have issued orders with a two-tenths of
4 a pound per foot wellhead pressure which in this case would be
5 slightly in excess of eight hundred pounds. We have also
6 allowed operators to file step-rate tests on individual wells
7 to make certain that the fracture pressure has not been exceeded.

8 If an order were issued limiting Texaco to two-
9 tenths of a pound per foot but providing for administrative
10 procedure for higher pressures than that, would that be an
11 acceptable order?

12 A. We can accept that on the basis of running step-rate
13 tests and getting increased pressures.

14 Q. It would be something to get you off the ground until
15 you had some water in the formation where you could take good
16 step-rate tests?

17 A. Yes, sir. May I ask a question?

18 Q. Certainly.

19 A. Is there any chance at all of the pressure limitation
20 being taken off if we are able to prove that fracture pressure
21 is not causing this water from going behind the pipe.

22 Q. To answer your question with another imponderable,
23 the underground injection control regulations being proposed
24 by the Federal Government have a fracture pressure limitation
25 in them and it may not be within our authority to go less or

1 go higher than fracture pressure.

2 A. We have to accept their controls?

3 Q. We can all take them to court, that would be about
4 the only option we would have under those circumstances and
5 their regulations speak of the confining strata and they are
6 not concerned with fractures within the formation itself, so
7 within those parameters I think there will be room for a
8 certain amount of leeway.

9 A. I hope they have to come out and take those tests
10 to determine what that fracture pressure is, I don't know
11 how to do it.

12 Q. Now I was looking at Exhibit Number Eighteen and
13 unfortunately this does not have the exact locations of those
14 wells or I haven't seen it. It makes it difficult but on
15 page two, it looks like the fifth well down, Continental's
16 H-35 No. 7, indicates a cement top at fifty-seven eighty on
17 the long string but I just went through and I marked it very
18 rapidly and in checking back here I see that there is inter-
19 mediate casing at forty-one eighty-nine so I don't believe
20 that's the problem. What I'm looking for is wells in there
21 which could represent channels for water getting out of the
22 injection zone of the hole. I think perhaps the H-35 No. 9
23 may be one of those with the intermediate casing set at
24 thirty-five hundred, the long string at ten nine and the top
25 of the cement at fifty-eight ten. It seems like that might

1 provide a channel for water?

2 A. Yes, sir.

3 Q. And there may be others on here as well upon later
4 examination, The State BA No. 6, Getty's Marathon McAllister
5 No. 7, Marathon Warren State, like perhaps No. 5 and No. 10
6 and the Mobil State DD No. 1, Phillips Santa Fe 7 Well and a
7 few others that I have marked in here.

8 I would point out that it has been the Commission's
9 policy in recent orders to not authorize any injection in
10 immediately offsetting wells that are plugged in a suspect
11 manner or which do not have adequate casing or cementing to
12 protect the injection zone until those have been repaired.
13 Also the Commission has written letters to other operators
14 for these wells requiring that they do cement them back in
15 accordance with its 104. I would just point that out for
16 your benefit and we may ask for a little more information on
17 these particular wells so that I can have the locations.

18 A. I'm sorry that was left off, apparently on some of
19 these pages that has been cut out, it was on here.

20 Q. Okay, I see. I was looking for the location over
21 there in the far left-hand side but here it is on the right-
22 hand.

23 A. It's on the right-hand side and I see that on some
24 pages it has been deleted and I'm sorry that happened. I
25 didn't know that had happened until you pointed it out.

1 Q Well, it's not at the same location, some pages it's
2 the last column and some it's the third from the last but it
3 looks like it's on every page I have here.

4 A Oh, yes, I see it's on the far right-hand side of
5 some pages and, yes, I see it now. I thought they were all on
6 there but I sure missed it when I put them in two different
7 places.

8 Q I would assume that some of these wells will be
9 project wells which Texaco could then initiate repairs on?

10 A Yes, sir. I haven't reviewed this closely to see
11 exactly which wells they are but that is a true statement. We
12 will repair any of these that are project wells and any Texaco
13 wells within the unit boundary or nearby that do not qualify
14 will be fixed too.

15 Q Perhaps before you leave today you might want to
16 review this list and see the wells that I have marked?

17 A Yes.

18 MR. BATEMAN: Incidentally, if I might try to clarify
19 something, on Exhibit Eighteen as I understood it, the ground
20 elevation and open-hole size on the two right-hand columns
21 on most of the pages are given only for wells within the
22 unit, is that correct?

23 A These are San Andres wells that are to be unitized
24 inside the unit. We did not give this information on all of
25 the other wells that penetrated the zone but went to some

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 other producing interval.

2 MR. STAMETS: Okay. Any other questions of this
3 witness? He may be excused.

4 (THEREUPON, the witness was excused.)

5 MR. STAMETS: Anything further, Mr. Bateman?

6 MR. BATEMAN: Nothing further.

7 MR. STAMETS: Mr. Kellahin.

8 MR. KELLAHIN: Call Bill Mueller.

9

10 W. J. MUELLER

11 called as a witness, having been first duly sworn, was examined
12 and testified as follows:

13

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Please state your name, by whom employed and in what
17 capacity?

18 A. My name is W. J. Mueller, M-u-e-l-l-e-r. I'm
19 employed by Phillips Petroleum Company as Reservoir Engineer-
20 ing Advisor in the Southwest Region Office, Odessa, Texas.

21 Q. Is the subject matter of the Texaco application
22 within your area of responsibility for Phillips Petroleum
23 Company?

24 A. Yes, sir, all of Southeast New Mexico is handled
25 out of the Regional Office.

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q Have you previously testified before the Commission
2 and had your qualifications as an expert witness accepted and
3 made a matter of record?

4 A Yes, sir.

5 MR. KELLAHIN: If the Examiner please, are the
6 witness' qualifications acceptable?

7 MR. STAMETS: They are.

8 Q (Mr. Kellahin continuing.) Mr. Mueller, will you
9 state for the Examiner what Phillips' position is, first of
10 all with regards to the statutory unitization?

11 A Phillips has no problem at all with the statutory
12 unitization here requested by Phillips. We are a proposed
13 seven point eight percent working interest owner in the unit
14 and we just haven't got all of our paperwork done at the
15 home office but to the best of my knowlege we will sign.

16 Q You intend to sign the operating agreement and the
17 unit agreement to participate in the unitized area, is that
18 correct?

19 A Yes, sir.

20 Q I show you what has been marked as Phillips Exhibit
21 Number One and ask you to explain to the Examiner the reasons
22 behind your two requests as set forth in that exhibit?

23 A The reasons behind these two requests are that
24 Phillips Petroleum Company has substantial production off-
25 setting the Central Vacuum Unit and we think that on this

1 request one there is enough doubt as to what future volume of
2 water injection may be or how it may be restricted that we do
3 not feel that the Central Vacuum Unit should be granted a
4 project or bonus allowable or additional allowable over and
5 above a project allowable equal to eighty barrels of oil per
6 day for each proration unit in that Central Vacuum Unit unless
7 it's tied to reservoir voidage replacement. In other words,
8 I think the bonus allowable in a pressure maintenance project
9 out there has to be tied or earned by voidage replacement.

10 Q. Let's go through the exhibit, if you would please,
11 and simply read it in its entirety so we can have an
12 opportunity to understand what you are proposing?

13 A. Okay. (Reading.) Phillips Petroleum Company as
14 an offset operator, hereby objects to the assignment of any
15 additional or special allowable over and above a project
16 allowable equal to the number of developed proration units in
17 the project times the top individual unit allowable, unless
18 the additional or special allowable is contingent upon full
19 reservoir voidage replacement of all produced fluids, that
20 is oil, gas and water. Phillips Petroleum Company therefore
21 recommends that the Special Rules and Regulations for the
22 proposed Texaco operated Central Vacuum Grayburg-San Andres
23 Pressure Maintenance Unit provide for an allowable assignment
24 as follows: "A project allowable equal to the top unit
25 allowable for the Vacuum Grayburg-San Andres Pool times the

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 number of developed forty-acre units in the project area plus
2 a special allowable equal to that percentage of the project
3 allowable by which net water injected, that is total water
4 injected minus the total water produced, exceeds the volumetric
5 equivalent reservoir voidage in barrels of the project allowable
6 and its associated produced gas." (End of reading.)

7 This would be on a monthly basis similar to a
8 pressure maintenance report probably required by the Commission
9 on all pressure maintenance fields where you nominate for an
10 allowable. We would visualize this as showing that the
11 actual injection was sufficient to replace the project
12 allowable voidage by some percentage and that would be granted
13 then as a special allowable and earned by injection.

14 Q You heard Mr. Anthony's testimony with regards to
15 a project allowable and how does your proposal differ from the
16 one Mr. Anthony testified to on behalf of Texaco?

17 A Mr. Anthony proposed a project allowable equal to
18 the total number of wells completed in the Grayburg-San Andres
19 formation and would include the fifty-three or fifty-four
20 some odd new wells that he drilled. The project allowable
21 spoke of here would not exceed the seventy-six current wells
22 in the proration unit. Mr. Anthony's project allowable would
23 be something like ten thousand barrels a day where I believe
24 this would be like six thousand barrels a day.

25 Q What are the specific areas adjacent to the Texaco

1 project area that Phillips operates?

2 A. Immediately west of the proposed Central Vacuum
3 Unit Phillips operates the M. E. Hale lease and the Mabel
4 lease in Section 35 and is currently actively pursuing the
5 unitization of Section 35 and anticipates unitization of that
6 section by the end of the year.

7 To the east of the Texaco Central Vacuum Unit area
8 Phillips operates some Santa Fe properties on the far south-
9 east corner but we are also the expeditor for the total
10 East Vacuum Unit that will encompass the rest of the Grayburg-
11 San Andres reservoir.

12 Q. If the Texaco application as proposed by Mr. Anthony
13 for the project allowable, if that is approved by the Commission
14 without imposition of the restrictions that you have proposed
15 what if any adverse effect will that have upon Texaco and
16 its offset operation?

17 A. Adverse effect upon Texaco?

18 Q. I'm sorry, Phillips.

19 A. It could have an adverse effect upon Phillips and
20 all offset operators insofar as if water injection would be
21 severely restricted to a casing point, you could say that the
22 restriction may be as bad as to where produced water and if
23 the produced water is small you could see an injection well
24 out there injecting one barrel of water per day but having
25 an eighty barrel allowable it would definitely hurt our

1 correlative rights if a large withdrawal is permitted in this
2 project without corresponding injection.

3 Q Would you now explain -- well, first of all read to
4 us your second proposal on Exhibit Number Two.

5 A The second proposal on Exhibit Number Two is:
6 (Reading.) Phillips Petroleum Company further requests that
7 the following provision be included in the Special Rules and
8 Regulations for this proposed unit: "Any producing well in
9 the unit area which directly or diagonally offsets a well
10 outside the unit area producing from the same common source
11 of supply shall not be granted any special allowable nor be
12 permitted to produce in excess of top unit allowable for the
13 pool without having same authorized after notice and hearing
14 wherein it is proven that substantial response to injection
15 has occurred." (End of reading.)

16 This is the same wording condition we requested of
17 the Commission when Texaco formed their Vacuum Unit.

18 Q Was this proposed addition to the Vacuum Unit
19 adopted and set forth in the Commission's order for that
20 case?

21 A Yes, sir, it was.

22 Q What is the reason behind that proposal, Mr.
23 Mueller?

24 A We feel that as a direct offset producing operator
25 that no well along the unit boundary should be granted permission

1 to produce in excess of the corresponding production permitted
2 the well on the other side of the unit boundary.

3 Q. Such a restriction is not placed in the Texaco order
4 in this case, what adverse effect, if any, would it have on
5 Phillips' interest?

6 A. It could possibly permit offset drainage.

7 MR. KELLAHIN: That concludes my direct examination
8 of Mr. Mueller and we move the introduction of Phillips
9 Exhibit One.

10 MR. STAMETS: The exhibit will be admitted.

11 (THEREUPON, Phillips Exhibit One was
12 admitted into evidence.)

13 MR. STAMETS: Any questions of this witness?

14 MR. BATEMAN: Just one.

15
16 CROSS EXAMINATION

17 BY MR. BATEMAN:

18 Q. Mr. Mueller, would you give us an example of how
19 the proposed formula would work, you can make any kind of
20 assumption you want to in terms of figures?

21 A. Okay, in terms of figures, the proposed project
22 allowable on a monthly basis would be assigned to seventy-six
23 proration units within the project, times eighty barrels,
24 which I believe is six thousand and eighty barrels of oil per
25 day project allowable. Now to earn an allowable over and

1 above that Texaco would have to inject the hydrocarbon
2 reservoir voidage replacement caused by this allowable. In
3 other words, currently out there you could estimate somewhere
4 in the neighborhood of, say four reservoir barrels of voidage
5 for each barrel of oil and its associated gas produced to the
6 surface that Texaco would have to inject in the amount of
7 approximately twenty-five thousand barrels of water per day to
8 fill this voidage and then any additional net injection above
9 that as a percent of this voidage they would then earn in a
10 special allowable, such if they were injecting fifty thousand
11 barrels of water a day they would have twice the project
12 allowable.

13 Q Twelve thousand, roughly?

14 A Yes, sir.

15 MR. BATEMAN: Okay, no further questions of this
16 witness.

17

18 CROSS EXAMINATION

19 BY MR. STAMETS:

20 Q Mr. Mueller, I haven't really had any firm testimony
21 today on which to base the necessary reservoir factors to set
22 out the formula that you have proposed but just looking at
23 what Texaco would like to put in the ground, nine hundred
24 barrels of water per day per well and they appear to be
25 duplicating each of these produced wells with an injection well,

1 if they put that volume of water in the ground every day
2 wouldn't they at least be offsetting the voidage?

3 A. Yes, they would if they put the nine hundred in.

4 Q. And if they propose to limit it here to eighty
5 barrels per well and, of course, that would apply to the
6 project area which would be the injection wells plus the
7 offset wells, if they were able to show each month that they
8 had at least offset the voidage then you would have no
9 objection to the allowable formula that they have proposed?

10 A. That's right.

11 Q. Do you have the various reservoir factors that we
12 would need to establish a formula or any type of voidage
13 limitation?

14 A. I have a set of curves that are being used by the
15 East Vacuum Committee but I think probably Morris -- do you
16 have the PVT data for the Central Vacuum -- I believe all
17 of the units out there are using the same.

18 (THEREUPON, the hearing was in recess.)

19 MR. STAMETS: The hearing will resume.

20

21 REDIRECT EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Mueller, for purposes of the record would you
24 identify what I have marked as Phillips Exhibit Number Two?

25 A. It is a PVT or pressure volume temperature data on

1 the Vacuum Grayburg-San Andres crude. It is a composite of
2 several samples taken by various operators throughout the field
3 and was a combination of data put together by the three or
4 four engineering committees and it shows plotted versus
5 pressure on the bottom. The scale on the right-hand side of
6 the chart is solution gas-oil ratio in cubic feet per barrel
7 and those two scales will apply to the solubility curve such
8 that at eight hundred pounds pressure this crude still has in
9 solution approximately three hundred and seventy cubic feet
10 of gas, so three hundred and seventy cubic feet of gas are
11 produced with each barrel of crude and comes out of solution.
12 Any gas-oil ratio in addition above this three hundred and
13 seventy would be free gas that is coming out of the reservoir.

14 Another curve on this is the BO or formation volume
15 factor of this crude and it is scaled again on the pressure on
16 the bottom and it uses the left-hand scaling over here and it
17 is marked BO in reservoir barrels per stock tank barrels.

18 So at eight hundred pounds again you would come
19 up to this curve, the BO curve, and read over that for each
20 stock tank barrel at the surface you have voided one point two
21 four barrels of reservoir space.

22 The other curve on here is a BG curve which is a
23 gas formation volume factor and it is used to correct the
24 free gas produced in association with the oil to an equivalent
25 reservoir barrel voidage. An example here, if we take a well

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 that, say the bottom-hole pressure is eight hundred pounds
2 out there and we produce one barrel of oil with a fifteen
3 hundred gas-oil ratio, the voidage created by that one barrel
4 of oil is one point two four reservoir barrels, the fifteen
5 hundred producing gas-oil ratio of that, three hundred and
6 eighty of solution of that barrel so you have in essence
7 eleven hundred, fifteen hundred minus three eighty -- eleven
8 hundred and twenty cubic feet of free gas. So then you would
9 come to the BG curve and at eight hundred pounds, you see you
10 have for each MCF you are voiding approximately three point
11 two reservoir barrels, so you would take three point two
12 times one point one -- about three point five -- and you add
13 that, the three point five barrels of reservoir voidage due to
14 free gas to the one point two four due the barrel of oil and
15 you would end up with four point seven. So for each barrel
16 of oil produced from this reservoir under these conditions
17 there are four point seven barrels of reservoir space voided.

18 Q In your opinion, Mr. Mueller, are the factors
19 contained on Exhibit Two appropriate to apply to the Texaco
20 operated Central Vacuum Unit?

21 A Yes, sir.

22 Q Why?

23 A Because like I say, they are a composite I think
24 of Texaco's data, Phillips', Shell's, all of the operators
25 together when this was first broken into the various engineering

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 committees and they put their PVT data together.

2 Q If the Commission adopts in its order Phillips'
3 recommendation will the operator, Texaco, have any difficulty
4 in administering this portion of the order?

5 A None, I would not think any at all.

6 MR. KELLAHIN: I have nothing else.

7

8 CROSS EXAMINATION

9 BY MR. STAMETS:

10 Q Mr. Mueller, if some sort of voidage formula is
11 used so that the project does not produce more than it
12 re-injects, why should the edge wells be limited?

13 A The voidage formula we are proposing only to be
14 used in determining an additional or bonus allowable over and
15 above what we would call the project allowable which is the
16 top allowable for each forty-acre unit so Texaco would
17 automatically based on, I think it is their Exhibit Number
18 Nineteen here, their production curve, their current production
19 estimated in this unit is approximately thirty-two to thirty-
20 three hundred barrels a day. Immediately upon unitization
21 Phillips has no objection to that project being assigned a
22 project allowable -- not upon unitization, upon their injection
23 well completion drilling -- up to six thousand barrels. Now
24 they do not have to inject any water to earn that. What
25 Phillips wants to do is make sure there is enough water

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 injected to compensate for that and above that to earn any
2 bonus allowable.

3 In other words, there is an incentive to form a
4 unit just to get a project allowable, I don't think that the
5 unit needs automatically a big bonus allowable for these
6 injection wells that are drilled. That should be something
7 that is earned because there is considerable doubt, I think, in
8 everybody's mind, are they going to be able to put nine hundred
9 barrels of water a day below voiding pressure? They may do
10 it this month but they may not do it next year.

11 Q. Let's see if I've got your recommendation. What
12 Phillips' position is, you are willing to give them eighty
13 barrels a day for each producing well as a project allowable
14 with only water going in the ground?

15 A. Yes, sir.

16 Q. But you would not allow them, you would not wish
17 them to have more than eighty barrels per day for each produc-
18 ing well until they could demonstrate that the total production
19 was being offset by the total injection?

20 A. Right. In other words, I can compete equally with
21 them on an eighty-barrel allowable for a forty-acre deal.

22 Q. So at this early stage where perhaps injection has
23 not reached the full limit is the time that you would like to
24 have the edge wells on limited production, not at the stage
25 where voidage is equal to or less than injection?

1 A. The edge wells are going to be in the project,
2 however, I think we all believe this total field is going to
3 be under waterflood in two years and there will no longer be
4 edge wells, there will be cross-line agreements with all of
5 them, so the restriction on the edge wells should really --
6 I want to have to say -- it should remain in effect for the
7 life of the unit unless there is a cooperative agreement.

8 Q. If the applicant, Texaco, is injecting a volume
9 equal to the voidage or greater than voidage and we restrict
10 these edge wells, isn't it possible that oil could be forced
11 off?

12 A. Well, no, once he shows response he can -- you
13 know, the statement says that they should be restricted
14 until he has proven response to water injection.

15 Q. That's after notice and hearing?

16 A. Yes.

17 Q. Is there any reason for that if he demonstrates
18 monthly with his pressure maintenance report that he is
19 equaling or exceeding voidage?

20 A. No, I don't believe there would be.

21 Q. Okay. What was the original pressure in this?

22 A. Phillips uses in its unit reports around sixteen
23 hundred and fifty. Morris said sixteen thirty-eight is what
24 you have in the Central Vacuum Unit.

25 Q. Yes, I would ask that of Texaco witnesses, just

1 anyone who has that figure. What was the original pressure?

2 A. We used sixteen thirty-eight, we are uniform.

3 Q. Sixteen thirty-eight, okay.

4 MR. STAMETS: Are there any other questions of this
5 witness? He may be excused.

6 (THEREUPON, the witness was excused.)

7 MR. STAMETS: Would you like to offer your second
8 exhibit?

9 MR. KELLAHIN: Oh, sure.

10 MR. STAMETS: Without objection the second exhibit
11 for Phillips will be admitted into evidence.

12 (THEREUPON, Phillips Exhibit Two was
13 admitted into evidence.)

14 MR. STAMETS: I've got a few more questions for
15 Mr. Anthony.

16 MR. BATEMAN: Well, we have a few more things to say.

17 MR. STAMETS: Okay. Let me get this in while I'm
18 still thinking of this, Mr. Anthony.

19 (THEREUPON, Mr. Anthony was recalled as
20 a witness.)

21

22 CROSS EXAMINATION

23 BY MR. STAMETS:

24 Q. Will your injection pressure -- are you trying for
25 a pressure maintenance project to return the pressure in the

1 formation to sixteen hundred and thirty-eight pounds or are
2 you attempting to increase the pressure above sixteen hundred
3 and thirty-eight pounds?

4 A. We would probably eventually, about the time we got
5 fill up have reservoir pressure in excess of sixteen hundred
6 and thirty-eight pounds. The injection pressure plus hydro-
7 static head which would be approximately twenty-three hundred
8 pounds, just the hydrostatic pressure and whatever injection
9 pressure you have at that time would be at least at the
10 formation face and the average reservoir pressure from an
11 injector to a producer would probably be in excess of sixteen
12 hundred pounds.

13 Q. It sounds a little more like a waterflood than a
14 pressure maintenance project?

15 A. Essentially it is a waterflood. I don't believe in
16 this case we are in such a point of depletion in a large
17 portion of the area that just pressure maintenance would
18 actually be economical.

19 Q. You still have some top allowable wells inside this
20 proposed unit?

21 A. That is true.

22 Q. But you also have some wells that have declined,
23 have they declined to a marginal status?

24 A. We have marginal wells, I believe we have probably
25 fifty-six or fifty-seven percent of the production from the

1 unit is from marginal wells. That's just a guess, I'm not
2 absolutely sure but there are some wells that are completely
3 depleted and shut in, the Arco leases for instance, up on the
4 north end of the unit, have been depleted and are shut in and
5 on the south end of the unit there are some wells that are
6 very near their economic limit, down to two or three barrels
7 of oil per day.

8 Q As far as those wells are concerned it would be a
9 waterflood and the top allowable wells would be pressure
10 maintenance?

11 A That's true.

12 Q How long a period of time do you think it would
13 take for fill up?

14 A I believe my calculations indicate approximately
15 seven years to fill up at a sixty thousand barrel a day
16 injection rate, that would be probably twelve to eighteen
17 months from the unitization date. We would have sixty
18 thousand barrels a day since we would have cooperative lease
19 line agreements and additional injection wells from what our
20 map shows here today.

21 Q By that time would you project that the top
22 allowable wells would probably be low rate producers?

23 A I would not predict that the top allowable wells
24 will ever go below top allowable under this plan of operation.

25 Q Assuming primary-type operations, would they have

1 declined by that time?

2 A. Oh, I see what you mean. Without injection the
3 most of them probably would be. We made numerous calculations
4 in an attempt to determine the reserves from these top allowable
5 wells and I believe that there are a few that would probably
6 remain top allowable as long as eight to ten years but the
7 majority of those top allowable wells would be below top
8 allowable in eighteen to twenty-four months from the unitiza-
9 tion date.

10 Q. By instituting this project at this time will you
11 achieve a greater element of recovery than you would by
12 allowing all of the wells to decline and then starting a
13 waterflood?

14 A. That's true. By initiating water injection early
15 in the life of a reservoir the formation volume factors are
16 such that additional reserves can be obtained rather than
17 waiting until everything has depleted to economic limit.

18 Q. Can your injection rates be controlled so that
19 your production rate won't exceed eighty barrels a day times
20 a hundred and thirty-one?

21 A. Yes, at the time top allowable is achieved and
22 fill up is achieved then the injection rate will be controlled
23 by -- I can't think of the term I want now -- valves anyway
24 that will restrict injection to probably in the order of one
25 point one or one point two times reservoir voidage.

1 MR. STAMETS: That's all of the questions that I have
2 at this time. Any other questions of Mr. Anthony while he is
3 on the stand? Mr. Bateman, you have some redirect. Mr.
4 Anthony is excused.

5 (THEREUPON, the witness was excused.)

6 MR. BATEMAN: I would call Mr. Todd, please.

7 (THEREUPON, Mr. Todd was recalled as
8 a witness.)

9

10 REDIRECT EXAMINATION

11 BY MR. BATEMAN:

12 Q Mr. Todd, do you have any comment to make concerning
13 the proposal for the allowable made by Phillips Petroleum
14 Company?

15 A Mr. Stamets, we just had to reply to Mr. Mueller's
16 comments here. We still stand for our application. We, I'm
17 sure, plan to earn everything we get like Mr. Mueller talked
18 about. We have no objections at all to the edge wells being
19 limited to eighty barrels per day, just immediately offset.
20 Under our plan as we develop with the interior wells, saying
21 not the edge wells but the interior wells, until there is
22 lease line development, being granted you might say unit
23 allowable for every injection well and so on and we injecting
24 and the offset properties not injecting, we fail to see that
25 we are going to drain them. We believe that we would be

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 putting in the pressure and if anything we will be pushing
2 toward them.

3 Now I want to say that we kind of feel like the
4 administration of this procedure is that you can talk back and
5 forth, Mr. Mueller gave an excellent example, but this
6 phrase at the first paragraph, "and its associated gas", this
7 bothers us. Now that PVT analysis that was used, of course
8 that's true, that's used by all of the companies, if I might
9 say, that is based upon an analysis of the reservoir fluid
10 of several wells and combined by engineering committee, used
11 both, true by the -- I'm repeating Mr. Mueller -- by the
12 East Vacuum, the Central Vacuum, Section 35 proposed unit
13 and so on.

14 Now the simple fear is my own fear of when I first
15 saw this and Mr. Mueller talked about eight hundred pounds, I
16 think it is our opinion that this reservoir more on the
17 average is around five hundred pounds. Now while this is
18 engineering data used, actual reservoir performance often
19 times has a way of deviating away from the theoretical and
20 we would assume that the administration of this procedure
21 as recommended by Mr. Mueller would be based upon really a
22 produced gas-oil ratio and, of course, right now where our
23 preliminary fears were based upon current calculations, we
24 calculate that according to sales to produced oil like for
25 the records for February it's something like about sixteen

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 hundred and twenty-one to one and with a reservoir pressure
2 at five hundred pounds you can look in there and that's more
3 like five and a half or six to one with the formation volume
4 factor of one point two. Well, five and a half plus one point
5 two is what, six point seven. Okay, if we had six thousand
6 barrels a day sometime down the -- now I assume that where our
7 pressure is going up, true, but this is one potential fear we
8 have and for your consideration in, you know, deciding whether
9 this is to be applied or not.

10 Now say it is six to one and if our allowable upon
11 unitization is six thousand and eighty barrels per day, six
12 times that is around thirty-six thousand barrels which as I
13 understand the way this would have to be applied. If we had
14 a potential, say we are injecting through restrictions
15 around thirty thousand or thirty-six thousand, well, there
16 would be no way we could and if we had the potential to
17 produce above this and those be the reservoir performance
18 figures there would be no way that we could get an increased
19 allowable and produce in excess of over six thousand barrels
20 a day.

21 Did I make myself clear, sir? I tried to use this
22 very figure right here. Now assuming this is the reservoir
23 performance, the thing we really fear is the gas-oil ratio
24 will be higher than this indicates but assuming this is a
25 reservoir performance and five hundred pounds, which we think

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 the average reservoir pressure is now, that comes out around
2 a formation volume factor of around five and a half. In other
3 words, the gas produced at the surface would be about five and
4 a half cubic feet or five and a half barrels per MCF. Well
5 on our calculations at the sixteen twenty-one to one it came
6 out around six so this falls right in line, we say the
7 reservoir performed about that way and you add to it the forma-
8 tion volume for the crude oil and assume it's around six, well,
9 our allowable is six thousand barrels per day, six thousand and
10 eighty. Well six times that is thirty-six thousand barrels.
11 We've got to produce above that as I understand it to get any
12 increased allowable. We've got to inject above thirty-six
13 thousand barrels a day and say that's all we can get in the
14 ground, we might wind up with a lot of potential here with no
15 possibility of producing above six thousand barrels a day.

16 MR. STAMETS: I understand what you're saying and
17 that certainly sounds exactly like what Phillips has proposed
18 in this case.

19 A. Well, we think it's -- that exhibit, sir, I don't
20 know what number it is, it shows the decline curve. The
21 economics of this thing to selling it is based upon eleven
22 thousand six hundred and eighty barrels a day.

23 We could see with this reservoir voidage and its
24 project allowable and it's associated gas, we can see that there
25 is no way that we could get to this under that formula and we

1 just wanted to leave that thought for your consideration.

2 Q (Mr. Bateman continuing.) Was the factor in your
3 concern then the potential that injection pressures will be
4 limited in the future to the extent that you can't possibly --

5 A Well, we can't possibly now. If we could inject
6 something like sixty thousand barrels a day and this calcula-
7 tion came out thirty-six thousand, see we would have all
8 sorts of room above that. Thirty-six minus sixty would be
9 twenty-four thousand barrels per day, we would have all sorts
10 of room to produce all of the potential we could but if our
11 injection should be limited necessarily by law then this
12 formula, as I understand it here, could severely penalize us,
13 lengthen the life of the project and with this potential I
14 could foresee some operators objecting to even voting this
15 unit into effect.

16

17

CROSS EXAMINATION

18 BY MR. STAMETS:

19 Q If you can't get that much water in the ground,
20 where is the production going to come from?

21 A Well, we can't tell until we perform like this. Now
22 thirty thousand barrels a day at fill up we should normally
23 have -- probably we could easily have that potential of over
24 eleven thousand barrels a day.

25 Q It's still not clear in my mind that you've got a

1 problem in this case.

2 A. Maybe we don't but that one phrase, "associated
3 produced gas" bothers me.

4 Q. But it is clear when you produce oil and you do
5 produce associated gas you have reservoir voidage?

6 A. Yes, sir.

7 Q. And when you've got reservoir voidage you've got
8 drainage from somewhere?

9 A. Yes, sir.

10 Q. Phillips is concerned that the drainage is going to
11 come from their property which is not being flooded. Does
12 that seem like a valid concern?

13 A. Well, with us injecting and them not as yet, we
14 can't see that we will be doing anything but driving it across
15 over to them.

16 Q. If your injection doesn't equal your voidage then
17 where is that oil coming from?

18 A. Well, I anticipate that our injection is going to
19 exceed our voidage.

20 Q. If it exceeds your voidage where is your problem?

21 A. The mechanics of getting an increased allowable in
22 case we do develop a potential in excess of six thousand
23 barrels per day which we hope to do.

24 Q. Oh, you are not talking about this particular case
25 today but you are talking about that one off in the future

1 somewhere?

2 A. Well, a year or two down the line with this rule
3 applying.

4 Q. I see. Well, but now assuming that none of this is
5 carved in stone and could not be changed under changing
6 circumstances, that would just simply be some future case
7 before some examiner or the Commission?

8 A. I'm sure what we would have to do then if this were
9 adopted, I'm sure we would have to make application to change
10 it sometime in the future, is that what you mean, sir?

11 Q. Yes, right.

12 A. Well then I'm sure we would do that but I just
13 wanted to express that our recommendation, application, still
14 stands and we do have a fear in the administration of this.

15 Q. It would appear that you could live with this for
16 the next few years but your concern is sometime in the
17 future?

18 A. Sometime maybe a year and a half from now. I don't
19 know, when does that curve kick us to the top? Well, if we
20 unitize here in -- see in a year from now we are going to be
21 kicking up. Well, in two years from now we should by all
22 calculated predictions have an allowable in excess of six
23 thousand barrels a day.

24 Q. What is a hundred and thirty-one times eighty?

25 A. It should be eleven thousand six hundred and eighty.

1 Full lease line development with a hundred and thirty-one plus
2 sixteen should give us this figure, eleven thousand six hundred
3 and eighty which was the basis for our calculations of economics
4 for this project.

5 Q. Okay, that is the maximum daily allowable that you
6 are looking for under your formula?

7 A. Yes, sir, at the present time.

8 Q. And you apparently feel that you will have some
9 difficulty in injecting an amount of water which would equal
10 the reservoir voidage at that rate?

11 A. No, I don't know how to answer that. I believe we
12 will be injecting above reservoir voidage but this phrase, "and
13 its associated gas", when you tack that on there as produced
14 oil plus associated gas that makes any calculation of voidage
15 that might be -- well, your statement is true, your statement
16 is true, that's a possibility, I back up. When you said that
17 we're afraid that we might not be able to inject voidage?

18 Q. Yes.

19 A. That's true, not as far as the oil goes but when you
20 get the associated gas onto it.

21 Q. Is there any way that you can achieve this level
22 of production that you have projected here in 1980 in excess
23 of ten thousand barrels a day unless you have a response to
24 this injection?

25 A. No, sir, that's right.

1 Q. And to have a response you have to exceed voidage,
2 right, your current voidage?

3 A. At fill up and at least equal the voidage after
4 fill up.

5 MR. STAMETS: Any other questions of this witness?

6 MR. KELLAHIN: No, sir.

7 MR. BATEMAN: No further questions.

8 MR. STAMETS: If requested by the Examiner could
9 Texaco furnish a sample of a pressure maintenance project
10 report which might have some of these factors on it?

11 MR. TODD: You mean a monthly report?

12 MR. STAMETS: Yes, if I wish to consider a report
13 which had voidage in it could you make me up a sample and
14 send it in?

15 MR. TODD: That calculation that we make on each
16 project as a process of monitoring the project, the injection,
17 the ratios, fill up volume, status of fill up and so on and so
18 forth?

19 MR. STAMETS: Could you just go ahead and send me one
20 of those as an example of that for my information?

21 MR. TODD: Yes, we will, sir.

22 (THEREUPON, a discussion was held
23 off the record.)

24 MR. STAMETS: The only thing I'm not certain we
25 covered is under 65-14 A(4) where it says that the Commission

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 must find that such unitization and adoption of one or more of
2 the methods of unitized operation will benefit the working
3 interest owners and royalty owners of the oil and gas rights
4 within the pool or portion thereof directly affected.

5 Do you have a witness who will tell me that it will
6 do that?

7 MR. BATEMAN: I have at least three.

8 MR. STAMETS: One will be fine.

9 MR. BATEMAN: Mr. Todd, in your opinion will the
10 adoption of the pressure maintenance project that is proposed
11 under this unitization agreement benefit the working interest
12 owners and the royalty owners of the oil and gas rights within
13 the pool or the portion thereof that is directly affected?

14 MR. TODD: Yes, it will.

15 MR. STAMETS: Any other questions of Mr. Todd? He
16 may be excused.

17 (THEREUPON, the witness was excused.)

18 MR. STAMETS: Anything further in this case? The
19 case will be taken under advisement.

20

21

22

23


24

25


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, SIDNEY F. MORRISH, a Certified Shorthand Reporter,
do hereby certify that the foregoing and attached Transcript
of Hearing before the New Mexico Oil Conservation Commission
was reported by me, and the same is a true and correct record
of the said proceedings to the best of my knowledge, skill and
ability.



Sidney F. Morrish, C.S.R.

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 5720
heard by me on 6-27, 1977

_____, Examiner
New Mexico Oil Conservation Commission

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212