

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 CASES 10062, 10063, 10064
5

6 EXAMINER HEARING
7

8 IN THE MATTER OF:

9 Application of OXY USA, Inc., for Statutory
10 Unitization, Lea County, New Mexico
11 Application of OXY USA, Inc., for a
12 Waterflood Project, Lea County, New Mexico
13 Application of OXY USA, Inc., for Pool
14 Contraction and Extension, Lea County, New Mexico
15
16

17 TRANSCRIPT OF PROCEEDINGS
18

19 BEFORE: MICHAEL E. STOGNER, EXAMINER
20

21 STATE LAND OFFICE BUILDING

22 SANTA FE, NEW MEXICO

23 September 5, 1990
24

25 **ORIGINAL**

1 A P P E A R A N C E S

2

3 FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
4 Post Office Box 2088
5 State Land Office Building
6 Santa Fe, N.M. 87504-2088

7 JAMES MORROW
8 Chief Petroleum Engineer
9 Post Office Box 2088
10 State Land Office Building
11 Santa Fe, N.M. 87504-2088

12 FOR THE APPLICANT: W. THOMAS KELLAHIN, ESQ.
13 Kellahin, Kellahin & Aubrey
14 Post Office Box 2265
15 Santa Fe, N.M. 87504-2265

16 FOR SANTA FE ERNEST L. PADILLA, ESQ.
17 EXPLORATION: Padilla & Snyder
18 Post Office Box 2523
19 Santa Fe, N.M. 87504-2523

20

21

22

23

24

25

I N D E X

	Page Number
Appearances	2
ROBERT DOTY	
Examination by Mr. Kellahin	7
Examination by Mr. Padilla	26
ARCHIE R. TAYLOR	
Examination by Mr. Kellahin	33, 157
Examination by Mr. Padilla	83, 157
Examination by Mr. Morrow	102
Examination by Mr. Stovall	155
CHARLES E. DICKENSON	
Examination by Mr. Kellahin	105
Examination by Mr. Padilla	118
Examination by Mr. Stovall	132, 134
WILLIAM A. McALPINE, JR.	
Examination by Mr. Padilla	136
Examination by Mr. Kellahin	152
Certificate of Reporter	165
E X H I B I T S	
OXY USA, INC.'s EXHIBITS:	<u>PAGE</u>
Exhibit 1	6
Exhibit 2	23
Exhibit 3	42
Exhibit 4	45
Exhibit 5	46
Exhibit 6	56
Exhibit 7	59
Exhibit 8	62
Exhibit 9	63
Exhibit 10	66
Exhibit 11	68
Exhibit 12	69
Exhibit 13	73

1	OXY USA, INC.'s EXHIBITS (CONTINUED)	<u>PAGE</u>
2	Exhibit 14	106
	Exhibit 15	107
3	Exhibit 16	109
	Exhibit 17	112
4	Exhibit 18	113
5		
	SANTA FE EXPLORATION'S EXHIBITS:	
6		
	Exhibit 1	137
7	Exhibit 2	138
	Exhibit 3	138
8	Exhibit 4	138
	Exhibit 5	138
9	Exhibit 6	138
	Exhibit 7	139
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 EXAMINER STOGNER: At the Applicant's
2 request, we're now going to consolidate the next three
3 cases, and I'll call Cases 10062, 10063 and 10064,
4 which are all in the matter of OXY USA, Incorporated,
5 for statutory unitization, a waterflood project and
6 for pool contraction and extension in Eddy County, New
7 Mexico.

8 I'll call now for appearances.

9 MR. KELLAHIN: If it please the Examiner,
10 I'm Tom Kellahin of the Santa Fe Law Firm of Kellahin,
11 Kellahin & Aubrey, appearing on behalf of OXY, USA,
12 Inc. I have three witnesses to be sworn.

13 EXAMINER STOGNER: Are there any other
14 appearances?

15 MR. PADILLA: Mr. Examiner, my name is
16 Ernest L. Padilla of Santa Fe, New Mexico, for Santa
17 Fe Exploration Company, and I have at least one
18 witness but I would like to swear two witnesses.

19 EXAMINER CATANACH: Are there any other
20 appearances?

21 Would the witnesses please stand to be
22 sworn at this time.

23 (Thereupon the witnesses were sworn.)

24 MR. KELLAHIN: Mr. Examiner, I would like
25 to call our geologic witness first, Mr. Bob Doty.

1 ROBERT DOTY

2 the witness herein, after having been first duly sworn
3 upon his oath, was examined and testified as follows:

4 MR. KELLAHIN: Mr. Examiner, we have handed
5 out what has been marked as OXY Exhibit No. 1. It's a
6 geologic and engineering report for the Central Corbin
7 Queen Field of Lea County, New Mexico. To aid us in
8 the presentation this afternoon, we have numbered the
9 pages of the geologic and engineering report in the
10 lower right-hand corner, and hopefully you'll have one
11 that has been numbered. If not, let me know and we'll
12 trade.

13 EXAMINER STOGNER: Mine has numbers.

14 MR. STOVALL: No plastic cover, but mine
15 has numbers.

16 MR. KELLAHIN: We'll do it by the numbers
17 in the bottom right-hand corner, so we won't get lost
18 in the book.

19 EXAMINER STOGNER: Mr. Padilla, does yours
20 have numbers?

21 MR. PADILLA: Yes.

22 EXAMINER STOGNER: Okay.

23 MR. KELLAHIN: All right. Everyone has
24 numbers.

25

1 EXAMINATION

2 BY MR. KELLAHIN:

3 Q. Mr. Doty, for the record, would you please
4 state your name and occupation?

5 A. My name is Robert Doty. I'm a geologist
6 with OXY, USA.

7 Q. Mr. Doty, on prior occasions have you
8 testified before the Oil Conservation Division of New
9 Mexico?

10 A. Yes, sir.

11 Q. Pursuant to your employment as a geologist
12 for OXY, USA, your residence is in Midland, Texas, is
13 it?

14 A. Yes, sir.

15 Q. Have you participated as part of the
16 technical committee that has worked on studying the
17 feasibility of waterflood operations in the Central
18 Corbin Queen Field?

19 A. Yes, sir.

20 Q. Are the geologic exhibits, that are shown
21 in Exhibit No. 1, documents that you prepared directly
22 yourself or in which you have agreement?

23 A. Yes, sir.

24 MR. KELLAHIN: We tender Mr. Doty as an
25 expert petroleum geologist.

1 EXAMINER STOGNER: Are there any
2 objections?

3 MR. PADILLA: No objection.

4 EXAMINER STOGNER: Mr. Doty is so
5 qualified.

6 Q. Mr. Doty, let me have you turn, sir, and
7 let's start with page 31. Identify for us what is
8 depicted for us on page 31 of Exhibit 1?

9 A. Page 31 is a locator map which identifies
10 the location of the Central Corbin Queen Field
11 relative to major fields in Southeastern New Mexico.

12 Q. Have you included in the report other
13 orientation maps which would more closely identify
14 where the Central Corbin Queen pool is?

15 A. They are in the report, yes.

16 Q. Let's turn to page 33. Having familiarized
17 yourself with the geology for the Central Corbin
18 Queen, would you give us an overview as a geologist of
19 the information as depicted on Exhibit No. 1, page 33?

20 A. Page 33 establishes the depositional
21 setting for the Queen reservoir. The Queen is present
22 throughout much of Southeastern New Mexico. It
23 pinches out against what's marked as the Goat Seep
24 Reef. It's a hatched line which is bounding the
25 Delaware Basin.

1 The Central Corbin Queen is located along
2 an east/west productive trend which occurs near the
3 edge of the Goat Seep Reef lagoon, which would
4 effectively be the shoreline. This trends east/west
5 through Central Corbin Queen.

6 Q. Can you describe for us the deposition of
7 the Central Corbin Queen as it might relate to other
8 of the Queen pools in this immediate vicinity?

9 A. The Central Corbin Queen is part of that
10 east/west trend of production which occurs at that
11 shoreline.

12 Q. Let me have you turn to page 39. What's
13 the purpose of this display?

14 A. The purpose of this display is to give a
15 closer look at the productive trend of which Central
16 Corbin Queen is a part. As you can see, there are two
17 orientations of Queen pools along this productive
18 trend. The east/west trending Queen pool, such as
19 Corbin Queen to the north, North E-K Queen and E-K
20 Queen, which are effectively shoreline sands that
21 parallel the shoreline, and also north/south trending
22 Queen pools, such as Central Corbin, and then a
23 portion of what's called Corbin Queen to the west,
24 which are tidal channel deposits.

25 So there's two predominant trends of

1 sandstone bodies, the east/west trending shoreline
2 sands and the north/south trending tidal channel
3 sands.

4 Q. When you studied the geology of this
5 particular Queen deposition, what are the Queen pools
6 that closely approximate or are analogous to the
7 Central Corbin Queen?

8 A. All the Queen pools on this map have very
9 similar reservoir characteristics to the Central
10 Corbin Queen as far as net pay, porosity, thickness
11 and so forth, including North E-K, E-K and Corbin.

12 Q. Let me ask you now, sir, to turn to page
13 34. Having seen the depositional nature of the Queen
14 in this particular area, give us an understanding of
15 the vertical limits of the Queen formation.

16 A. The Queen formation is a very specific 40-
17 to 60-foot sandstone body which is depicted by this
18 type log, the Federal "AA" #1, the discovery well for
19 this field. Queen Sandstone, as it is marked on this
20 type log, is correlatable throughout the entire pool
21 and it's a common source of supply for all the Central
22 Corbin Queen wells. It's underlain by impermeable
23 anhydrite and overlain by impermeable anhydrite.

24 EXAMINER STOGNER: Before we go any
25 further, if I can, Mr. Kellahin, the Queen sandstone

1 as you show here from 4200 feet to--

2 THE WITNESS: To 4246, yes, sir.

3 EXAMINER STOGNER: That is your proposed
4 unit boundary and waterflood? Is that what we're
5 primarily looking at today?

6 THE WITNESS: Yes, sir.

7 EXAMINER STOGNER: Okay. I just wanted to
8 double check and make sure. Thank you, sir. Mr.
9 Kellahin?

10 Q. (BY MR. KELLAHIN) Let me ask you now to
11 turn to page 41. What have you prepared here?

12 A. The purpose of this demonstration, of this
13 exhibit, is to demonstrate separation between Central
14 Corbin Queen to the north--pardon me, Corbin Queen to
15 the north, and Central Corbin Queen to the south.

16 I've outlined all the production, Queen
17 production, occurring in Corbin Queen which has that
18 east/west trend of the shoreline sands and I've also
19 outlined the zero net pay for the Central Corbin Queen
20 which has the north/south trending sands. There are
21 several Queen dry holes separating Corbin Queen and
22 Central Corbin Queen, such as in the east/southwest of
23 Section 33, the southwest/ southeast of Section 33,
24 the southwest/southwest of 34, and the
25 northeast/northwest of Section 3.

1 Q. Let's use this display to summarize some of
2 your geologic conclusions based upon this work. First
3 of all, let me ask you, have you reached geologic
4 opinions about the size and shape of the Central
5 Corbin Queen pool itself?

6 A. Yes, sir.

7 Q. And how have you reached that conclusion?

8 A. The size and shape of Central Corbin Queen
9 is defined by a net pay map, a subsequent display.

10 Q. The proposed Central Corbin Queen Unit that
11 OXY is seeking to implement, how does that boundary
12 for the unit match the boundary of the pool?

13 A. It closely coincides with the boundary of
14 the pool.

15 Q. Was that a conscious effort on your part
16 and others participating with you in forming the
17 boundaries for the unit?

18 A. Yes, sir. The zero net pay line was the
19 basis from which the boundary of the unit were
20 designed.

21 Q. Is the plan to include all of the producing
22 wells within the pool and dedicate them to the unit?

23 A. Yes, sir.

24 Q. When we look at the boundary to the north
25 that separates it from the Corbin Queen, you've

1 identified a series of factors that, in your mind,
2 have separated the Central Corbin Queen from the
3 Corbin Queen. Summarize those factors for us.

4 A. Basically it has to do with exhibits to
5 follow. Could we proceed--

6 Q. No. Just tell me, in essence, what they
7 are?

8 A. In essence, the Corbin Queen Field occurs
9 along a steep monoclinal fold where the structural
10 setting is such that sand deposition was controlled in
11 an east/west direction. Central Corbin Queen,
12 however, occurs in a structural basin where tidal
13 channel sands were deposited within that structural
14 basin, and these are two distinct depositional
15 settings.

16 Q. That separation has been confirmed to your
17 satisfaction by the information available by some dry
18 holes?

19 A. Yes, sir.

20 Q. The logs available from those dry holes?

21 A. Yes.

22 Q. You don't have any reservations or
23 qualifications, then, about the northern boundary of
24 the unit and its relationship to the pool?

25 A. No, sir.

1 Q. Without going into the specific displays,
2 describe for us the geologic basis for determining the
3 southern boundary of the unit and the pool.

4 A. The southern boundary of the unit and the
5 pool is based on oil/water contact, which occurs at a
6 minus subsea elevation of 300 feet. This is confirmed
7 by water tests in a well in the southeast/northeast of
8 Section 8, and southeast/southwest of Section 9.

9 Q. Describe for us the basis for control of
10 the unit and the pool as we move to the western
11 boundaries.

12 A. The western boundary is defined by a
13 gradual decrease in porosity in the Queen formation,
14 decreasing to near zero in a well northeast/northeast
15 of Section 8.

16 Q. And how do we determine the eastern
17 boundary or the eastern side of the pool?

18 A. By the same method. The porosity is
19 decreasing to the east and is, in fact, zero in the
20 northeast/northwest of Section 3, southeast/southwest
21 of Section 3, and there's a gas well in Section 10
22 southeast of the northwest, which is structurally low
23 to most of the oil production in the field which,
24 therefore, must be separated from the rest of the
25 field. This is a well that was completed as a gas

1 well several years ago but never produced.

2 Q. Are you satisfied as a geologist that you
3 had sufficient geologic data in which to formulate an
4 opinion about the appropriate boundaries of the pool
5 and the unit?

6 A. Yes, sir.

7 EXAMINER STOGNER: Just one more, to make
8 sure I have my terms here. You described the Central
9 Corbin Pool as a basal deposition?

10 THE WITNESS: No, sir, it's a tidal channel
11 deposition, stale shallow water, marginal marine, but
12 basin, we're from the Beach deposition where Corbin
13 Queen is situated.

14 EXAMINER STOGNER: As further shown on page
15 39? That gives you a good representation of your
16 tidal channel and then a beach deposit?

17 THE WITNESS: Yes, sir.

18 EXAMINER STOGNER: I'm sorry, Mr.
19 Kellahin. Please continue.

20 MR. KELLAHIN: Please interrupt us. We
21 don't want to confuse you with the presentation. We
22 want to turn now, though, to page 51.

23 Q. (BY MR. KELLAHIN) Describe for us now in
24 summary fashion, Mr. Doty, the boundaries of the unit
25 as proposed?

1 A. Yes, sir, the boundaries of the unit as
2 proposed on page 51 is effectively the acreage
3 contained within the zero net pay line of Central
4 Corbin Queen such that any 40-acre tract with greater
5 than 50 percent of that 40-acre tract within the zero
6 net pay line was included within the proposed unit
7 boundary.

8 In addition, two 40-acre tracts containing
9 wellbores that may be needed for unit operations were
10 also included, those being the southeast quarter of
11 the northeast quarter of Section 8, and the southeast
12 quarter of the southwest quarter of Section 9.

13 Q. Mr. McAlpine has entered an appearance in
14 this case. Would you identify for us your
15 understanding of which tracts in this display on page
16 51 in which he has an interest?

17 A. They would be Tracts 6 and 7.

18 Q. Let's look specifically, then, when you
19 compare page 41, you just fold page 41 over and leave
20 page 51 exposed, describe for us what has been your
21 recommendation to your company, geologically, about
22 the inclusion of Tracts 7 and 6 within the unit area.

23 A. Tracts 6 and 7 are entirely within the
24 productive limits of Central Corbin Queen, produced
25 from the same reservoir as Central Corbin Queen or a

1 common source of supply of Central Corbin Queen and,
2 therefore, should be included within the proposed unit
3 and waterflooded under the continuous operation.

4 Q. Each of of the wells in Tracts 6 and 7 are
5 completed in the Queen formation?

6 A. Yes, sir.

7 Q. Geologically you have correlated the logs
8 for those wells with other control wells within the
9 unit area and you've reached what conclusion?

10 A. I've concluded that they're producing from
11 the same reservoir, the same source of supply as the
12 rest of Central Corbin Queen.

13 Q. One of the applications deals with a need
14 to modify the pool boundary as administered by the
15 Division in relation to the Corbin Queen and how it
16 affects the Central Corbin Queen. Are you familiar
17 with that topic?

18 A. No, sir.

19 Q. Let me identify for you the quarter section
20 that's involved. Let me take a moment. When we look
21 at page 51, it is my understanding that the north half
22 of the northeast quarter of 4 may be carried under
23 nomenclature of the Division as being in the Corbin
24 Queen pool?

25 A. Yes, sir.

1 Q. What do you propose geologically need to be
2 done in order to place the unit operations in the same
3 common source of supply as designated by the Division?

4 A. There's compelling geologic evidence that
5 the north half of the northeast quarter of Section 4,
6 that well is part of a tidal channel deposit that
7 Central Corbin Queen is part of, as opposed to the
8 near shore beach deposit that Corbin Queen is part
9 of. Therefore, that portion, the north half of the
10 northeast quarter should be included in Central Corbin
11 Queen and it's continuous with the reservoir there and
12 not continuous with the Corbin Queen reservoir.

13 Q. Let me have you turn now to page 35. Have
14 you mapped the Queen structure within this area and
15 within the Queen formation that would be dedicated to
16 unit production?

17 A. Yes, sir.

18 Q. What does it show you?

19 A. It shows that the northern part of the map
20 where Corbin Queen is located is a very steep
21 monoclinal fold. The dip is quite a bit steeper
22 through the portion of the northern half of that
23 northern tier of sections. It's flatter to the north
24 and quite a bit flatter to the south. Also, the
25 structure to the south, for the most part, is a very

1 broad structural low into which the tidal channel of
2 Central Corbin Queen reservoir was deposited.

3 So this is the most likely geologic control
4 for the position of the Central Corbin Queen
5 reservoir, was along this steep monoclinal fold. As
6 we go downdip into the depression, that's where the
7 tidal channel sand occurs for Central Corbin Queen.

8 Q. Based upon the structure, is there
9 sufficient justification in your mind geologically to
10 make this unit area a waterflood operation for
11 secondary recovery of the Queen gas reserves?

12 A. Yes, sir. Queen oil reserves.

13 Q. I'm sorry, Queen oil reserves. There is no
14 gas production in the pool?

15 A. No.

16 Q. We don't have a gas cap in here, as you
17 know?

18 A. No, sir.

19 Q. Let's turn to Exhibit 1, page 40. You've
20 given us a cross-sectional view, both
21 stratigraphically and structurally, of the unit area?

22 A. Yes. The purpose of this illustration is
23 to further define a separation between Corbin Queen
24 and Central Corbin Queen. The location for this log
25 cross-section A - A' is on the next page over, page

1 41, the map we were discussing earlier.

2 To the north, or the left on the
3 cross-section is a typical Corbin Queen well. To the
4 right or to the south is a typical Central Corbin
5 Queen well, and they're very similar reservoirs. In
6 the middle is a well which tested the Queen,
7 perforated, acidized and frac'd and swab dried, and
8 failed in the Queen reservoir.

9 A little schematic structural cross-section
10 in the lower left part of the exhibit on page 40,
11 pretty much takes in the entire--it's also marked on
12 page 41, I'm sorry, as north/south. There's a
13 hatched line that goes right down the center of the
14 map area.

15 It shows the steep monoclinal fold where
16 Corbin Queen was deposited, and then it shows the
17 broad structural basin where Central Corbin Queen was
18 deposited. Therefore, Central Corbin Queen is
19 separated from Corbin, and the Central Corbin boundary
20 as described on page 41 is supported by this sort of
21 analysis.

22 Q. Have you prepared a map of the reservoir
23 showing the net sands attributable to the Central
24 Corbin Queen and pool area?

25 A. Yes, sir.

1 Q. Let me refer you to Exhibit 1, page 36.

2 What does this show you, as a geologist?

3 A. This is a net sand isopach of porosity
4 greater than or equal to eight percent in the Central
5 Corbin Queen reservoir. It defines the northern,
6 eastern and western boundaries of the pool. There's a
7 maximum of 34 feet of porosity which occurs in two
8 wells, the Federal "AE" #4, and the northeast of the
9 southeast of Section 4, and the Federal "AA" #1 in the
10 northwest of the northeast of Section 9. Porosity
11 thins both north/south--pardon, north, east and west
12 from these wells, pinches out in several wells to the
13 east, and pinches out almost in one well to the west,
14 northeast/northeast of 8. The net porous sand does
15 continue to the south past the pool boundaries which
16 goes below the oil/water contact and is wet.

17 Q. Have you further refined the sand map and
18 created a phi-H map for the engineers to utilize?

19 A. That and a net pay map.

20 Q. Let's turn to page 37. Is that your net
21 pay map?

22 A. Yes.

23 Q. Describe for us what you've done here.

24 A. I've applied the oil/water contact based on
25 water tests in two wells to show the southern limit of

1 the field which is cut off by the oil/water contact.
2 So this map on page 37 fully defines the limits of the
3 Central Corbin Queen reservoir.

4 Q. Geologically are you satisfied, then, that
5 the acreage proposed to be included for secondary
6 recovery under unit operations is consistent with and
7 agrees with the pool limits that you've defined here
8 on your map?

9 A. Yes, sir.

10 Q. Let's turn now to your phi-H map. That's
11 on page 38?

12 A. Yes.

13 Q. What's done here?

14 A. The phi-H map is a porosity thickness map
15 using the net pay map and average porosities for each
16 well, and it's the basis from which pore volume
17 estimates were produced.

18 Q. What's the reason that the technical group
19 elected to make a determination of pore volume for the
20 reservoir and for the unit?

21 A. To determine the amount of oil in place on
22 each individual tract, and to determine recoverable
23 secondary reserves.

24 Q. Are you satisfied that you've given the
25 engineering group the necessary geologic information

1 from which they can accurately and reliably calculate
2 reserves?

3 A. Yes, sir.

4 Q. In addition, can we use your geologic pore
5 volume map to determine the relative pore volume for
6 each of the individual tracts participating in the
7 unit?

8 A. Yes, sir.

9 Q. In the absence of voluntary participation,
10 are you confident as a geologist that the Examiner may
11 rely upon this geologic work to establish equities for
12 the compulsory unitization of other tracts that decide
13 not to voluntarily participate?

14 A. Yes, sir.

15 Q. Let's turn now to Exhibit No. 2, and I
16 believe that's not in the exhibit book. You have a
17 cross-section, don't you?

18 A. Yes.

19 Q. Use the locator plat for us on the far
20 right side of the display, and before you start
21 describing your observations and conclusions tell us
22 what wells are used on the display.

23 A. This cross-section includes Federal "AE" 6
24 and Federal "AE", which are in the main portion of
25 Central Corbin Queen, two Santa Fe wells, Corbin Fee

1 #2 and Corbin Fee #1, and also includes that gas well
2 which occurs in the southeast to the north/northwest
3 of Section 10.

4 Q. What does this information tell you?

5 A. The purpose of this illustration is to
6 demonstrate that the Santa Fe wells are indeed
7 correlatable to the reservoir at Central Corbin Queen
8 and are in the same source of supply; the correlation
9 of cleaner sandstone beds, which are the yellow
10 portion on the cross-section. This is indicated by
11 the lower gamma ray which indicates that these wells
12 are indeed correlatable to the main portions of
13 Central Corbin Queen and are indeed in communication
14 with that field.

15 The cross-section also shows the gas well
16 in Section 10 which, for the most part is dirtier tire
17 sandstone as evidenced by the higher gamma ray
18 reading, with the exception of one little streak of
19 porosity which is not correlatable to the field. This
20 is the well that was completed as a gas well but never
21 produced. It's structurally low to the oil wells.
22 It's clearly separated.

23 Q. Have you reviewed each and every one of the
24 geologic displays and the geologic information shown
25 in Exhibit 1?

1 A. Yes, sir.

2 Q. Have you satisfied yourself that that
3 information depicted is accurate and reliable?

4 A. Yes, sir.

5 Q. And that it might be relied upon by others
6 in making decisions in this case?

7 A. Yes, sir.

8 Q. Let me have you summarize for us what your
9 geologic conclusions are that apply to this case.

10 A. I can conclude that the Central Corbin
11 Queen is adequately developed. From this development,
12 substantial geologic information was gathered from
13 which I can conclude the limits of the pool.

14 The pool boundaries closely coincide with
15 the proposed unit boundaries.

16 The geology supports the inclusion of each
17 and every tract into the unit and each and every tract
18 produces from a common source of supply.

19 The Queen reservoir is vertically and
20 horizontally separated from any other pool and is a
21 viable candidate for waterflooding.

22 MR. KELLAHIN: That concludes my direct
23 examination of Mr. Doty. I think procedurally I will
24 beg your indulgence, move the admission of Exhibits 1
25 and 2, recognizing that the engineering witness has

1 not qualified the portions of Exhibit No. 1 and we
2 will do so when he appears.

3 EXAMINER STOGNER: Do you have any
4 objection to that?

5 MR. PADILLA: I don't have any objection.

6 EXAMINER STOGNER: Exhibit 1 and 2 are
7 admitted into evidence at this time.

8 Mr. Padilla, your witness.

9 EXAMINATION

10 BY MR. PADILLA:

11 Q. Mr. Doty, I only have a couple of questions
12 and they relate to the Santa Fe wells or even to any
13 of the wells in your geologic description as shown,
14 say, on page 38.

15 As I understand, you've given the Corbin #2
16 and the Corbin #1 certain sand thickness figures? Is
17 that what those numbers are, 1.62 and 2.37 on page 38?

18 A. Yes, sir, pore volume figures.

19 Q. How does that pore volume relate to the
20 ability of a well to produce?

21 A. There's not a one-to-one correlation
22 precisely with pore volume and the ability of a well
23 to produce in this field. The Santa Fe wells, on a
24 relative basis, have greater pore volume than you
25 would depict from their initial potential or the

1 ability of those wells to produce.

2 Q. Are you familiar with the producing
3 characteristics of both of the Santa Fe wells?

4 A. Not specifically, sir.

5 Q. Do you know that the Corbin #1 is a poorer
6 well than, say, the Corbin #2 well?

7 A. That I am aware of, yes.

8 Q. Yet the Corbin #1 has a higher pore
9 numerically?

10 A. Yes, sir.

11 Q. Can you explain the difference for why this
12 may be so?

13 A. That occurs often in the field. For
14 example, "AE" #5 is a much better well than the Corbin
15 #2 and it has quite significantly less pore volume. I
16 can't fully explain it. Part of the reason would be
17 timing of the development, pressure depletion from
18 nearby wells.

19 Q. I can understand how pressure depletion
20 might affect the production, but I'm unsure as to how
21 to explain it in terms of pore volume as exemplified
22 by these two wells.

23 A. Yes, sir.

24 Q. Let me take that a step further and ask you
25 to look in Section 9. There's a #3 well there with a

1 3.60 numerical?

2 A. Yes.

3 Q. Can you tell me how that would compare
4 with, say, the Santa Fe well, the Corbin #1, if you
5 know?

6 A. From a standpoint of producing
7 capabilities?

8 Q. Yes.

9 A. I'm sorry, sir, I don't know.

10 Q. Do you know how the participation formula
11 or how these numbers were incorporated into the
12 participation formula for the unit?

13 A. No, sir.

14 Q. Do you know whether there is a difference
15 in the participation formula depending on the various
16 numericals assigned to the various wells?

17 A. Certainly.

18 Q. And how does that happen?

19 A. I'm not able to testify about the specific
20 formula. We have testimony that will discuss that.
21 That's beyond my expertise.

22 Q. How did your geologic presentation enable,
23 say, the engineers that you work with, to assign the
24 participation numbers and the ultimate conclusions as
25 far as participation was concerned?

1 A. Specifically oil in place. This is getting
2 to oil in place, which is very important in this
3 field, but most of the money you're going to make is
4 from the secondary reserves, not from the primary
5 reserves.

6 Q. So what you're telling me is that pore
7 space has nothing to do with the participation
8 formula?

9 A. No, sir, pore space has everything to do
10 with it because it describes the amount of oil in
11 place in each individual tract.

12 Q. Wouldn't it make since that a well, just
13 comparing the Corbin #1 with the Corbin #2 that you
14 would, on the basis of pore space, have a higher
15 participation, say, for the 40-acre tract of which the
16 Corbin #1 is located?

17 A. On the basis of pore space, yes, it would
18 have additional participation because of the higher
19 pore volume and the higher oil in place in that tract,
20 and, therefore, the greater secondary recovery
21 reserves to be recovered.

22 Q. Do you know if there is a difference in,
23 say, the Corbin #1 and the Corbin #2 as far as
24 participation in the unit production is concerned?

25 A. That's again a question for our engineer.

1 Q. Those numbers are included in your Exhibit
2 No. 1 somewhere, aren't they?

3 A. Yes, sir.

4 Q. And let me see if I understand your
5 testimony correctly. Turning to page 37, on the
6 southeast quarter of section--well, I should say the
7 southeast of the southwest quarter of Section 3, you
8 base your zero line on that dry hole in that 40-acre
9 tract?

10 A. Yes, sir.

11 Q. Is that well shown on any cross-section
12 that you have?

13 A. No, sir, it isn't.

14 Q. Was that well drilled to the Queen
15 formation, do you know?

16 A. It was a deeper objective.

17 Q. What was the objective?

18 A. That, I don't know, sir. I know it was
19 TD'd deeper than the Queen.

20 Q. You simply looked at the well log? Is that
21 what you looked at?

22 A. Yes.

23 Q. But do you know whether that well was ever
24 tested in the Queen?

25 A. No, sir.

1 Q. Do you know whether there are any other
2 Queen wells east of Sections 3 and 10?

3 A. Yes, sir, there are. Well, let me see.

4 Q. It would be in Sections 2 and the section
5 right underneath Section 2, whatever that section is?

6 A. I can't show you a map of those sections.

7 Q. But you're saying there is Queen production
8 east of those two sections?

9 A. I would have to locate myself because we
10 operate a Bone Spring field to the east which has
11 Queen pay behind which has not produced as of yet, the
12 Mescalero Scarpi.

13 Q. How far away is that Bone Spring field?

14 A. About three miles east.

15 Q. But immediately beyond this map there, to
16 your knowledge, there's no Queen production or is
17 there Queen production?

18 A. Not to my knowledge.

19 Q. Do you know whether there has been any
20 wells drilled that tested for Queen production in
21 Sections 2 and I believe it would be Section 11?

22 A. I'm sure there's penetrations of the
23 Queen. I don't know if there has been any Queen
24 tests.

25 Q. How about the well in Section 10? That

1 well in the northwest quarter of Section 10 is shown
2 on your cross-section, is it not?

3 A. The gas well?

4 Q. Yes.

5 A. Yes, sir.

6 Q. Did that well test the Queen for oil
7 production?

8 A. It was completed as a gas well.

9 Q. In the Queen formation?

10 A. Yes, sir.

11 MR. PADILLA: I believe that's all the
12 questions I have.

13 EXAMINER STOGNER: Thank you, Mr. Padilla.
14 Mr. Kellahin, any redirect?

15 MR. KELLAHIN: No, sir.

16 EXAMINER STOGNER: I don't have any
17 questions of the witness.

18 Are there any further questions of this
19 witness? Mr. Kellahin.

20 MR. KELLAHIN: I'll call Archie Taylor at
21 this time. He's a reservoir engineer with OXY.

22 EXAMINER STOGNER: Mr. Kellahin, will we
23 need to be referring to the cross-section?

24 MR. KELLAHIN: No, sir. I think you can
25 fold that up.

1 ARCHIE R. TAYLOR

2 the witness herein, after having been first duly sworn
3 upon his oath, was examined and testified as follows:

4 EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Taylor, would you please state your
7 name and occupation.

8 A. My name's Archie Taylor. I'm a petroleum
9 engineer for OXY, USA.

10 Q. Mr. Taylor, on prior occasions have you
11 testified as a reservoir engineer before the Division?

12 A. No, I haven't.

13 Q. Summarize for us your educational
14 background?

15 A. I graduated from the University of Missouri
16 at Raleigh in May of 1977 with a B.S. in petroleum
17 engineering.

18 I then went to work for City Service in
19 Oklahoma City, Oklahoma, as a reservoir engineer.

20 After working on units there, waterfloods
21 and other reservoir tasks, I moved to Denver, Colorado
22 as a regional reservoir engineer supervising the
23 reservoir engineering for the Rocky Mountain region,
24 where I was involved with unitizing various fields in
25 Wyoming and North Dakota.

1 Q. Describe for us what it is that you have
2 done in the past apart from this project as a
3 unitization engineer. What does a unitization
4 engineer do?

5 A. We basically are involved in working on the
6 technical committees, putting together feasibility
7 studies, determining whether or not the waterflood or
8 enhanced recovery process was economic; work up
9 reserves for remaining primary, come up with
10 parameters to be used in participation formulas, and,
11 in some cases, recommend to working interest owners
12 the proper formulas to be used.

13 Q. Have you made yourself familiar with the
14 engineering report and geologic information that's
15 shown on Exhibit No. 1 dated July of 1990?

16 A. Yes, I have.

17 Q. Describe for us your personal involvement
18 in this project.

19 A. Basically it started in January of this
20 year supervising the unitization efforts by putting
21 together this feasibility study to be sent to the
22 working interest owners.

23 Q. Are you familiar with the engineering
24 details, the figures, tables and plats that have been
25 prepared and have been introduced by the Examiner in

1 Exhibit No. 1?

2 A. Yes.

3 MR. KELLAHIN: We tender Mr. Taylor as an
4 expert petroleum engineer.

5 EXAMINER STOGNER: Are there any
6 objections?

7 Mr. Taylor is so qualified.

8 Q. Based upon your review of all the
9 engineering information as well as relying on the
10 geologic conclusions with regards to the Central
11 Corbin Queen Unit, have you formulated engineering
12 opinions about the feasibility of waterflooding the
13 Central Corbin Queen pool?

14 A. Yes.

15 Q. Have you satisfied yourself that you have a
16 viable, feasible project to be implemented with the
17 assistance of the statutory unitization procedures?

18 A. Yes.

19 Q. And if implemented by the Division with the
20 use of those orders, will you be able to recover
21 additional secondary oil recovery by waterflood
22 operations that you might not otherwise recover?

23 A. Yes.

24 Q. Is that volume of additional oil recovery a
25 substantial volume of oil?

1 A. Yes, it is.

2 Q. Describe for us what you mean by
3 "substantial."

4 A. Well, the volume would vastly exceed the
5 value and reserves under remaining and continued
6 primary operations.

7 Q. Quantify for us the estimated volume of
8 secondary oil recovery to be recovered from this pool.

9 A. The additional oil to be recovered in the
10 waterflood is estimated to be about 570,000 barrels of
11 oil.

12 Q. Let me have you turn your attention, sir,
13 to page 3 of Exhibit No. 1, and summarize for us,
14 then, what are the major summary points of the
15 engineering work you participated in for this
16 particular project.

17 A. Basically, development was begun in March
18 of 1985. Currently, most of the productive areas of
19 the field have been developed at this time.

20 Productive limits are controlled by
21 porosity and lip fluid contacts. The oil/water
22 contact exists at about 300 feet below sea level.

23 The producing rate in the field has been
24 rather severe. With most of the primary reserves
25 having been produced, we have estimated approximately

1 70,000 barrels of remaining primary.

2 Q. You said production has become severe.

3 What do you mean by "severe"?

4 A. Production decline.

5 Q. The rate of production for the existing
6 wells under primary production has reached a severe
7 drop in their producing rates?

8 A. Yes, it dropped significantly from the
9 initial producing rates.

10 Q. Your initial discovery of production is in
11 early 85, is it?

12 A. Yes.

13 Q. When you go through a period of development
14 in the pool?

15 A. Right.

16 Q. Approximately when did you accomplish or
17 did the interest owners in this area accomplish full
18 development of the pool?

19 A. I believe it would have been about 1988
20 when the well finished.

21 Q. Approximately when did you commence to see
22 a severe drop in the rate of producing or a decline in
23 the primary production for the pool?

24 A. About 1987, when we really noticed the
25 producing rates showing the severe decline.

1 Q. You've estimated for us the remaining
2 primary production for those wells?

3 A. Yes.

4 Q. As of what date did you make that estimate?

5 A. For purposes of feasibility study here, we
6 estimated it based upon April of 1989 data.

7 Q. And based upon April of 89 data, what is
8 the estimated primary reserves to be produced?

9 A. 70,000 barrels of oil.

10 Q. Have you satisfied yourself and reached the
11 engineering conclusion that it is feasible to
12 waterflood this pool for secondary oil recovery?

13 A. Yes.

14 Q. How have you gone about accomplishing that
15 task? What do you do as an engineer to satisfy
16 yourself that this is a unit that's suitable for
17 waterflood?

18 A. Basically we go through and try and define
19 the limits of the field by looking at logs, production
20 characteristics, PVT data, anything that would help
21 define the limits.

22 Q. Are you satisfied that you have sufficient
23 engineering information to reach conclusions, then,
24 about the floodability of this pool?

25 A. Yes.

1 Q. Now, you've raised the topic of the
2 boundaries. Have you, as an engineer, independently
3 confirmed the geologic conclusions about the suitable
4 boundary of the unit?

5 A. Yes, I have.

6 Q. What is the criteria that you, as an
7 engineer, apply to making a determination that the
8 boundary is an accurate, reliable boundary to give you
9 effective and efficient control of the pool?

10 A. We include looking at the logs, looking at
11 production data. If there's any dry holes that tested
12 dry, that will tend to help orient log analysis
13 parameters; whether a well produced oil or water or
14 gas would also influence the limits of the reservoir.

15 Q. How did you go about calculating the
16 primary reserves?

17 A. Took individual well decline curves and
18 forecasted based upon the historical production what
19 the future production would be.

20 Q. Is that a typical engineering methodology
21 to calculate primary reserves?

22 A. Yes, it is.

23 Q. How did you go about calculating the
24 secondary reserves?

25 A. The secondary reserves were based upon

1 analogy to offsetting fields that Mr. Doty has
2 previously mentioned, specifically the E-K and North
3 E-K field. The E-K field is very similar in size and
4 number of producing wells to the Central Corbin
5 Queen. Both of these wells, or fields, were flooded
6 back in the 1960s and 70s and have subsequently been
7 disbanded as units.

8 Q. So you had a historical basis of
9 engineering information from the E-K pool--

10 A. Right.

11 Q. --under secondary waterflood operations
12 that you could use as an actual historic model, then,
13 to plot the secondary reserves for the Central Corbin
14 Queen?

15 A. Yes.

16 Q. In terms of an investment of capital into
17 secondary recovery operations for the Central Corbin
18 Queen, approximate for us the total number of dollars.

19 A. We have estimated that it will entail an
20 investment of approximately \$890,000. \$360,000 of
21 that would be for well conversions to convert wells to
22 injection, and the remaining \$530,000 would be for
23 injection lines, service facilities and that sort of
24 thing.

25 Q. Based upon the cost related to the recovery

1 of secondary oil, is this going to be a profitable
2 operation?

3 A. Yes, it is. We have estimated a discount
4 of net cash produced from the waterflood operations of
5 about \$2.9 million, including both primary and
6 secondary reserves. The incremental waterflood has
7 been estimated to be \$2.2 million.

8 Q. Have you plotted the production from the
9 key wells in the unit or from the unit itself?

10 A. Yes.

11 Q. Let me direct your attention to the exhibit
12 book, Exhibit 1, to page 86 if you will. What's the
13 purpose of this display?

14 A. The appendix here shows the decline curves
15 that we used for the data up through April of 1989.
16 This shows the reserves we've attributed for the
17 Federal "AA" #1 on page 86. You can see the severe
18 decline that started in 1987 and continued on up
19 through 1989 on this graph. It also shows the
20 remaining primary forecast for each of the wells that
21 were used.

22 Q. The engineering group prepared similar
23 decline curves on all the producing wells?

24 A. Yes. They're listed here in the appendix.

25 Q. Is this characteristic of the producing

1 wells within the proposed unit area?

2 A. Yes. As a matter of fact, this one was one
3 of the first wells in the field, so it had some time
4 before we saw the decline. Other wells underwent some
5 severe decline right after initial completion.

6 Q. Let's look at Exhibit No. 3. Have you
7 plotted the production from the proposed unit wells
8 within the pool to see what that shows you?

9 A. Yes, I have.

10 Q. Is that what's demonstrated on Exhibit
11 No. 3?

12 A. Yes.

13 Q. Define for us what each of the codes are,
14 for understanding the display.

15 A. The blue curve is the oil rate, the green
16 curve is the gas producing rate and the red curve is
17 the water rate for the total field production within
18 the Queen reservoir.

19 Q. Within the proposed unit we don't have
20 wells that classify as gas wells?

21 A. No.

22 Q. But there is some gas in association with
23 the oil that's produced by the oil wells?

24 A. Yes, there is some solution gas.

25 Q. And you do have some water production in

1 the pool?

2 A. Yes.

3 Q. What does this tell you?

4 A. Well, currently the field is only producing
5 about 50 barrels of oil per day or less from over 20
6 wells, so the wells are getting close to their
7 economic limit. There are some wells that are better
8 than others in a field but, on the whole, the field is
9 not making a whole lot of money right now.

10 Q. In terms of timing for the implementation
11 of a waterflood project, Mr. Taylor, can you either
12 look at page 86 of Exhibit 1 or Exhibit 3, and tell us
13 your engineering conclusion about the timing for
14 implementation of waterflood?

15 A. The waterflood should be started as soon as
16 possible.

17 Q. Why is that?

18 A. That would enhance the value to the working
19 interest owners in the proposed unit.

20 Q. What's accomplished by the timely injection
21 of water into the unit in the immediately foreseeable
22 future? What happens? You put water in the reservoir
23 and then what does that do?

24 A. That would increase your producing rates
25 from the producing wells.

1 Q. Does it have an effect on your gas/oil
2 ratio?

3 A. Well, the gas oil ratio should end up going
4 down, I would expect. I believe we are probably
5 producing some free gas at this point. And, under our
6 waterflood operations, we would put that gas back into
7 solution and form an oil bank to be pushed to the
8 producing wells.

9 Q. When we look at the horizontal line on your
10 Exhibit No. 3 and we take it over to 1991, at the end
11 of 91 there's a sharp increase in the oil rate. What
12 does that represent?

13 A. In 1991, for purposes of this exhibit, we
14 have assumed the waterflood was initiated in January
15 of 91. The continued decline is the further field
16 work to get injection wells going, and then a
17 flattening and slight increase to a large increase in
18 producing rates as a result of the stimulation from
19 water injection.

20 Q. The water injection will extend the life of
21 the operations within the pool? Is that what
22 happened? If you take the normal decline without
23 waterflood operations, that decline would take you
24 into, what, about 97, maybe?

25 A. Well, the forecasted reserves for the

1 individual wells have a longer life than what we would
2 see under a waterflood.

3 Q. Can you use this display to quantify the
4 secondary reserves to be produced under waterflood
5 operations?

6 A. Basically it would be an extrapolated line
7 from what is currently going on, with the wedge
8 following the blue line.

9 Q. If the Examiner desired to do so, he could
10 settle a decline line through established production
11 as it exists in the absence of waterflood? Establish
12 a decline--

13 A. Yes.

14 Q. --go over there and finish off the
15 extension of the decline under secondary operations,
16 and the difference between one decline and the second
17 decline is the secondary oil recovery?

18 A. Right.

19 Q. Okay. All right. Let's turn now to
20 Exhibit No. 4. What does this tell us?

21 A. Exhibit 4 is the production history for the
22 North E-K Queen Unit.

23 Q. All right. This is the type case, then?
24 This is the analogous Queen flood?

25 A. Right.

1 Q. What does this show?

2 A. This shows the oil production under primary
3 operations, and then the oil recovery under the
4 waterflood operations, beginning in approximately
5 1970.

6 Q. Let me ask you to turn now to Exhibit
7 No. 5. What's the purpose of this display, Mr.
8 Taylor?

9 A. Exhibit 5 shows the similarities between
10 the North E-K Field, which was waterflooded, and the
11 Central Corbin, which we're producing to waterflood.

12 We've listed here the net pay comparisons
13 that were picked directly off the logs, and the
14 porosity values, the number of wells for each of the
15 fields--the number of producing wells prior to the
16 unit operations, the frac size. All wells and the
17 wells of both fields were frac'd upon initial
18 completion.

19 You compare the performance, average IPs.
20 In the Central Corbin it's slightly higher, but you
21 also had slightly larger frac jobs. The initial
22 decline rates are similar. The primary recovery is
23 similar, and ultimate recovery we have down here as
24 being approximately the same.

25 Q. The purpose, then, is to use the North E-K

1 as a type example by which to compare performance
2 projected for the Central Corbin Queen?

3 A. Yes.

4 Q. If you will, based upon that analysis, if
5 you'll take Exhibit No. 4, which is the E-K Queen--
6 This is actual documented performance under secondary
7 operations?

8 A. Right.

9 Q. --and compare that to your projected curve
10 of performance in the Central Queen, you can put them
11 together and overlie them?

12 A. Yes, sir.

13 Q. What does that tell you?

14 A. They're very similar. It gives me
15 confidence that we should expect the same sort of
16 production rates over time.

17 Q. Do you have any reservations about the
18 methodology used by you and employed by you to
19 calculate the secondary oil reserves for the Central
20 Corbin Queen Unit?

21 A. No.

22 Q. Let's go on now to a discussion of what you
23 have done to share this information with other working
24 interest owners that you propose to be included in
25 participating in production for the unit. Give us a

1 chronology of events and your efforts to get others to
2 participate.

3 A. Basically, we went through an initial
4 feasibility study in 1987. This was subsequently
5 updated in 1989, and we sent it out to working
6 interest owners in May of this year for their review
7 and comments, suggestions, et cetera.

8 Q. During that exercise, has anyone suggested
9 to you a different methodology to be applied to
10 quantifying the remaining primary reserves?

11 A. No.

12 Q. Have they suggested to you any alternate
13 solutions for solving the secondary reserves?

14 A. No.

15 Q. Has anyone criticized or objected about the
16 methodology that you have employed to calculate either
17 of those numbers?

18 A. No.

19 Q. Let's go to Exhibit No. 1 page 43. All
20 right. On page 43, what's represented here, Mr.
21 Taylor?

22 A. This is another locator map. This map
23 shows Queen waterfloods located in the area of Central
24 Corbin Queen. The legend at the bottom shows the
25 different patterns that were used in these fields.

1 Q. What pattern do you propose to utilize for
2 this waterflood?

3 A. 80-acre five-spot, which is the same as the
4 E-K and North E-K, directly adjacent to Central Corbin
5 used.

6 Q. Could you have any reservations that using
7 that five-spot 80-acre pattern has successfully
8 recovered additional incremental oil for other
9 waterflood operations in the Queen?

10 A. Not consistently, no.

11 Q. What have the operators done, then, to
12 modify their injection plan to aid them in production
13 of secondary oil? There are some that use the 80-acre
14 five-spot. Are there other solutions used?

15 A. Some, as noted on this graph, had 20-acre
16 five-spots. Our investigations into that showed that
17 a large portion of these infill wells did not recover
18 additional oil.

19 Q. What's your recommendation to the Examiner,
20 then, as regards to the acres and the spot pattern to
21 be used for water injection?

22 A. They should be 80-acre five-spots.

23 Q. Turn now, sir, if you will, to page 44.

24 Does this show the proposed injector pattern for the
25 unit operations?

1 A. Yes, it does.

2 Q. Describe for us the plan, then.

3 A. The plan would be to use these 12 wells as
4 injection wells for the unit. This would allow--would
5 give us basically 80-acre five-spot patterns without
6 having to drill additional wells and undergo that
7 expense. As I mentioned before, this is the same sort
8 of pattern that was used on the North E-K, which we
9 based our analogy and production forecasts on.

10 Q. Compare the pattern you proposed on page 44
11 to the Queen sand net pay map that Mr. Doty had on
12 page 37. You can overlay one, bend the page on 37 and
13 look at 44.

14 Does your proposed injector pattern give
15 you an effective and efficient flood pattern for this
16 particular reservoir?

17 A. Yes, it does.

18 Q. When we look at the tracts in which Mr.
19 McAlpine has an interest in Section 3, Tracts 6 and 7,
20 the #1 well is proposed for conversion as an injector?

21 A. Yes.

22 Q. And the #2 well would remain as a producer?

23 A. Right.

24 Q. What's the purpose of doing that?

25 A. This is to aid in the sweep of oil from the

1 injection well toward the producing wells. Without
2 this, there would be oil that would remain in the
3 reservoir because there would either be no production
4 from that well in that area of the reservoir, or you
5 would not be able to pressure up the reservoir to
6 increase the producing rate.

7 Q. Let me have you turn now to page 38 of
8 Exhibit No. 1. This is the pore volume map, the phi-H
9 map. To what purpose did you use this display in your
10 work with regards to this project?

11 A. This one, originally we looked at this to
12 determine where the oil was in the ground, where we
13 should have injection wells and whether they would be
14 needed.

15 Q. Does your proposed plan for injection
16 accomplish the purpose of putting the injectors at the
17 best possible locations in the pool?

18 A. Yes.

19 Q. Does it aid you in quantifying the
20 secondary oil reserves?

21 A. Yes, it does.

22 Q. And it gives you an accurate and reliable
23 basis for understanding the original oil in place?

24 A. Yes.

25 Q. Has this been used to derive one of the

1 components for the participation formula?

2 A. Yes.

3 Q. What are the parameters for the
4 participation formula?

5 A. Basically there are four parameters in the
6 participation formula; we have cumulative production,
7 remaining primary, current producing rate and pore
8 volume.

9 Q. What is the purpose of including pore
10 volume as one of the parameters in the participation
11 formula?

12 A. That the pore volume, essentially, is where
13 the oil is in the reservoir.

14 Q. If a tract owner has the good fortune to be
15 in a tract that has a large amount of oil underlying
16 his tract, he is given credit in the participation
17 formula for that fact?

18 A. Yes.

19 Q. Correspondingly, if he doesn't have the
20 benefit of having significant pore volume in the
21 reservoir underlying his tract, he doesn't get a
22 credit for it?

23 A. Right.

24 Q. How do you balance, then, the fact that
25 certain wells may be more productive and not

1 correspond to the pore volume? Is there a component
2 in the participation formula to take into
3 consideration the current producing rates of wells?

4 A. Yes. We have, actually, 10 percent of the
5 formula as current producing rate.

6 Q. Okay. What about remaining primary
7 production from that well? Is that a component?

8 A. Yes, it is.

9 Q. And what percentage?

10 A. That's 25 percent of the formula.

11 Q. Does an interest owner get credit for the
12 fact that regardless of his pore volume, he had a
13 terrific well that produced a bunch of oil?

14 A. Yes.

15 Q. He gets a cumulative oil credit?

16 A. Right.

17 Q. Of what percentage?

18 A. The cumulative oil percentage was 30
19 percent of the formula.

20 Q. And what is the percentage of the pore
21 volume?

22 A. The pore volume was weighted at 35 percent
23 of the formula.

24 Q. You've dealt with other participation
25 formulas for other units, have you not?

1 A. Yes.

2 Q. In selecting a participation formula to be
3 applied to the Corbin Queen, can you reach an
4 engineering conclusion that this is a fair and
5 equitable formula?

6 A. Yes.

7 Q. Describe for us why you think it's fair and
8 equitable.

9 A. Since there were questions as to the
10 comparison of producing character of the well and the
11 quality of the primary production on a direct
12 comparison with pore volume, we went ahead and then
13 added in the additional primary production parameters
14 into the formula. That way, you know, we would get
15 weighted pore volume, as well as production, to try to
16 balance the unknowns or interpretations or
17 misinterpretations that could come about in the field.

18 Q. By applying this particular formula to this
19 pool, does OXY get a benefit or an advantage over any
20 other working interest owner?

21 A. No, sir.

22 Q. In fact, does any working interest owner
23 receive a windfall or an advantage over others by use
24 of this formula?

25 A. No.

1 Q. The participation formula, have you shared
2 that proposed participation formula with other working
3 interest owners?

4 A. Yes. We sent it out earlier this year and
5 asked for comments.

6 Q. Who are the major working interest owners?
7 Don't give me the whole list, but give me the major
8 ones.

9 A. Basically OXY, Conoco, Santa Fe Energy, and
10 then various working interest owners under Tracts 6
11 and 7 with Mr. McAlpine being one.

12 Q. Did we have Yates involved in this unit?

13 A. Yes.

14 Q. Have any of the working interest owners
15 that are obviously knowledgeable about this kind of
16 thing, ever propose to you an alternative
17 participation formula?

18 A. No.

19 Q. Did Mr. McAlpine ever object to your
20 participation formula?

21 A. No.

22 Q. Did he ever propose one of his own?

23 A. No.

24 Q. Did he have an opportunity to do so?

25 A. Yes.

1 Q. Let's look at Exhibit No. 6, if you would.
2 Now, when we take the participation formula, have you
3 come up with a display that represents how you've
4 allocated the secondary recovery back to the
5 individual tracts? Isn't that what we can do with
6 this display?

7 A. Yes.

8 Q. It's to figure out the equity parameters
9 and to see the tract participation?

10 A. Yes. This Exhibit 6 shows the parameters
11 that were used in the formula, the fraction of the
12 total of that parameter that that tract would have,
13 and then the third column under each individual
14 parameter shows the percent of the formula that that
15 tract would have.

16 Q. Okay. Let's start reading the display,
17 Exhibit 6, and look at Tract 6. Find Tract 6.

18 A. Okay.

19 Q. When you read across, and cumeoil as of the
20 April 89 date is simply a reported number, is it not?

21 A. Right.

22 Q. So you rely upon reported information on
23 cumulative oil production and get that component to
24 the formula?

25 A. Right.

1 Q. The next major one is the remaining
2 reserves for that tract. You have 208 barrels?

3 A. Right.

4 Q. Is that all?

5 A. That's what was forecasted at that time.

6 Q. How do you make the forecast of the
7 remaining primary reserves?

8 A. Basically an estrapolation from what the
9 well has done.

10 Q. The conventional traditional decline curve
11 analysis per well?

12 A. Yes.

13 Q. And that will get the 208 for that tract?

14 A. Yes.

15 Q. Then the current producing rate for that
16 tract is 17 barrels a month? Is that a monthly
17 number?

18 A. Right.

19 Q. Mr. McAlpine's interest in Tract 6 is in a
20 well that produces less than a half a barrel per day
21 under primary production?

22 A. Yes, approximately a half a barrel per day.

23 Q. When we look at the pore volume credit for
24 his tract, under 6, you get almost 60 acre-feet?

25 A. Right.

1 Q. And then the last tract participation
2 percentage represents what?

3 A. That's the actual participation in the unit
4 production.

5 Q. That's the end number after running the
6 calculation?

7 A. Right.

8 Q. Okay. When we look at the net phi-H number
9 for an individual tract and we look at page 38, if you
10 look at the pore volume map. If you look at the pore
11 volume map for each of the wells there is a number;
12 for example, in Tract No. 6 I think it's 1.62. What
13 does that represent on page 38? Do you see Tract 2, I
14 mean, Tract 6, you see the Well #2, the 1.62? What
15 does that represent?

16 A. The 1.62 represents the calculated
17 density/porosity feet, porosity feet for that well,
18 calculated from the well log.

19 Q. When we look, then, at the net pore volume
20 for that Tract No. 6, it's 60. How do you get the
21 calculation? What do you do?

22 A. We planimeter the area of each of the
23 contour lines that have been contoured on this map, go
24 through the formula for calculating volume based upon
25 the area and thickness.

1 Q. And you applied that same methodology to
2 all the wells, regardless of who had their ownership?

3 A. Yes.

4 Q. Let's go now to Exhibit 7. What does
5 Exhibit No. 7 show?

6 A. Exhibit 7 shows the results of applying the
7 tract participation formulas to the remaining
8 reserves, the secondary reserves, and then the actual
9 economics for that tract based upon the participation
10 formula interests.

11 Q. When we look at the display, then, first
12 it's the tract number, the lease name, the well
13 number, remaining reserves. When we looked out and
14 let's find Tract No. 6, the one in which Mr. McAlpine
15 has an interest, that's the Corbin Fee #1 well, and we
16 see 80 barrels. What does that represent?

17 A. That is the barrels of remaining primary
18 estimated from an extrapolated decline curve from
19 March of 1990 data.

20 Q. So when we compare 6 and 7, we're using a
21 little different time frame in pegging the
22 information?

23 A. Right.

24 Q. Okay. Why did you prepare number 7? What
25 did you want to find out?

1 A. We wanted to make sure that under current
2 conditions that the waterflood value for each tract
3 still exceeded the value for primary.

4 Q. You had satisfied yourself in 5/89 that it
5 worked?

6 A. Right.

7 Q. And you wanted to visit that topic again in
8 March of 1990 to see if it was still a correct
9 conclusion?

10 A. Right.

11 Q. What did you conclude?

12 A. That each one of the tracts proposed to be
13 included in the unit would have additional value under
14 the unitized operations.

15 Q. How do we know that by looking at Exhibit
16 No. 7? For example, for Tract 6 we know remaining
17 primarily is 80 barrels, secondary based on
18 participation I think it's 7,000 barrels. How do you
19 read the rest of it?

20 A. Could you repeat that?

21 Q. Yes, sir. On tract 6, reading horizontally
22 along, we get to secondary, that tract's share of the
23 secondary oil recovery based on this participation
24 formula?

25 A. Right.

1 Q. Okay. What's the next number?

2 A. The next number is the remaining primary
3 discounted net cash produced as of 1/1/91, the assumed
4 start date of the waterflood.

5 Q. Why is it zero for Tract 6?

6 A. In our estimation, the well will not have
7 any remaining economic reserves as of that date.

8 Q. For the #1 well, then, in Tract 6, it has
9 no further value under primary production?

10 A. Right.

11 Q. The secondary value is what?

12 A. \$30,000.

13 Q. What is incremental secondary economics?
14 The last number, what is that?

15 A. That's simply the value under secondary
16 operations minus the value of primarily.

17 Q. The second to the last column and the last
18 column are going to be the same if there's a zero
19 component for the primary reserves?

20 A. Right.

21 Q. Let's look at Tract 7, where there is
22 remaining primary trend, okay? Tract 7, remaining
23 primary is 7,800 barrels; secondary share is 34,000
24 barrels--

25 A. Right.

1 Q. --attributable to that tract? Okay. The
2 remaining primary economics is 68? What does that
3 represent, \$68,000?

4 A. Yes, \$68,000 is the value from 1/1/91 of
5 continued operations of that well.

6 Q. And its economic value is \$147,000 dollars
7 for the secondary reserves share.

8 A. That includes the secondary and primary
9 reserves.

10 Q. What is the net gain, then, under secondary
11 operations?

12 A. The net gain under secondary operations is
13 \$79,000, the last column.

14 Q. For Mr. McAlpine and the working interest
15 owners in Tract 7, if their tract is put into this
16 waterflood operation, there is a net gain to them of
17 \$80,000 for that tract's participation?

18 A. Yes.

19 Q. That translates back to some 34,000 barrels
20 of oil for that tract under secondary operations?

21 A. Yes.

22 Q. Should that tract be in or out?

23 A. It should be in.

24 Q. Let me direct your attention now to Exhibit
25 No. 8. This is your short summary of the various

1 efforts to establish the studies and complete the
2 work?

3 A. Yes.

4 Q. All right. Let's go on to Exhibit 9. Mr.
5 Taylor, have you examined various alternatives, one of
6 which is the exclusion of the two tracts in which Mr.
7 McAlpine has an interest, Tract 6 and Tract 7? Have
8 you examined that?

9 A. Yes.

10 Q. And if those tracts are excluded from the
11 waterflood, what have you done to analyze the impact
12 of that consequence?

13 A. Basically, as an alternative, if we could
14 not use the Corbin #1 well as an injection well, we
15 feel like we would need to, as one alternative, set up
16 a line of producing wells following the line of the
17 Federal "AE" #12 in Section 3 down, and following the
18 line around. Essentially this blank area in the map
19 shows the pore volume that would not be under
20 waterflood operations.

21 Q. Let me make sure we're clear on the
22 assumptions made in this analysis on Exhibit No. 9.
23 The first assumption is that neither Tract 6 or 7 is
24 included?

25 A. Right.

1 Q. The second assumption is that neither of
2 those two wells is converted for injection regardless
3 of whether they're in or out of the unit?

4 A. Right.

5 Q. The next assumption is that you've got to
6 make some adjustment in the injector pattern within
7 the unit, having excluded 6 and 7?

8 A. Right.

9 Q. What is the adjustment, then, in the
10 injection pattern?

11 A. Basically we dropped--we would end up
12 dropping, I believe it's three injection wells.

13 Q. A quick reference, if you'll turn to page
14 44 on your Exhibit 1. That shows your proposed plan,
15 right?

16 A. Yes.

17 Q. When you look in the northwest of 3, that
18 proposed injector for the #12 well has to remain a
19 producer?

20 A. Yes.

21 Q. When you look around in the northeast of
22 the southeast of 4, the #4 proposed injector must
23 remain a producer?

24 A. Yes.

25 Q. You drop on down into section--I guess

1 those are the only ones, right? and then you lose the
2 #1 as an injector?

3 A. Right.

4 Q. If those tracts are excluded and neither
5 are available for injection, do you see any
6 alternative?

7 A. Yes.

8 Q. All right. We will talk about the other
9 alternatives in a minute. Let's explore this
10 solution, all right?

11 You've avoided injectors in the immediate
12 proximity to Mr. McAlpine's tract because of what?

13 A. We would end up pushing oil across lease
14 lines, and we wanted too avoid that.

15 Q. You're required to avoid that, aren't you?

16 A. Yes.

17 Q. Having done that, what do you quantify to
18 be the magnitude of deleting those two tracts and
19 adjusting your injection?

20 A. Based upon our estimated recovery factor
21 for secondary reserves and the pore volume involved
22 with this, we have estimated that there would be about
23 86,000 barrels of secondary oil left in the ground.

24 Q. Lost?

25 A. Right.

1 Q. You're not going to get them, are you?

2 A. Right.

3 Q. Have you examined any other scenario to see
4 how to handle possible solutions with Mr. McAlpine's
5 Tracts 6 and 7?

6 A. Yes, we have.

7 Q. Okay. I would direct your attention to
8 Exhibit No. 10. Tell us what this proposal is.

9 A. One possible alternative would be to,
10 including these tracts in the unit, would be to set up
11 lease line injection. The problem that we ran into
12 here is that these two tracts have different working
13 interest owners which would entail, instead of just
14 one lease line injector, it would entail
15 drilling--having three lease line injection wells to
16 keep oil from being pushed across lease lines.

17 Q. Tract 6, as you understand stand, is a
18 separate lease that has different interest owners with
19 different percentages from Tract 7?

20 A. That's what I understand, yes.

21 Q. Recognizing that as a problem, what would
22 you do with your injectors along that common boundary
23 with those two differently owned tracts? You would
24 have to put injectors to protect each of those tracts,
25 would you not?

1 A. Yes. That's why we have the three
2 injectors.

3 Q. What's the benefit to the unit of doing
4 that?

5 A. The unit should recover approximately the
6 same amount of oil under this operation. It might be
7 slightly less, but on an overall there's not a large
8 difference in the ultimate waterflood recovery.

9 Q. All right. So the 86,000 barrels that are
10 at risk, if we do the solution on Exhibit 9, it can be
11 solved by drilling three more injectors?

12 A. Yes.

13 Q. At what economic cost?

14 A. That would cost us approximately \$330,000.
15 That's estimating \$150,000 for the cost of drilling
16 injection wells and then subtracting off the cost of
17 the well conversions that would not be converted from
18 the previous pattern.

19 Q. To recover the 86,000 barrels of oil for
20 the \$330,000, does that work?

21 A. Huh?

22 Q. Is there a positive net profit for spending
23 the money to gain that additional oil?

24 A. No. We could recover the same amount of
25 oil without that \$330,000 expenditure.

1 Q. And how would you accomplish that?

2 A. By the proposed inclusion of Tracts 6 and 7
3 in the unit.

4 Q. If they're excluded, then, in order to
5 protect the unit you're going to have to spend
6 \$330,000 that you would not otherwise have to spend--

7 A. Yes.

8 Q. --to recover the same amount of oil?

9 A. Right.

10 Q. Let's go to Exhibit No. 11. One of the
11 items on Mr. Stogner's checklist of things to look at
12 when we do this for him is to talk about the cost of
13 conversion to capital investments, that component to
14 the process. Describe for us what you've tabulated on
15 Exhibit No. 11?

16 A. Exhibit 11 is the proposed or estimated
17 cost of well conversions on the top portion. It shows
18 the breakdown of what is expected to be done. The
19 total for a well would be approximately \$30,000. For
20 all 12 well conversions, it would sum to be \$360,000.

21 Q. This is the itemization, then, of your
22 opening remarks, to say that the investment for
23 waterflood was \$888,000?

24 A. Yes.

25 Q. This shows you how you get that number,

1 right?

2 A. Right.

3 Q. In your opinion, is this a fair, reasonable
4 and accurate assessment of the cost to be expended for
5 the waterflood project?

6 A. Yes. This work was done by other
7 engineering staff in-house and should be pretty close
8 to the actual expenditures, I think.

9 Q. Let's turn now to the details of the
10 operations. Have you provided a summary sheet to talk
11 about the operational details?

12 A. Yes.

13 Q. That's Exhibit No. 12?

14 A. Exhibit No. 12 shows our expected
15 operational data that we expect to have under
16 waterflood operation. We would expect 13 producing
17 wells with 12 injection wells on an 80-acre five-spot
18 pattern; conversion costs for the injection wells at
19 \$30,000 per well.

20 Our injection water sources we've
21 identified as being the Ogallala, the Bone Spring and
22 produced Queen water.

23 Our injection plant facilities, \$530,000;
24 injection pressure initially of 840 psi with
25 expectations to increase that after step-rate

1 testing. A total investment of approximately
2 \$890,000.

3 Our estimated peak rate under waterflood
4 protection of 900 barrels of oil per day for the field
5 compared to the current rate of approximately 45
6 barrels per day; and from our decline curve
7 extrapolations, we've estimated that there will be
8 producing wells in the field for up to 14 years; under
9 secondary operations this would be reduced to
10 approximately seven years and produce additional oil
11 over primary recovery.

12 Q. In summary, then, Mr. Taylor, can you
13 conclude, based upon your engineering studies and your
14 calculations, that the proposed unit is one that is
15 reasonably defined by development at this point?

16 A. Yes.

17 Q. In your opinion, is it timely to institute
18 secondary recovery operations under unit plans in
19 order to recover secondary oil that would not
20 otherwise be recovered?

21 A. Yes.

22 Q. In your opinion, are the estimated
23 additional costs of conducting unitized operations not
24 to exceed the estimated value of the additional oil or
25 gas to be recovered plus a reasonable profit to all

1 the interest owners?

2 A. Yes.

3 Q. Have you satisfied yourself and can you
4 reach the engineering conclusion that the
5 participation formula as you've suggested and as
6 contained in the documents is one that allocates the
7 produced and saved unitized hydrocarbons to the
8 individually owned tracts in the unit area on a fair,
9 reasonable, and equitable basis and protects the
10 correlative rights of all owners of interest within
11 the unit?

12 A. Yes.

13 Q. Can you reach the engineering conclusion,
14 Mr. Taylor, that the operations of waterflood under
15 this statutory unitization plan will be one that
16 prevents waste and protects correlative rights?

17 A. Right.

18 Q. Have you satisfied yourself to a reasonable
19 engineering certainty that the implementation of this
20 project will result in additional incremental oil in
21 the range of 500- to 600,000 barrels of oil?

22 A. Yes.

23 Q. Are you satisfied that the method of
24 operation, as it's been communicated to you, is one
25 that's feasible, will prevent waste and will result

1 with reasonable probability in the increased recovery
2 of substantially more oil and gas from the unitized
3 formation than would otherwise be recovered?

4 A. Yes.

5 Q. Do you, as an engineer, conclude and agree
6 with Mr. Doty that the boundaries of this unit are
7 reasonable and fair?

8 A. Yes.

9 MR. KELLAHIN: That concludes my
10 examination of Mr. Taylor on the topic of statutory
11 unitization. He is also the witness will discuss in
12 detail the C-108 provisions that are necessary for the
13 implementation of the waterflood, but perhaps we might
14 take a break at this point or--

15 EXAMINER STOGNER: Sounds good. Let's take
16 a 15-minute recess.

17 (Thereupon, a recess was taken.)

18 EXAMINER STOGNER: This hearing will come
19 to order. Mr. Kellahin?

20 MR. KELLAHIN: Thank you, Mr. Examiner.

21 Q. (BY MR. KELLAHIN) Mr. Taylor, let me turn
22 with you to the topic of Commission Form C-108. Have
23 you and others with OXY prepared and tabulated the
24 data required for the Commission Form C-108?

25 A. Yes, we have.

1 Q. Have you done that in accordance with the
2 Division rules and procedures for the approval of
3 waterflood projects?

4 A. Yes.

5 Q. If you will turn to the black exhibit book
6 and if you'll turn to the last set of exhibits, all
7 the documentation, then, for the C-108 is identified
8 by Exhibit 13?

9 A. Yes.

10 Q. Turn past the Division form and get us to
11 the first display. Again, what is this?

12 A. This is the plat showing the proposed
13 injection wells for the waterflood unit.

14 Q. Do the proposed injection wells themselves
15 fall into any categories of types of injection
16 completions? Do you have different proposed ways of
17 installing injections into these producing wells?

18 A. No. The injectors are proposed to be
19 completed almost identical, given the differences from
20 well to well.

21 Q. If we look behind the locator map there's a
22 wellbore schematic. What does this represent?

23 A. This is our proposed completion schematic
24 for the injection wells in the unit. A typical
25 schematic is showing the packer location, the

1 approximate packer locations and tubing string.

2 Q. This is identified as the Federal "AE" #1
3 but it would apply to all the other injectors?

4 A. Yes.

5 Q. Why do we find the schematic behind this
6 first page, which says for the Corbin Fee #1?

7 A. OXY does not operate that well so we set it
8 up separately for this form.

9 Q. Other than the fact it's not operated by
10 OXY, the method for conversion of that well, is it
11 similar to the method for all the other injection
12 wells?

13 A. Yes, it is.

14 EXAMINER STOGNER: Before we go any
15 further; Mr. Taylor, on the Queen perfs, do you
16 purpose to make any additional perfs or utilize the
17 perfs which are already existing in each each well?

18 THE WITNESS: Right now we don't have any
19 plans for additional perforations.

20 EXAMINER STOGNER: So you'll just use the
21 existing ones?

22 THE WITNESS: Right. The wells were
23 hydraulically frac'd on completion, so I think we'll
24 have good vertical communication.

25 EXAMINER STOGNER: Thank you. Mr.

1 Kellahin?

2 Q. (BY MR. KELLAHIN) all of the wells that
3 OXY proposes to convert to injection, do they have the
4 same number of feet of surface casing on them? Look
5 at your schematic.

6 A. Approximately, yes.

7 Q. That's an approximation, then, to give us a
8 sample of how this was done?

9 A. Yes.

10 Q. When we look at the one in the Corbin Fee
11 it appears to be very similar to the ones you have?
12 Their surface casing string is set a little deeper?

13 A. Right.

14 Q. The method of proposed injection, then, for
15 all these wells, is one that meets the criteria for
16 the Oil Conservation Division's approval of these
17 wells?

18 A. Yes.

19 Q. After that what have you put in the book?

20 A. We have individual well data sheets for
21 each of the wells involved, and then--

22 Q. After we turn through all the individual
23 well data sheets you get to a map again that has a
24 bunch of circles in it. This one.

25 A. Yes.

1 Q. What's the purpose of this?

2 A. This shows, on a general, more larger map,
3 it shows the location of the proposed injection wells.

4 Q. Okay. Turn the page. You have an area
5 described around these injection wells that you've
6 proposed. What does that represent?

7 A. That represents the half-mile radius of
8 investigation for wells that need to be identified for
9 the C-108 form that penetrated the Queen formation.

10 Q. In compliance with those requirements, have
11 you, in fact, provided an individual schematic for
12 each of the wells that is within the half-mile area of
13 review?

14 A. Yes, I have.

15 Q. And that's what's represented behind the
16 locator map?

17 A. Yes.

18 Q. In summary, based upon that analysis, do
19 you find any wells that might be characterized as
20 problem wells, where you are not yet confident that
21 those wells are properly cemented or plugged and
22 abandoned, or that you don't have sufficient
23 information to be confident?

24 A. Yes.

25 Q. Where, within this area, then, do you

1 identify any wells that require further investigation
2 by you and OXY before you institute injection with an
3 injector within a half-mile of that well?

4 A. There are two wells in the northeast
5 portion of the area of investigation. The well in
6 Section 34, just in the extreme southwest corner, the
7 Wyatt Federal "B" #1, and the well in Section 3 of
8 Township 18 South. I believe the name of this well
9 was the Corbin Federal "B" #3.

10 Q. Do you have schematics for each of those
11 wells in the exhibit book?

12 A. Yes.

13 Q. Have you raised or made inquiry of the area
14 supervisor for the Oil Conservation Division
15 concerning information he may have about those two
16 wells?

17 A. Yes.

18 Q. That would be Mr. Jerry Sexton?

19 A. Right.

20 Q. Has Mr. Sexton yet acted upon your request
21 for his determination of whether or not those two
22 wells are properly cemented so that you can commence
23 injection into what is proposed as the #12 well?

24 A. The information we've got indicates that we
25 will need to go in and plug these wells properly.

1 Q. Your plan then is to not inject into the
2 #12 injector in the, I guess that's the southwest of
3 the northwest of 3?

4 A. Right.

5 Q. That's the #12 injector? You will not
6 convert that to injection until you've satisfied Mr.
7 Sexton that the two wells you've already identified
8 have been properly cemented?

9 A. Right.

10 Q. Other than those two within the half-mile
11 area of review, do you find any other problem well?

12 A. No.

13 Q. Do you propose to institute waterflood
14 using some limitation of your surface injection
15 pressure?

16 A. Right now we propose to start at an
17 injection pressure of 840 psi.

18 Q. Will that convert to .2 psi per foot of
19 depth?

20 A. That's equivalent to .2 psi per foot, yeah.

21 Q. What's that pressure again?

22 A. 840 psi.

23 Q. What is the source of the water to be used
24 for the waterflood?

25 A. There are three separate sources that we

1 propose to use in the waterflood. One source would be
2 produced water from the Bone Spring, the other source
3 would be fresh water from the Ogallala, and then the
4 third would be actual produced water from the Central
5 Corbin Queen Field in the Queen zone.

6 Q. With the exception of the injector on Tract
7 7, the rest of these injectors would be located on BLM
8 federal oil and gas leases?

9 A. Yes.

10 Q. What is your knowledge about the deepest
11 known producing fresh water sands in this area?

12 A. There are no currently producing fresh
13 water sands in this area.

14 Q. Do you know where fresh water, if any, is
15 utilized in this area? How it gets there? Is fresh
16 water piped in, or is there simply no use of the
17 surface here that requires fresh water?

18 A. There's no use of the surface at this time.

19 Q. Have you run any compatibility tests or
20 made examinations of the composition of the injected
21 fluids?

22 A. Yes, we have.

23 Q. And what conclusion do you reach from an
24 examination of that information?

25 A. That the waters proposed to be used in the

1 waterflood are all compatible. We ran tests on the
2 Bone Spring and Corbin Queen water, the Central Corbin
3 Queen water, and also fresh water and Central Corbin
4 Queen water, and both indicated that they would be
5 compatible for waterflood operations.

6 Q. The documentation to support those
7 conclusions is set forth towards the end of Exhibit
8 No. 13?

9 A. Yes. There's two reports, one from Unichem
10 International Laboratory concerning the Bone Spring
11 and Central Corbin water, and the second is an
12 Interoffice Letter from Cities Service Oil and Gas
13 Corporation concerning the Central Corbin Queen
14 produced water and fresh water from the Ogallala.

15 Q. To your knowledge, has OXY or you received
16 any objection from any of the owners at the surface
17 for these injectors?

18 A. No.

19 Q. When we turn to the last page in the
20 exhibit book, what is shown there?

21 A. The last page is a well cross-reference
22 showing the current lease name and operator on each
23 tract and the well number, and then the final column
24 is the well number under the proposed unit
25 designation.

1 Q. If Mr. Stogner determines it appropriate to
2 approve the waterflood project, can he rely upon this
3 tabulation of wells to identify the list of injectors
4 for approval?

5 A. Yes.

6 Q. This will contain all the proposed
7 injectors?

8 A. Yes.

9 Q. The method of operation, will that be one
10 where you have a way to monitor the pressure on the
11 annular space between the tubing and the casing?

12 A. Yes.

13 Q. Will you fill that space with some inert
14 fluid?

15 A. Yes, well, typical packer fluid.

16 Q. The range of expectation in the injection
17 rates is what, sir?

18 A. For each individual well?

19 Q. No, a general range. What volume of
20 barrels of water a day for injectors.

21 A. It would be approximately 200 barrels per
22 day.

23 Q. Is that based upon your experience with the
24 E-K waterflood?

25 A. Yes. That's an average from the injection

1 history in the North E-K Field.

2 Q. Do you see any indication, based upon your
3 study, of there being any hydrologic connection
4 between the flood in the Queen formation and any fresh
5 water sands in shallower depths?

6 A. No.

7 Q. In fact, we don't have any knowledge of any
8 fresh water sands being produced in the area, is that
9 correct?

10 A. Right.

11 Q. Except for the two problem wells you've
12 identified in proximity to the #12 injector, are you
13 aware of any other reason the Examiner should not
14 approve the waterflood operation?

15 A. No.

16 MR. KELLAHIN: That concludes my
17 examination of Mr. Taylor. We would move the
18 introduction of his Exhibits 3 through 13.

19 EXAMINER STOGNER: Are there any
20 objections?

21 MR. PADILLA: No objections.

22 EXAMINER STOGNER: Exhibits 3 through 13
23 will be admitted into evidence at this time.

24 I'll pass the witness to you, Mr. Padilla.

25

1 EXAMINATION

2 BY MR. PADILLA:

3 Q. Mr. Taylor, let me ask you some questions
4 on this C-108, and I'll try to be very brief.

5 MR. PADILLA: I have a page in here that
6 says "Exhibit No. 9 based on Tom's research." Do you
7 know what that is?

8 MR. KELLAHIN: It had to do with a list of
9 logs that had been on file for the injector wells.
10 The C-108 asks you to document for the Division
11 whether logs of the injectors are available and if not
12 to supply them, and that's what's to go there and it's
13 not there.

14 MR. PADILLA: Okay. I don't have any
15 problem with that.

16 Q. (BY MR. PADILLA) there is a September 9,
17 1986 letter authored by Loyd Nixon to Rebecca Egg. Do
18 you have that?

19 A. Yes.

20 Q. The first conclusions on that letter
21 states, "The produced brine itself is very likely to
22 be scaling CaCO_3 , and possible gypsum (Table I)."
23 What type of scaling is this referring to?

24 A. The scale from the produced water that
25 would be deposited in the pumps and in the wellbore

1 tubing, surface equipment, that sort of thing.

2 Q. Does this increase operating expenses?

3 A. Yes, for the producing well, yes, it would
4 tends to increase operating expenses.

5 Q. About how much? Let me ask that first.

6 A. A lot of that would depend upon the
7 severity of the scaling problem. From my
8 conversations with our operations engineer, we really
9 haven't seen a large effect of that in actual field
10 operations. So it's essentially negligible in this
11 case.

12 Q. What does the word "very likely" indicate?
13 It seems to me that's contrary to what you're telling
14 me now. It's going to occur? Isn't this what this
15 letter says?

16 A. My interpretation is that if you look at
17 Table I of this letter, he basically went off of the
18 composition and what happened in the laboratory under
19 the laboratory conditions, and the results of that, I
20 think his statement said it would likely precipitate
21 scale.

22 Q. Do you have any parafin problems in this
23 area in this field?

24 A. No.

25 Q. How about salt problems?

1 A. Yes. Talking to the operations engineer,
2 he did indicate that they had a few pumps, two or
3 three wells that we operate, that had exhibited some
4 salt problems, with salt forming on the pump, the
5 bottom-hole pump.

6 Q. How does that increase the operating
7 expenses?

8 A. Well, it would increase--when you're
9 producing the well, you would end up having to change
10 out the pump a little more often, and, in this
11 particular case, that's pretty much it.

12 Q. Do you require a pulling unit to change the
13 pump when you do this?

14 A. Yes.

15 Q. How often do you anticipate having the
16 pulling unit out there to take care of this kind of
17 problem?

18 A. From just inferences there, I don't think
19 it's more than perhaps once a year.

20 Q. Do your materials reflect use of pumping
21 units out there from time to time?

22 A. I don't understand your question.

23 Q. Does anything in your materials indicate
24 what type of operations you anticipate from time to
25 time, say, on a weekly basis, a monthly basis,

1 semi-annual basis, that would increase ordinary
2 operating expenses for the pool or the waterflood?

3 A. Well, basically under a waterflood we use
4 \$1,500 per well per month in our waterflood economics,
5 waterflood operation, compared to \$150 per well per
6 month under primary.

7 Q. Does that \$1,500 include administrative
8 overhead?

9 A. No, it doesn't.

10 Q. Do you know what administrative overhead
11 for each well is going to be out there?

12 A. No, I don't.

13 Q. Let me refer you to the last page on this
14 exhibit attached to the C-108. I don't understand.
15 On Tract No. 5 you have Santa Fe. Is that Santa Fe
16 Energy or Santa Fe Exploration?

17 A. Santa Fe Energy.

18 Q. And the "not use" indicates that you're not
19 going to use that well for an injector, is that right?

20 A. Right. Currently there's no plans to use
21 it.

22 Q. Let's go on now to, you made a comparison
23 between Exhibit No. 3 and your Exhibit No. 4, and
24 correct me if I'm mistaken, but you indicated that you
25 had basically the same type of decline or the same

1 type of curve for both the proposed Central Corbin
2 Queen Unit and the E-K Queen Field, correct?

3 A. Yes. That's basically production versus
4 time.

5 Q. As far as the time is concerned, the
6 Exhibit No. 4 covers the period from 1961 to 1986, and
7 that's approximately a 25-year period. Exhibit No. 3
8 covers the period from--what?--1985 through 1989?

9 A. Right.

10 Q. That's a much shorter period?

11 A. Right.

12 Q. Given the difference, how can you make that
13 kind of comparison as far as time is concerned? How
14 can you say that both curves were the same, in other
15 words?

16 A. Well, I think what I said was the curves
17 were similar in that the North E-K Queen Field has a
18 large jump from a pilot flood and then they went to a
19 full field flood. We intend to go to a full field
20 flood initially. There are some variations like that,
21 but essentially they're approximately the same.

22 Q. Because of this time difference, aren't you
23 really talking about apples and oranges?

24 A. No, I don't think so.

25 Q. But that's debatable, you would agree?

1 A. Well, without any other evidence, any
2 evidence to the contrary, I would tend to believe that
3 we're going to recover oil at least as fast as they
4 did in the E-K Queen in the waterflood--I'm sorry, the
5 North E-K.

6 In fact, looking at the production curve, I
7 don't have that as an exhibit, but looking at the
8 production curve for the E-K field, the waterflood
9 response from that was a lot steeper and a lot quicker
10 and a lot higher than the rates under primary
11 production.

12 Q. Let me see if I understand. What is the
13 life of this project that OXY is using? Do you have a
14 life for the project?

15 A. We're estimating it, from the economics, at
16 about seven or eight years.

17 Q. So if I look at your Exhibit No. 3 from
18 1991 through 1999, I'm looking at approximately nine,
19 eight and a half years? Is that fair to say? As I
20 understand that, you're going to commence sometime in
21 1991 your waterflood, correct?

22 A. Right.

23 Q. And the project will still continue or be
24 in operation in 1999, according to this curve?

25 A. Well, according to this curve. This is the

1 way we have production scheduled out in our
2 economics. The exact cutoff was, I think, in 1998 for
3 an economic basis. But to be sure, you know, we have
4 in our economic analysis there's an economic cutoff,
5 and once we hit an economic limit this will
6 essentially shut off the production.

7 Q. You'll turn off the injectors? Is that
8 what you're saying?

9 A. Shutdown the injection. What I was stating
10 is, life of the waterflood was for actual injection
11 when it became uneconomic to inject water for the
12 amount of production we're receiving.

13 Q. After that you're just simply going to
14 produce the wells?

15 A. Right.

16 Q. Without injection?

17 A. Right.

18 Q. And that's all--well, I guess I'm having a
19 hard time understanding that Exhibit 3 says you'll
20 stop injection in 1998 or when your economic limit
21 arrives.

22 A. Well, Exhibit No. 3, essentially, is the
23 forecasted production under unit operations. It does
24 not necessarily reflect the economic limit cutoff. It
25 was the way production was scheduled out.

1 Q. Looking at Exhibit No. 4, is the North E-K
2 Queen Field still under water or injection?

3 A. No.

4 Q. When did they discontinue water injection?

5 A. I believe it was about 1982 or 1983. The
6 field has currently been disbanded. We have taken
7 over operations of a couple of the wells where we had
8 leases in that unit, and are producing those under
9 continued--

10 Q. In 1982 or 1983 there's a sharp decline in
11 production. Is that when injection was discontinued?

12 A. I believe so, yes.

13 Q. So your Exhibit 3 here would show a sharp
14 decline in production once you reach the economic
15 limit?

16 A. Right.

17 Q. And that's not reflected on Exhibit 3?

18 A. No.

19 Q. Let me refer you to page 9 of Exhibit 1.
20 The last paragraph there, second sentence, that
21 states, "Both parafin and salt precipitatio may also
22 be accelerating if the producing rate declines, if
23 this precipitation is occurring down-hole where it is
24 difficult to remove." How would that affect your
25 curve in Exhibit No. 3?

1 A. This was discussing primary operations and,
2 essentially, when we inject the fresh water in with
3 the Corbin Queen produced water, it reduces the
4 scaling tendency for the water. So, under waterflood
5 operations we should have less of a tendency to have
6 scale and salt problems.

7 Q. Do you anticipate having to remove parafin
8 from the wells?

9 A. Not to any noticeable degree, no.

10 Q. Why is this sentence included on this
11 page 9, do you know?

12 A. I think that was based upon the PVT data
13 that showed some-- Well, the actual analysis, the PVT
14 data analysis that the lab did on the oil and gas for
15 this field wasn't fully--we incorporated some of the
16 tables on this study, but the whole memorandum was not
17 included in this.

18 When I was going through this, I didn't
19 feel like this would have a significant impact on the
20 operations of the unit, so rather than bother striking
21 the sentence, I just left it in.

22 Q. Was that PVT data originally included in
23 this study?

24 A. Just the tables that we have here.

25 Q. Did you work on this study in 1987?

1 A. No. That was done by Rebecca Egg, another
2 engineer in our office.

3 Q. Who is Vy Pham?

4 A. He was the technician that was compiling
5 the report when I moved to the Midland office in
6 January of this year.

7 Q. So you didn't see this report until January
8 of this year?

9 A. Right.

10 Q. Who is Will Hill?

11 A. Will is another reservoir engineer that was
12 assisting Vy in the compilation of this report.

13 Q. Is he still with OXY?

14 A. Yes.

15 Q. How about Glen Kellerhals?

16 A. Glen is in our F & A Group now in the
17 Midland office.

18 Q. How come these people didn't come to this
19 hearing?

20 A. Basically, when I came to the Midland
21 region this was a high priority project that OXY
22 wanted to see get done, and it was given to me to try
23 to get the unit formed; I believe primarily because of
24 my prior involvement in units and other areas.

25 Q. In Southeast New Mexico?

1 A. No.

2 Q. Let me refer you to your Exhibit No. 10.

3 Are you aware, Mr. Taylor, that--well, I believe your
4 testimony was that it would cost \$330,000 to install
5 the injectors along the lease line as an alternate
6 solution in order to exclude the Corbin #1 and Corbin
7 #2 wells, is that correct?

8 A. That would be a net cost to the field as
9 opposed to unit operations and installing these three
10 injectors, not converting four other injection wells.
11 We would have a net cost for the field operations or
12 net investment in the field operations of \$330,000.

13 Q. Are you aware, Mr. Taylor, that Santa Fe
14 Exploration offered to sell its interest to OXY for
15 \$300,000 in the Queen, including the well equipment
16 for both wells?

17 A. \$300,000? No, sir.

18 Q. On Section 4, why isn't this Well #10 shown
19 as an injector?

20 A. Well, basically I think if you look back at
21 the pore volume map, or Exhibit 9, we can point out
22 the same thing. Well #10 has a very small pore
23 volume. It's located real close to the zero contour
24 line and, as such, we felt that it would probably be
25 more beneficial to the unit to have that well in

1 production rather than injection.

2 Q. If you're on a five-spot pattern and the #8
3 well is the producing well, wouldn't it make sense to
4 have that as an injector well?

5 You're pushing oil towards the middle.
6 Isn't that the basis of your reasoning in not allowing
7 the Santa Fe wells to be eliminated from the unit,
8 isn't that correct?

9 A. Right. And, on Well #10, as I pointed out,
10 in addition to being real close to the zero line, the
11 #10 well has very poor producing rates and indicated
12 that it probably wouldn't take water at a rate
13 sufficient to justify the conversion.

14 Q. Even under pressure?

15 A. Well, yes. We will be limited in the
16 amount of surface injection pressure that we could
17 probably put on that well without frac'ing the
18 formation.

19 Q. Isn't it true, Mr. Taylor, this you just
20 simply--this is a device so as to not eliminate the
21 Santa Fe wells from the unit?

22 MR. KELLAHIN: Objection. That's
23 argumentative, Mr. Examiner.

24 MR. STOVALL: I'll agree.

25 EXAMINER STOGNER: Agreed.

1 MR. PADILLA: I'll go on to something else,
2 Mr. Examiner.

3 Q. Let's go on now to your Exhibit No. 7. Let
4 me see if I understand this correctly. Your
5 testimony, as I understand it, indicates that Santa Fe
6 would have a net of--well, on Tract No. 6 it would
7 have no primary reserves and it would have only
8 secondary benefit, and Santa Fe Tract 6 would receive
9 \$30,070, correct?

10 A. Right.

11 Q. And that's over how long a period of time?

12 A. That's the discounted net cash production,
13 so it would be the present value of cash flows
14 received for the unit production.

15 Q. Okay. How much are you going to charge
16 Santa Fe on a monthly basis for Tract No. 6? Do you
17 have that figure?

18 A. No, I don't have that number.

19 Q. In Tract No. 7, as I understand this, Santa
20 Fe will gain \$79,400--

21 A. Yes.

22 Q. --by secondary recovery?

23 A. Yes.

24 Q. Do you have any figures of how much it
25 would cost Santa Fe for its share of unit operations

1 over this period of time?

2 A. Not exactly. We are basically looking at
3 13 producers at \$1,500 a month, and then we would have
4 to take the interest attributable to Santa Fe from
5 that and multiply those numbers out.

6 Q. Have you ever done any economics for the
7 Santa Fe interests as to what it would cost and how
8 much Santa Fe is going to gain as a result of
9 secondary operations?

10 A. That's what this exhibit is.

11 Q. Is this a net figure? Is that what you're
12 saying?

13 A. Yes. The incremental secondary includes
14 the cost of operation of the unit as opposed to the
15 cost of primary, and the net subtracts the two and
16 that's the difference.

17 Q. And this includes all costs that you
18 anticipate?

19 A. Yes.

20 Q. Overhead costs are included in this figure?

21 A. The overhead costs were not specifically
22 included in this figure, as, you know, we put in a
23 certain amount for overhead. What we've done is put
24 in operating expenses of \$1,500 per month for each
25 producing well.

1 Q. And that's your budget today, correct?

2 A. Right.

3 Q. It doesn't--

4 A. That's what we're estimating over the life
5 of the project.

6 Q. Over the life of the project or just this
7 year?

8 A. Over the life of the project; for each
9 month of the life of the project.

10 Q. What other charges are not included in this
11 figure as shown in Exhibit No. 7?

12 A. None that I can think of.

13 Q. As I understand, the participation formula
14 attributes 35 percent to pore space, correct?

15 A. Right.

16 Q. How did you arrive at 35 percent for pore
17 space?

18 A. Well, we basically looked at several
19 different formulas, and comparing the results of those
20 we picked this formula as what we thought probably
21 distributed the future reserves from the field.

22 Q. I don't want to quarrel with you about the
23 propriety of the formula or not, but it just simply
24 seems strange that at least as far as the Santa Fe
25 wells, that the one that has the higher pore space

1 produces less, and it doesn't seem to jibe as far as
2 the formula and what the ultimate percentage of unit
3 participation is. Do you understand what I'm getting
4 at?

5 A. Yeah, I think.

6 MR. KELLAHIN: Is that a question or a
7 comment, Mr. Examiner? I've lost track of what it is
8 that Mr. Padilla wants to do.

9 Are you asking him a question?

10 MR. PADILLA: Sure, I'll restate that. I'm
11 sorry if I've confused everybody with it.

12 Q. What I'm getting at, Mr. Taylor, 35 percent
13 and, say, 10 percent for producing rates don't seem to
14 jibe as far as the ultimate result as far as
15 participation for Tracts 6 and 7 which are operated by
16 Santa Fe.

17 My question to you is: Doesn't it seem to
18 you that we have a strange result given that the poor
19 well has a high pore space and actually has low
20 production?

21 A. I've seen this in other areas. Basically
22 it goes back to the fact that your production,
23 especially under primary, is dependent upon your
24 pressure support as well as the actual
25 transmissibility, not the pore volume, but the

1 transmissibility.

2 If you've got better permeability, the well
3 can produce even though there's less feet of pay. In
4 one unit that I looked at, we had a well that produced
5 from one foot that produced at higher rates than a
6 well that had 25 feet of pay.

7 Q. Let me go back now here to this exhibit
8 relating to the C-108. There's a geologic or
9 reservoir description here, the second page of that
10 reservoir description. Down towards the bottom
11 there's a sentence that starts, it says "Anhydrite
12 cement distribution in the cross-bedded sandstone
13 suggests tortuous permeability paths." It's about
14 three-fourths of the way down.

15 A. Okay.

16 Q. What does that indicate?

17 MR. KELLAHIN: Are you asking this witness
18 a geologic opinion or an engineering opinion?

19 MR. PADILLA: Well, this is a reservoir
20 description. If he's not qualified to answer the
21 question, he can say so.

22 A. Well, in this particular sentence, when
23 you're talking about permeability, more what I
24 consider reservoir/engineering stuff--so I think I'll
25 go ahead with this one--the "tortuous permeability

1 paths" is kind of a wordy way of saying that some
2 areas have lower permeability. And where you get your
3 permeability is having wide open pore spaces that are
4 directly connected and the oil doesn't have to go in a
5 tortuous path to get to the producing well or between
6 injection wells.

7 Q. Does this indicate that the entire
8 reservoir is going to be flooded or some portions are
9 not going to be flooded?

10 A. That's a possibility, yes.

11 Q. That some portions are not going to be
12 flooded?

13 A. Right.

14 Q. I have one final question. Please turn to
15 page 67 of Exhibit No. 1, and also page 63, and your
16 Exhibit No. 12.

17 A. Could you repeat that again?

18 Q. Okay. It would be page 67, page 63 and
19 your Exhibit No. 12. As I recall, you didn't testify
20 concerning this Table XVI on page 67, is that correct?

21 A. Right.

22 Q. On that page you show a project life on the
23 bottom line of five years, correct?

24 A. Right.

25 Q. On your Exhibit 12, you're showing a

1 producing life of seven years?

2 A. Right.

3 Q. And then on Table XII, page 63, starting in
4 December 89, or probably, to be more accurate, 1990.

5 How do you reconcile what appears to be the
6 producing life of this field, as I understand it?

7 Table XII has the period from 1990 to 1998, Table XVI
8 has five years, and then Exhibit 12 has seven years.

9 A. Again, it goes back to whether--the actual
10 economic runs and cutting off based upon an operating
11 economic limit. Instead of changing operating
12 expenses or shutting down unit operations and then
13 continuing on with producing the field, the economics
14 didn't include that additional oil that would be
15 produced after that. It strictly included what we
16 would have for unit operations.

17 Q. All I'm saying is, the point I'm trying to
18 make and the question I would like to get answered is,
19 doesn't a five-year life versus a seven-year life or a
20 nine-year life change the economics of the waterflood?

21 A. Actually, it would change some of the
22 economics slightly, but with the magnitudes that we're
23 talking about, there's not really an appreciable
24 difference.

25 Q. Five years doesn't make any difference

1 compared to nine years? Is that what you're saying?

2 A. Basically I think we're composing the five
3 years to the seven years. The nine years is what we
4 scheduled protection at for under the continued
5 waterflood injection scenario. That was not the
6 actual economic life of the injection project.

7 MR. PADILLA: I think that's all I have,
8 Mr. Examiner.

9 EXAMINER STOGNER: Thank you, Mr. Padilla.
10 Mr. Kellahin, any redirect?

11 MR. KELLAHIN: No, sir.

12 EXAMINER STOGNER: Are there any other
13 questions of this witness?

14 MR. MORROW: I've got one.

15 EXAMINATION

16 BY MR. MORROW:

17 Q. The exhibit, page 51, 38 and 46. The
18 question I had concerned the exclusion of why
19 productive portions of the reservoir were excluded
20 from the unit area. In Sections 10 and 3 and 4 and 5
21 there were some exclusions of small amounts of pay.

22 A. Okay. We originally had a larger unit
23 boundary set up. And then, in our discussions with
24 the BLM, they requested that the tracts with less
25 than--which were less--cut less than 50 percent by the

1 zero contour line, would not be included in the unit.

2 Q. How would that affect Tract 3 in Section 10
3 and the one in Section 4?

4 A. It basically reduced the pore volume
5 attributed to that tract.

6 Q. You included a part of that tract but
7 didn't include it all. I wondered why you did that.
8 Did the BLM want you to exclude that also in 10 and 4?

9 A. Yeah. We originally had a larger unit
10 boundary that encircled the entire zero line. And
11 then, in conversations with the BLM, they asked us to
12 reduce the actual unit boundary to what it is now.

13 Q. On Exhibit 9, I didn't follow that
14 calculation.

15 A. Okay. On Exhibit 9, basically what I did
16 was take the area, the whited-out area surrounding the
17 Corbin Tracts 6 and 7, and planimetered back on the
18 actual pore volume map. I planimetered the value of
19 the pore volume that would be in that area, or
20 planimetered the pore volume map to come up with a
21 pore volume that would be in that area.

22 Q. That was the 354?

23 A. Right, that was the 354.6 acre-feet.
24 That's porosity acre-feet.

25 Q. What was the .053?

1 A. That was the secondary recovery factor that
2 we had come up with for the unit.

3 Q. Can you explain that a little more?

4 A. That's the ratio of the secondary reserves,
5 strictly waterflood reserves, to the total oil in
6 place.

7 Q. Where will the fresh water come from, that
8 Ogallala water?

9 A. There are currently some fresh water wells
10 in this area that are not producing, and we plan to go
11 back in and run some pumps in and obtain our fresh
12 water from those wells.

13 Q. I understood there weren't any fresh water
14 wells.

15 A. There are no currently producing fresh
16 water wells.

17 MR. MORROW: That's all I have.

18 EXAMINER STOGNER: Any other questions of
19 this witness? He may be excused.

20 Mr. Kellahin?

21 MR. KELLAHIN: I would like to call Mr.
22 Charlie Dickenson, please.

23 CHARLES E. DICKENSON

24 the witness herein, after having been first duly sworn
25 upon his oath, was examined and testified as follows:

1 EXAMINATION

2 BY MR. KELLAHIN:

3 Q. Mr. Dickenson, would you please state your
4 name and occupation, sir?

5 A. Yes, sir. My name is Charles E.
6 Dickenson. I'm a member of the land department, OXY
7 USA, Inc., formally Cities Service, succeeded by
8 acquisition, OXY, USA, Midland, Texas.

9 Q. Mr. Dickenson, on prior occasions have you
10 testified as a petroleum landman?

11 A. Yes, sir, but not as to a Statutory
12 Unitization Act.

13 Q. In discharging your responsibilities to
14 your company as a petroleum landman, have you been
15 involved with the other working interest owners in
16 this proposed unit in an effort to obtain their
17 voluntary participation?

18 A. Yes, sir.

19 Q. Have you been the primary employee
20 responsible for tabulating and determining the
21 interest of the overriding royalty and working
22 interest owners?

23 A. The final consummated figure, I would
24 respond affirmative. I, like Mr. Taylor, came back to
25 Midland after a hiatus in January, and I inherited the

1 unit, but, yes.

2 MR. KELLAHIN: We tender Mr. Dickenson as
3 an expert petroleum landman.

4 EXAMINER STOGNER: Are there any
5 objections?

6 MR. PADILLA: No objections.

7 EXAMINER STOGNER: Mr. Dickenson is so
8 qualified.

9 Q. Mr. Dickenson, let me direct your attention
10 to what is marked as Exhibit No. 14. I believe it's
11 in the black book if you've got one available to you?

12 A. Yes, sir.

13 Q. Describe that for us. What is it?

14 A. That is a unit agreement which was
15 sanctioned by the preliminary meeting with the BLM,
16 primarily Armando Lopez and his engineering aid, at
17 the initial onset of this unitization, and it
18 subscribes both to the federal leasehold position
19 which we hold in excess of 90 percent, and also meets
20 the Mineral Leasing Act in the statute. So,
21 therefore, to the best of my knowledge, it subscribes
22 to the form as far as the unit itself.

23 Q. Attached to the form are a series of
24 exhibits. Have you reviewed those exhibits and
25 satisfied yourself to the best of your knowledge that

1 those exhibits are correct?

2 A. Yes, sir, I have.

3 Q. They are a tabulation of the various leases
4 and the interest within those leases that you propose
5 to have committed to the unit?

6 A. Yes, sir, by tract, on a tract basis.

7 Q. Is this the unit agreement that you have
8 circulated for consideration by the various working
9 interest owners in the units?

10 A. Yes, it is.

11 Q. Let me direct your attention now, Mr.
12 Dickenson, to Exhibit No. 15. Do you have that?

13 A. Yes, I do.

14 Q. What is that?

15 A. It's a supplementary agreement which takes
16 the form of a UOA or Unit Operating Agreement, which
17 sets forth the rules of operations with regard to once
18 the unit is ratified and put into being by the working
19 interest owners, it, likewise, would require execution
20 and adoption.

21 Q. Is this a form of unit operating agreement
22 that has received preliminary approval by the Bureau
23 of Land Management?

24 A. Yes, sir, it is.

25 Q. Have you also circulated this proposed

1 operating agreement among the working interest owners?

2 A. Yes, sir, I have.

3 Q. Let's turn to the attachments to the
4 operating agreement and look at Exhibit B-3.

5 A. Yes, sir.

6 Q. And there's a schedule attached there which
7 shows what, sir?

8 A. B-3 is a by-tract basis of the
9 participation factor as to the unit, each tract
10 renders to the unit itself to come up to a composite
11 of 100 percent, once all inclusive.

12 Q. If the Examiner desires to do so, he can
13 look at this table, relate the working interest to the
14 tracts and their percentage, then, in the unit?

15 A. Yes, sir,.

16 Q. To the best of your knowledge, is this
17 accurate and complete?

18 A. Yes, sir, to the best of my knowledge it
19 is.

20 Q. Appended to this is a proposed COPAS
21 attachment to the operating agreement?

22 A. Yes, sir.

23 Q. And that conforms to the form utilized for
24 operating agreements by your company?

25 A. Yes, sir.

1 Q. There's a gas balancing agreement as well?

2 A. Yes, sir.

3 Q. Are these the proposed forms that you're
4 requesting the Examiner incorporate into the Statutory
5 Unitization Order if he grants OXY's application in
6 this case?

7 A. Yes, sir, they are.

8 Q. Let's turn now to Exhibit No. 16 which is
9 not in the book. They are separate tables. Do you
10 have that, Mr. Dickenson?

11 A. Yes, sir, I have it.

12 Q. What is Exhibit No. 16?

13 A. The first sheet is a summary by tract of
14 those parties, both royalty, working interest and
15 overriding royalty interests that have either ratified
16 or have not ratified for one reason or another.

17 Attached thereto are five additional sheets
18 which go into support that summation, by tract,
19 individually listing the specific number of owners who
20 have ratified and have not ratified and their
21 respective percentages as they are calculated.

22 Q. What is the approximate date at which you
23 completed this tabulation?

24 A. As recent as--I think, Mr. Kellahin,
25 Thursday of this previous week we had a ratification.

1 Q. As of then, describe for us in summary what
2 is the percentage of royalty owners committed on a
3 voluntary basis to participation in the unit?

4 A. According to my calculations, 91 and
5 79/100ths, approximately, royalty interests ratified
6 the unit.

7 Q. Overriding royalty interest is is what
8 percentage?

9 A. The overriding royalty interest, 75.259
10 percent.

11 Q. And what is the working interest?

12 A. And the working interest, 93.03 plus
13 ratification. And my calculation was a total
14 composite of all, of approximately 92.72 percent of
15 total, all three categories which have ratified.

16 Q. When we turn through this display, can you
17 identify for us Mr. McAlpine's interest in the unit
18 and what that percentage is?

19 A. Yes, sir.

20 MR. PADILLA: Mr. Examiner, for the record,
21 I don't think--I would be happen to put on Mr.
22 McAlpine to indicate that he doesn't have an interest
23 in the wells.

24 MR. KELLAHIN: I apologize. My intent is
25 to identify the Santa Fe Exploration Company

1 interest.

2 Q. When we look at that interest, what is that
3 interest with regard to its net percentage in the
4 unit?

5 A. That's reflected on page 5, Mr. Kellahin,
6 fee acres of 80 acres, 80 gross and net acres, which
7 contribute in the form of two fee tracts of 5 and
8 12/100ths percent of the total unit.

9 Q. So what net percentage is that in the unit
10 itself if it's consolidated?

11 A. If it were consolidated into the unit, the
12 total interests of Tracts 6 and 7-- Well, I'll go
13 back. Maybe I don't understand your question, Mr.
14 Kellahin, but both tracts make up, as I say, 5 and
15 12/100ths or actually 94 and 88/100ths are all federal
16 leases, if I understand your directive.

17 Q. Let me refer back to the operating
18 agreement and Exhibit B-3 that we just described.

19 A. Yes, sir.

20 Q. You have tabled on that display the working
21 interest owners?

22 A. Yes, sir.

23 Q. In the far right column you have the unit
24 percentage?

25 A. Yes, sir.

1 Q. OXY's unit percentage is 90 percent?

2 A. Yes, sir.

3 Q. Conoco's is 2.5?

4 A. Yes, sir.

5 Q. You get down to the Santa Fe Exploration
6 Company, and what percentage interest, then, do they
7 have? It's the entry just below Yates. It's the
8 fifth entry on the first page of Exhibit B-3.

9 A. 2.008 percent.

10 Q. Turn now with me to Exhibit 17. It's not
11 in the book, it will be a separate handout. Would you
12 identify and describe what Exhibit 17 is?

13 A. It was a letter to OXY USA, Inc., as a firm
14 acquiescing in our request or quest for preliminary
15 approval of the unit as noted in the attached
16 exhibits, dated approximately July 18 and received one
17 day later by us, July 19. As I say, it recited
18 preliminary approval as we were in quest of it.

19 Q. How do you go about obtaining final
20 approval from the BLM for this unit?

21 A. It's my recollection that if one owner owns
22 in excess of a given percentage--in this case we own
23 91 percent of the federal leases--we need 75 percent
24 of the total working interest owners to ratify and
25 approximately the same royalty interest owners to

1 ratify, which, according to the exhibit and the
2 summary, so yields that.

3 Q. So you would submit this for final approval
4 to the BLM? Once the Division approves the orders and
5 you submit it for final ratification and approval,
6 it's only later, then, that you return it to the BLM
7 for final approval?

8 A. Yes, sir.

9 Q. To the best of your knowledge, have you
10 accomplished all the necessary requirements of that
11 agency for proceeding forward?

12 A. Yes, sir, I think we have.

13 Q. Let's turn now to the package of
14 correspondence that's identified as Exhibit 18. Was
15 it your responsibility, on behalf of your company, to
16 contact the royalty owners, working interest owners
17 and the overriding royalty owners?

18 A. Yes, it was.

19 Q. Identify for us what is marked as the first
20 page of Exhibit 18.

21 A. The first page is dated May 10, 1990, under
22 my signature, where I remitted a letter accompanying
23 the feasibility study, copies of which were in the
24 brochure I think that have been passed out, such as
25 this, and a copy of the unit agreement so confined to

1 this exhibit, to the four operators to our knowledge
2 at that point in time, apprising them of our intent or
3 intentions to establish this secondary recovery
4 waterflood.

5 Q. The next letter is a June 11th letter?

6 A. Yes, sir, it is.

7 Q. The purpose of that correspondence is what?

8 A. Essentially the same thing, but with
9 regards to the unitization effort that we intended to
10 endeavor to accomplish, but to apprise those parties
11 specifically and particularly of a proposed meeting
12 scheduled for June 20 at one o'clock as set forth in
13 the second paragraph of that letter dated June 11th.

14 Q. Did your notice of the working interest
15 owners' meeting in OXY's office on June 20th go out to
16 Santa Fe Exploration Company?

17 A. Yes, sir, it did, and I have the
18 certification, if necessary.

19 Q. Did you have indications that there were
20 going to be interested parties that would appear and
21 participate in the working interest meeting on June
22 20?

23 A. Repeat that.

24 Q. Did people call you and say they were going
25 to come?

1 A. No, sir. The only call that I received was
2 from Mr. McAlpine, who called me the morning, if I
3 think I'm correct, the morning of the meeting and
4 advised me that he was not in favor of the unitization
5 and stated, in a very cordial conversation, stated his
6 objections to it, and asked that if I would do so
7 would I please apprise those other operators of his
8 lack of desire to join in the unitization. I told Mr.
9 McAlpine that I would do that.

10 Q. Did you have other working interest owners
11 that came to the meeting?

12 A. No, sir, unfortunately no one showed up.

13 Q. Did Mr. McAlpine send any representative in
14 his behalf then?

15 A. No, sir, he did not.

16 Q. There was nobody to talk to then was there,
17 Charlie?

18 A. No, sir, there wasn't.

19 Q. All right. June 22nd, the next letter,
20 what happened then?

21 A. Once again we were tracing the four parties
22 with regard to apprising them of the meeting, the fact
23 that it was held and no one attended, and an agenda of
24 what the meeting was about, what we had purported to
25 present at that point in time, and the fact that we

1 did expect to continue on towards the unitization
2 efforts.

3 Q. Despite the fact that the working interest
4 companies didn't come to the working interest meeting,
5 did you send out to them, at some point, the geologic
6 and engineering report that your company had been
7 preparing on this project?

8 A. Yes, sir. In fact, it went with the
9 feasibility initially, in the form of this booklet
10 along with the unit agreement, to those four parties.

11 MR. STOVALL: The book you're referring to
12 is the Exhibit 1 that has been used here all day?

13 THE WITNESS: Well, I'm sorry, I--

14 Q. Well, that's Exhibit 1 and has a cover on
15 it that says July 1990, but you had sent a copy of
16 that report, then, to these working interest owners?

17 A. Yes, sir.

18 Q. When we get down to the next letter of June
19 26th, what's that letter?

20 A. June 26th, again, was a copy of the unit
21 operating agreement, which was the first time that it
22 had been disseminated, as we told them in a previous
23 letter that it would come under separate cover at a
24 subsequent date, and we enclosed that particular UOA
25 along with seven copies of a letter requesting their

1 consents and ratifications to that agreement, if they
2 were so inclined.

3 Q. This is the operating agreement that you
4 have discussed this afternoon as Exhibit 15, I
5 believe?

6 A. Yes. Yes, sir, it is Exhibit 15.

7 Q. Then we go past the list of addressees for
8 that letter and you get to another June 26th letter.
9 What was the purpose of that letter?

10 A. Well, in essence they were sent
11 simultaneous, Mr. Kellahin, both the operators and the
12 royalty interests and the overriding royalty
13 interests, apprising them of the fact that we proposed
14 the unitization of the field.

15 Q. To the best of your knowledge, have you
16 made a good faith effort to obtain voluntary approval
17 of the proposed unit from the royalty, the overriding
18 royalty and working interest?

19 A. Yes, I have.

20 Q. To the best of your knowledge, are you
21 working with an accurate and reliable list of people
22 to contact?

23 A. Well, for all practical purposes, yes, sir.

24 Q. There are some addresses, I assume, that
25 still are not quite correct, but at least the

1 individuals have been identified?

2 A. That is correct, sir.

3 MR. KELLAHIN: That concludes my
4 examination of Mr. Dickenson. We move the
5 introduction of Exhibits 14 through 18.

6 EXAMINER STOGNER: Are there any
7 objections?

8 Exhibits 14 through 18 will be admitted
9 into evidence.

10 EXAMINATION

11 BY MR. PADILLA:

12 Q. Mr. Dickenson, if you'll refer, please, to
13 Exhibit B-3 to the Unit Operating Agreement.

14 A. Yes, sir, I have it with me.

15 Q. In response to a question from Mr.
16 Kellahin, you indicated that Santa Fe Exploration
17 Company had a 2.00833 percent interest in the unit, is
18 that correct?

19 A. That is correct, sir.

20 Q. What is the reason for pointing out a
21 2.00833 percent?

22 A. Nothing more than that is the tract
23 participation percentage, Mr. Padilla. I think I
24 fielded Mr. Kellahin's question. I think my response
25 to his question, maybe I responded to Exhibit B-2

1 though he asked me about B-3. Exhibit B-2, there was
2 an exhibit attached thereto showing the tract
3 participation, 1 through 7, and on B-3 was an exhibit
4 by working interest owner respectively, as to their
5 percentages.

6 Q. The thing I'm trying to get at, this
7 showing of percentage of 2.00833 indicates that this
8 is not a very large percentage in the unit?

9 A. I would agree with that statement. I think
10 I stated also that there were only 80 fee acres in
11 total, Mr. Padilla, if I'm correct.

12 Q. Does this also indicate that we shouldn't
13 care too much about this interest because it's a small
14 interest?

15 A. No, sir. If I gave that response, that was
16 erroneous. I certainly didn't mean to. I think all
17 are important regardless of the denomination of
18 percentages. I didn't mean to demean; but if I did, I
19 would correct that of record.

20 Q. Of these owners shown on this Exhibit B-3,
21 how many are contributing wells to the units?

22 A. How many are contributing wells? Well, as
23 discussed previously, Tracts 6 and 7, Certainly Tracts
24 2b, 2a.

25 Q. Who owns 2b and 2a? Is that OXY?

1 A. OXY.

2 Q. Let me ask the question this way. Is there
3 anyone else other than Santa Fe Exploration and OXY
4 who are contributing wells to the unit?

5 A. Of course, there are wellbores being
6 contributed. Whether they go, it depends on the
7 inventory at that point in time, Mr. Padilla. There
8 are other wells, if that's the question.

9 Q. Yes, that is the question.

10 A. Yes, sir, there are other plugged
11 wellbores.

12 Q. They're plugged wellbores, not producing
13 wells?

14 A. Not producing wells to my knowledge, that's
15 correct.

16 Q. In looking at the Unit Agreement and the
17 Unit Operating Agreement, when it comes to voting
18 rights and that sort of thing, as a practical matter,
19 OXY's going to outvote anybody through its one vote,
20 isn't that true?

21 A. As to the percentage--I don't know that the
22 one vote stands--but, yes, sir, in terms of
23 denomination, we would have a larger interest, yes.

24 Q. And so anything that anybody else says with
25 regard to operations or expenditure of money, OXY can

1 decide that pretty much by itself just by virtue of
2 this--

3 A. It would be quite decisive in that matter,
4 yes.

5 Q. In terms of removing OXY as unit operator,
6 that, as a practical matter, can't be done either,
7 isn't that correct?

8 A. Well, I think a show of negligence,
9 default, the likes of that, most assuredly they can
10 be. If it's a prudent operation, again I think the
11 numbers speak for themselves.

12 Q. If it requires a vote, it still requires a
13 vote, isn't that correct?

14 A. Save and except the negligence and proof of
15 that, I would agree, yes, sir.

16 Q. And I'm not--

17 A. Misconduct and likes of that, I wouldn't
18 affirmative that response. Save and except that, yes,
19 sir.

20 Q. Mr. Dickenson, who drafted the Unit
21 Agreement and Unit Operating Agreement?

22 A. The land department, Mr. Padilla. I had a
23 great hand in it. I worked the Permian Basin in the
24 far west, so I won't say that I did every item on it,
25 there are other objectives, but I supervised that

1 portion of it, yes, sir. The part that I didn't do I
2 certainly sanctioned.

3 Q. This is not a standard federal Unit
4 Agreement?

5 A. To my knowledge it is. I think it meets
6 the-- When you say "standard," from a legal
7 standpoint I won't respond to that, Mr. Padilla. To
8 my knowledge it met the requirements as evidenced by
9 Mr. Lopez' preliminary approval letter, and it was
10 discussed with him in person. There were no
11 objections raised as to form or any part of its
12 content other than they were reasonable objections
13 from the federal side as to what they would like
14 deleted.

15 Q. Except for that 80-acre fee tract, there
16 are no other royalty interest owners besides possibly
17 the overriding royalty interests?

18 A. No, sir, I would beg to differ. There are
19 other royalty owners in some of the federal tracts and
20 overriding royalties, if that is the question.

21 For example, in tract 1a there's an 8th
22 burden against it by the USA. There's also 11 and a
23 half percent of overriding royalties, and that pretty
24 well is indicative of all tracts. Again, two or three
25 may be the exception. The Conoco tract is burdened

1 with more than just a straight aid, so--

2 Q. My question was, aside from the overriding
3 royalty interest owners on the federal tracts, the
4 United States has all of the royalty except for this
5 80-acre tract on which the Santa Fe--

6 A. That is correct, yes, sir.

7 Q. Let's turn now to your COPAS section of the
8 Unit Operating Agreement and let me ask you about the
9 overhead rates as shown on that page 4 of the COPAS.

10 A. I have it, sir.

11 Q. How did you derive the figures of \$7,350
12 for drilling the well and the producing well rate of
13 \$735?

14 A. Mr. Padilla, within our organization that
15 figure is tendered to us by the joint interests. If
16 it's a company-operated facility proposal, then it's
17 remitted to us or given to us by the F & A, the
18 administrative people that monitor the bills and the
19 likes of that. So, in response, that figure is not a
20 conjectured figure by the land department, it's an
21 actual figure that's handed to us by our
22 administrative people.

23 Q. That is an OXY figure, though?

24 A. Yes, sir, most assuredly for an
25 OXY-operated well. Again, in its defense, whether

1 there's a defense needed I can't say, we certainly
2 look at the Ernst and Whinney publication which is
3 certainly less than scientific, I think--that's cause
4 everyone knows that's a pool that's taken based on
5 what any given party is willing to concede that their
6 operating rates are--and they'll field any and
7 everybody's responses. In fact, they come around
8 asking you to divulge that information.

9 Again, I don't know whether anybody's
10 operating rates are scientific. Again, in this
11 response, in its defense, the only thing I could say,
12 the \$7,350 and the \$735 is based on a fixed basis
13 which does include the first line supervisor capacity,
14 where most overhead rates and producing rates
15 generally are billed on top of that, as you well
16 know. In fact, I think most independents would,
17 perhaps, favor that. So, that being the differential
18 in the two, to my knowledge, Mr. Padilla. But again,
19 that is our rate, yes, sir.

20 And we're prepared, I might add that we do
21 it in every negotiation, if it's a farm out or what
22 have you and we're into an operating agreement or a
23 back-in situation, we've had various and sundry
24 objections. And any time we're amenable to
25 negotiating a rate with anybody and we're sort of

1 prepared to accept whatever might be given to us if,
2 in fact, that is determined to be in excess of the
3 going rate.

4 I think the only thing that I might say
5 again in its defense, I attended a meeting with an
6 Amerada unit very close just this past week, and there
7 was conjecture from \$7,000 down to \$4,000 and no
8 definitive agreement was reached at that point in time
9 on a much, much larger unit. So I can't--

10 Q. These figures apply to injection wells as
11 well, correct?

12 A. Well, it applies, yes, sir. The drilling
13 well rate does not. I think you've got a one-time
14 drilling rate on an injector well as if it were a
15 producing well, so we have a one-month one-time charge
16 on that injector-type well.

17 Q. So, injector wells and producing wells are
18 treated the same under this overhead charge?

19 A. As a producing well, a one-time charge,
20 yes, sir.

21 Q. Are there any other charges over here that
22 are not included in the \$1,500 estimated operating
23 expense per well that Mr. Taylor testified to were
24 here?

25 A. Well, I haven't confided or had any

1 discourse with Mr. Taylor on the \$1,500, and I haven't
2 been privy to all the operational or engineering
3 meetings that they've had, so that figure was somewhat
4 new to me, too. So I can't respond to that.

5 I think the COPAS pretty well addresses the
6 direct charges and what is covered and what isn't.
7 The one that looms out would be the technical salaries
8 or the cost of those professional consultants who go
9 out on the property, as opposed to rendering a service
10 with regards to the operation within the property or
11 in the property. So, aside from that, though, I think
12 it's pretty self-explanatory.

13 Q. What you're saying is, that technical
14 service fee is not included in the \$1,500?

15 A. That would be my interpretation of that,
16 sir.

17 Q. Let's turn now to, it's Exhibit B-1 of the
18 Unit Operating Agreement. I'm sorry, I think it's the
19 new Exhibit No. 16. As I understand it, the
20 checkmarks indicate the people who have ratified, is
21 that correct?

22 A. That is correct, yes, sir.

23 Q. Turning to the Santa Fe Exploration tract,
24 you have LaRue and Muncy and Marbob Energy Corporation
25 as having joined, is that correct?

1 A. That is correct, sir.

2 Q. You have received no communications from
3 any of these people or companies indicating or saying
4 they're rescinding their approval of the unit?

5 A. Do I have that, Mr. Padilla, no, sir. The
6 answer to your question would be negative. I have a
7 letter from Mr. McAlpine who addressed all working
8 interest owners with regards to, at that point, a
9 preferential right, which they asked if we were
10 amenable to purchasing the properties, any and all
11 working interest parties. We said we would be, we
12 would be affirmative to that and we did provide offers
13 to each and every party, which was inclusive of
14 Marbob, LaRue and Muncy.

15 They ratified. They had told us in advance
16 they were going to ratify and/or sell if we were
17 amenable to extending our offers and provided they
18 were equitable. In each instance they were. I talked
19 to Mr. Charlie LaRue, I talked to a party by the name
20 of Mr. Miller at Marbob. I know Mr. LaRue. I do not
21 know Mr. Miller, other than having talked with him
22 when I was in the Oklahoma City office in the
23 midcontinent region.

24 Q. In your opinion, can they do both? Can
25 they sign and sell at the same time?

1 A. No, sir, they cannot, and neither did they
2 do that. I might clarify that by stating that we had
3 ratifications in advance of their acceptance offers.
4 When I got the advice that Mr. McAlpine exercised his
5 preferential right, I had the Marbob in hand.

6 As for LaRue and Muncy, I had a call from
7 Mr. LaRue just last week. I think Mr. McAlpine has
8 had some conversations with him. He, likewise, was
9 fully content in stay in a ratified position, however,
10 he would also choose to sell and divest himself, if we
11 were amenable to that, also, but he would take
12 whatever that situation would be. But they were not
13 done in concert, if that is the response you're
14 looking for. They were done separate and apart.

15 Q. Did you buy an interest owned by Dallas
16 McCasland to be included--

17 A. No, sir, I didn't. I was in the
18 midcontinent region again, out of pocket. I was in
19 Midland for seven or eight years, moved back to
20 Oklahoma City for three years, and during the course
21 of that I learned first I might add from Mr.
22 McAlpine. When we had our first cordial conversation,
23 he apprised me that he tried or attempted to divest
24 his property to OXY USA--I think it was OXY at that
25 time. I don't think it would have been Cities. At

1 that point in time OXY was the parent--he apprised me
2 of that, of his conversation with an engineer--at that
3 point in time Mr. McAlpine couldn't remember, and I
4 think I recanted to him that perhaps it could have
5 been a Mr. Hunt. He was the manager of engineering,
6 he is the manager, after I came back from Oklahoma
7 City in January of 1990, and that was the first
8 knowledge I had of that.

9 Q. Did you buy four wells from Mr. McCasland?

10 A. We bought Mr. McCasland's property, Mr.
11 Padilla, as it relates to the northeast quarter of
12 Section 4, and beyond that, I can't tell you. I've
13 heard dollar amounts, but I can't tell you amounts. A
14 producing well, looking at it, I would say we bought
15 three. It looks like there are three wellbores. That
16 may be an error. I'm judging by what I'm reviewing
17 here.

18 Q. You haven't heard of any dollar amounts
19 that were paid?

20 A. Yes, sir, I have and I stated that, but as
21 to concurring or affirming or confirming, I cannot do
22 that, sir. I had no part in it. I was totally
23 unaware until Mr. McAlpine told me. I went
24 immediately to Mr. Hunt, and apprised him of my
25 conversation with Mr. McAlpine, and he echoed the fact

1 that, yes, an offer had been made to Mr. McAlpine at
2 that point in time.

3 Q. What dollar figure did you come to?

4 MR. KELLAHIN: We would object, Mr.
5 Examiner. I think I have been very patient in this
6 line of questioning. It's not relevant to the
7 proceeding here.

8 The question of whether OXY has acquired
9 other interest in this unit some years ago is not
10 germane to your decisions in this case. The bottom
11 line is, the parties can't agree on Mr. McAlpine or
12 Santa Fe Exploration's voluntary participation in this
13 unit. The parties are unable to reach an agreement on
14 a sale price. It is like the typical pooling case
15 where the parties can't decide. I don't know that you
16 need to know the details of why they can't; it's
17 simply that they cannot, and this is not relevant to
18 your decision.

19 EXAMINER STOGNER: Mr. Padilla, any
20 response?

21 MR. PADILLA: Yes, Mr. Examiner. I think
22 the purchase price is entirely relevant to this
23 proceeding as to the reasonableness of any offers that
24 were made in the area, no different than farmout terms
25 or no different than lease terms in compulsory pooling

1 cases.

2 If a lease term is unreasonable or farmout
3 term is unreasonable or any kind of an assignment or
4 any kind of a deal, the terms of a deal to assign or
5 convey or somehow participate in an oil and gas
6 compulsory pooling or a forced unitization is entirely
7 relevant in order to determine the reasonableness of
8 the offer. Certainly, the statute says that fairness
9 and equity are considerations under a unit plan. So I
10 think it's very material to this case.

11 MR. STOVALL: Mr. Examiner, I would advise
12 you that based upon Mr. Padilla's argument in
13 comparison to force pooling, that the Division never
14 evaluates the quality of offers in those negotiations,
15 it's whether there have been negotiations.

16 EXAMINER STOGNER: Thank you, Mr. Stovall.
17 The objection is sustained.

18 Mr. Padilla?

19 MR. PADILLA: That's all the questions I
20 have, Mr. Examiner.

21 EXAMINER STOGNER: Is there any redirect of
22 this witness?

23 MR. KELLAHIN: No, sir.

24 MR. STOVALL: I have a couple of questions,
25 if I may be permitted.

1 EXAMINATION

2 BY MR. STOVALL:

3 Q. Is there a provision in either the Unit
4 Agreement or the Unit Operating Agreement for carrying
5 of nonconsenting parties? I'll preface that by saying
6 that I didn't find one as I skimmed through it?

7 A. No, sir, there isn't. And the only
8 reference I would make to that would be that under the
9 Statutory Unitization Act in 70-7, provision (F) it
10 does say that in the event you have a nonconsenting
11 working interest party, that they could be subject to
12 cost, 100 percent plus 200 percent penalty. The
13 question never came up except one of Santa Fe
14 Exploration's working interest parties asked me would
15 he would be exposed to that, and I said I could not
16 answer that. There was a provision under the Act--

17 Q. Let me interrupt you here, Mr. Dickenson.
18 I'm reading 70-7-7, "...and shall approve or prescribe
19 a plan for a Unit Agreement for unit operations which
20 shall include"--and I'll go to your paragraph (F)--"a
21 provision for carrying any working interest owner
22 unlimited during a net profits basis," and further
23 down it provides, "carrying plus an amount not to
24 exceed 200 percent."

25 My interpretation of that statutory

1 provision is that the Unit Agreement or Unit Operating
2 Agreement needs to have that provision for carrying
3 included in it. Would you been willing to amend the
4 Agreement?

5 MR. KELLAHIN: No, sir. Mr. Stovall, we've
6 made the conscious decision not to seek the nonconsent
7 provisions that apply in the statute and it's been
8 intentionally deleted from the operating agreement.

9 MR. STOVALL: So, in effect the
10 nonparticipating interest would be carried at no
11 penalty?

12 MR. KELLAHIN: That's right.

13 EXAMINER STOGNER: Any other questions of
14 this witness? If not, Mr. Dickenson--

15 THE WITNESS: If I might, in response to
16 Mr. Stovall--

17 MR. STOGNER: Mr. Kellahin?

18 MR. KELLAHIN: There's no question before
19 you, Mr. Dickenson.

20 EXAMINER STOGNER: Okay. Mr. Dickenson,
21 you may be excused.

22 MR. KELLAHIN: That concludes our
23 presentation, Mr. Examiner.

24 EXAMINER STOGNER: Mr. Padilla, do you have
25 a witness?

1 MR. PADILLA: Can I take a short break? I
2 think I can reduce it to one. I do have one.

3 EXAMINER STOGNER: Let's take about a
4 ten-minute recess at this time.

5 (Thereupon, a recess was taken.)

6 EXAMINER STOGNER: The hearing will come to
7 order. Let's see, we wish to recall Mr. Dickenson at
8 this time. Mr. Stovall has a question.

9 CHARLES E. DICKENSON

10 the witness herein, after having been previously duly
11 sworn upon his oath, was examined and testified
12 further as follows:

13 EXAMINATION

14 BY MR. STOVALL:

15 Q. Mr. Dickenson, you testified as to the
16 overhead rates, and I'm particularly talking about the
17 producing well rate of \$735 and I will state that
18 that's probably higher than the Division normally
19 grants.

20 However, you did make some statement, and
21 as I look on page 2 of the COPAS attached to the
22 operating agreement, did I understand you correctly to
23 say you are including, within that overhead charge,
24 rather than as a direct charge, items which under the
25 COPAS are normally provided for as a direct charge?

1 A. The reference I made was the first-line
2 supervisory charge which normally is billed directly
3 on most of them we found certainly by independent
4 operators and/or smaller operators. And the point
5 that I made was, that was inclusive of the first-line
6 supervision. That was the distinction I attempted to
7 make, but perhaps failed to.

8 Q. Are you familiar enough with the COPAS, or
9 do you have it in front of you so I can make sure
10 we're talking about--it's in the black book, if that
11 helps you. If you would turn to page 2 of the COPAS.

12 A. Yes, sir.

13 Q. Page 2, I'm looking now at the direct
14 charges on page 2 under labor, 3(a) and in the copy
15 I've got, item number 2 is stricken. Is that the
16 charge you're talking about, the supervisory charge--

17 A. Yes, sir.

18 Q. --that you included in the overhead?

19 A. Yes, sir. And the third qualification that
20 I made, Mr. Stovall, had to do with item 3, and my
21 reference was in the preposition--

22 Q. I understand that.

23 A. Yes, sir.

24 MR. STOVALL: That's all I have of this
25 witness.

1 EXAMINER STOGNER: Any other questions? If
2 not, you may be excused.

3 Mr. Padilla?

4 MR. PADILLA: Mr. Examiner, at this time
5 we'll call Bill McAlpine for our portion of our case.

6 WILLIAM A. MCALPINE, JR.

7 The witness herein, after having been first duly sworn
8 upon his oath, was examined and testified as follows:

9 EXAMINATION

10 BY MR. PADILLA:

11 Q. Mr. McAlpine, have you previously testified
12 before the Oil Conservation Division as president of
13 Santa Fe Exploration Company?

14 A. I have.

15 Q. And have your credentials been accepted in
16 that capacity?

17 A. Yes.

18 Q. Are you familiar with the issues as they
19 relate to Santa Fe in this case?

20 A. Yes, sir, I am.

21 Q. Does Santa Fe represent other working
22 interest owners for whom Santa Fe operates on the
23 Tracts 6 and 7 of the proposed unit?

24 A. We do.

25 MR. PADILLA: Mr. Examiner, we would tender

1 Mr. McAlpine as a witness, as a managerial witness for
2 Santa Fe Exploration.

3 EXAMINER STOGNER: Are there any
4 objections?

5 MR. KELLAHIN: He is tendered as an expert
6 witness in any particular aspect, Mr. Padilla?

7 MR. PADILLA: No, sir; as a practical oil
8 man.

9 MR. KELLAHIN: No objection.

10 MR. STOVALL: How about as manager of the
11 company?

12 MR. KELLAHIN: Oh, that's fine. He wasn't
13 proposed to give geologic or engineering testimony?
14 Is that right.

15 MR. PADILLA: No.

16 EXAMINER STOGNER: Let the record so show
17 his qualifications.

18 Mr. Padilla?

19 Q. (BY MR. PADILLA) Mr. McAlpine, first of
20 all I would like for you to identify what we have
21 marked as Exhibits 1 through 7. I would like for you
22 to briefly identify each of those exhibits and then I
23 will come back and address each of them.

24 A. Exhibit No. 1 is a letter from Santa Fe
25 Exploration Company executed by me, to OXY USA, to the

1 attention of Mr. Charles Dickenson. Basically--

2 Q. That's all it is, is that correct?

3 A. Okay.

4 Q. What's Exhibit No. 2?

5 A. Exhibit 2 is a letter dated July the 20th
6 from Santa Fe Exploration executed by me, to OXY, USA,
7 to Mr. Charles Dickenson.

8 Q. Okay. And attached to that is another
9 letter. Is that a letter from OXY to you?

10 A. Yes, it is, dated July 16th.

11 Q. What's Exhibit 3?

12 A. Exhibit 3 is a letter from Santa Fe
13 Exploration executed by me to the attention of
14 Mr. P. N. McGee, land manager.

15 Q. Okay. What's Exhibit 4?

16 A. Exhibit 4 is a letter to Santa Fe
17 Exploration from OXY USA, executed by Mr. Charles
18 Dickenson.

19 Q. Okay. What's Exhibit No. 5?

20 A. Exhibit No. 5 is the survey results, the
21 1989 Ernst and Whinney regional drilling and operating
22 charges for the West Texas/Eastern New Mexico area.

23 Q. What's Exhibit 6?

24 A. It's a letter from Buddy Sipes, that has an
25 interest in the Corbin #1 Well.

1 Number 7 is an AFE for a water injection
2 well in the south half of Section 3 of 18/33, Lea
3 County, New Mexico.

4 Q. Mr. McAlpine, were these exhibits compiled
5 understand your supervision?

6 A. Yes, they were.

7 Q. Okay. Let's go back now and have you tell
8 me or give the Examiner a historical background of
9 Santa Fe's involvement in this waterflood and unit
10 project.

11 MR. KELLAHIN: Excuse me, Mr. Examiner.
12 Are you tendering these exhibits for introduction at
13 this point?

14 MR. PADILLA: No.

15 MR. KELLAHIN: I will have objections to
16 some of those exhibits. I also have an objection to
17 Mr. McAlpine discussing before the Examiner failed
18 efforts to reach a settlement of sale or some solution
19 outside of the hearing process because it's
20 irrelevant, and we would ask that the examination of
21 Mr. McAlpine not include that topic.

22 MR. PADILLA: Mr. Examiner, I assume that
23 Mr. Kellahin is really addressing himself to the
24 contents of Exhibits 3 and 4. The contents--

25 MR. STOVALL: Mr. Padilla, let's not worry

1 about which exhibits he's objecting to until such time
2 as he actually makes objection. Please don't take our
3 time speculating. Respond to the testimony objection,
4 if you would.

5 MR. PADILLA: All I'm saying is that our
6 proposed testimony will include information concerning
7 Santa Fe's attempts to resolve the controversy with
8 OXY. It is usually customary to include
9 correspondence in this type of hearing, and they have
10 always been admissible as far as I understand.

11 MR. KELLAHIN: Two different topics, Mr.
12 Examiner. One is to limit the scope of inquiry with
13 this witness in his testimony, and none of the
14 exhibits have been submitted for evidence.

15 MR. STOVALL: Mr. Padilla, to simplify
16 this, what is going to be the thrust of Mr. McAlpine's
17 testimony?

18 MR. PADILLA: The thrust of his testimony
19 is why he doesn't want to be involved with the unit
20 operation or the unit plan or the water injection
21 project.

22 MR. STOVALL: Are you willing to limit the
23 testimony to that and not discuss any negotiations
24 between OXY and Santa Fe with respect to acquisition
25 of Santa Fe's interest in the wells?

1 MR. PADILLA: No, sir. I assumed that I
2 would--I still want to introduce evidence of Santa
3 Fe's attempt to enter into what Santa Fe believes is a
4 reasonable deal with OXY, and I would prefer to have a
5 ruling that it's inadmissible rather than voluntarily
6 limit my examination of Mr. McAlpine to that
7 particular issue only.

8 MR. STOVALL: Mr. Examiner, I think this is
9 along the same lines as the discussion with Mr.
10 Dickenson, and to the extent if Mr. McAlpine wants to
11 say there were some negotiations, I would say that
12 that's probably fine; but as far as going into any
13 details of negotiations, again the Division does not
14 evaluate the quality of proposals in these types of
15 cases. Again, we don't determine whether it's a good
16 offer or a bad. So I would suggest that any
17 discussions as to specific offers and prices and
18 valuations is not relevant as to whether or not--

19 MR. PADILLA: Well, let me offer this as a
20 proposal, Mr. Stovall. Let me proceed to examine Mr.
21 McAlpine, and at the time that Mr. Kellahin feels it's
22 necessary for him to object, I would prefer to have a
23 ruling on the proffered testimony.

24 EXAMINER STOGNER: Well, let's try that.

25 Q. (BY MR. PADILLA) Mr. McAlpine, when did

1 you first become involved in the proposed unitization
2 of the Santa Fe tracts in OXY's proposed unit?

3 A. The first contact that was made, an
4 engineer contacted me approximately two to three years
5 ago doing some research, as I recall, on a unit of the
6 Queen in this area.

7 Q. And that was a couple of years ago, you
8 say?

9 A. Well, my memory is faulty, but as I recall
10 it was more like three years ago; but I stand to be
11 corrected.

12 Q. Can you tell us generally what your stand
13 has been with regard to statutory unitization of the
14 Santa Fe tracts in the proposed unit?

15 A. Well, we have resisted and objected to it
16 because we feel like for Santa Fe and our working
17 interest owners we would never receive a net penny of
18 profit in it.

19 If you look at the examples demonstrated
20 here today, with \$1,500 a month operating expenses,
21 not taking into account the \$730 per month--or
22 whatever that figure is that they proposed that is not
23 included in that \$1,500--and then you also take into
24 account the \$7,350 drilling rate that can be charged
25 for completion rigs, and knowing a little bit about

1 when you have 24 wells out there that you're going to
2 have a completion unit out there doing something all
3 the time--

4 Q. How do you know this? Do you have
5 something to rely on experience in order to make that
6 determination?

7 A. We have some waterfloods in the Queen.

8 Q. Can you tell the Examiner where it is that
9 you have those waterfloods?

10 A. Well, the Langley Jack in Lea County is
11 one. Consequently, we would prefer to give them one
12 of the wells to use as a water injection well or, if
13 our property is going to be condemned which,
14 apparently, it may be, to get at least the price that
15 it would cost to drill two water injection wells.

16 Q. What is that price?

17 A. Well, the engineer in our office has done
18 an AFE to do a water injection well on these two
19 locations at \$209,000 apiece. Now, that is new
20 equipment, and it may be--a previous witness here has
21 testified that three water injection wells in the same
22 location would cost \$330,000 plus the amount they
23 would save on converting four wells at \$30,000 apiece,
24 which is \$120,000, which is \$450,000 divided by three,
25 would be \$150,000.

1 And so we certainly have some flexibility
2 in that, but we would hope that our property not be
3 condemned without some just compensation.

4 Q. Have you determined what that just
5 compensation is?

6 A. No, but I don't think they want me to
7 answer your question.

8 Q. No one has objected to my question.

9 A. Well, a water injection well, we believe
10 would cost about \$200,000. And if they're going to
11 receive two wells from us that they can use either as
12 producers or water injection wells, we would be happy
13 to accept \$150,000 per well and receive nothing for
14 whatever oil might underlie our 80 acres.

15 Q. Mr. McAlpine, did you read the proposed
16 Unit Agreement and the proposed Unit Operating
17 Agreement and determine or reach a decision as to
18 whether or not you wanted to join as a result of
19 reading those agreements?

20 A. Well, the principal thing that we object to
21 is in the COPAS, the operating rates. In a project
22 like this, you're going to have lots of work going on
23 as I've already stated, and I think it's more typical
24 above 5,000 feet. I think the average depth of the
25 Queen here is around 4,200 feet. I imagine that

1 around \$3,000 to \$3,300 per month or \$3,500 perhaps at
2 the most for a drilling well and \$300 to \$350 a month
3 might not be more appropriate for a producing well.

4 Q. What do you base those rates on?

5 A. Well, on the 1989 survey by Ernst and
6 Whinney.

7 Q. Is that in the form of Exhibit 6?

8 A. I think it's marked Exhibit No. 5.

9 Q. And you've already testified to the bottom
10 line of Exhibit No. 7, as the cost for drilling the
11 water injection well, is that correct?

12 A. Yes, sir.

13 Q. Were you present when the OXY engineer
14 testified as to the cost for drilling an injection
15 well?

16 A. Yes, sir.

17 Q. Do you agree with the costs expressed by
18 that engineer, as far as your experience is concerned?

19 A. Well, we hope that we did a good job of
20 doing the AFE on a realistic basis, and we certainly
21 weren't trying to inflate it. We think that normally
22 the AFE rates that we come up with are very
23 competitive. So, I suspect the actual rates for doing
24 that would be closer to the AFE our engineer
25 specifically did for this.

1 Q. Mr. McAlpine, in your analysis of the
2 engineering report and the various documents that were
3 sent to you by OXY, USA, did you arrive at any
4 conclusion that the proposed unit was an advantage or
5 benefit to Santa Fe Exploration Company?

6 A. Well, we felt like that the expenses of
7 operation and whatnot, taking that into consideration
8 as I previously testified, that the bottom line would
9 be that we would not net a penny out of the thing. We
10 would be trading a lot of dollars. And that's not the
11 business we're in. Sure, we're all trying to make
12 oil, but the bottom line is we're trying to make
13 dollars and a profit.

14 Q. And, in your study of this matter, you've
15 reached the conclusion that you're not going to make
16 any money, is that it?

17 A. That's my opinion.

18 Q. If you had money to invest in this project,
19 what would you do with money? Would you invest it
20 somewhere else instead of investing it in this
21 project?

22 MR. KELLAHIN: Objection, irrelevant.

23 MR. STOVALL: Agree.

24 Q. Have you figured a rate of return for your
25 investment in this project?

1 A. No, I have not.

2 Q. But your study simply concludes that it
3 would not be an advantage, because of economics, to
4 participate in this project?

5 A. That's correct.

6 Q. Let me ask you to be more specific as to
7 why you sent your Exhibit No. 1 to OXY USA?

8 A. Well, the reason I wrote the letter was
9 that after my conversation with Mr. Dickenson which,
10 as he described was very cordial and that was exactly
11 the way it was, the next piece of correspondence I
12 received did not indicate our objection to be included
13 in the unit nor our willingness to give them one of
14 the bore holes was discussed. It may have been and
15 just not reported in his next correspondence, but I
16 gathered it had not been discussed and that's why I
17 wrote the letter.

18 Q. Was this an option that you gave to OXY, to
19 give them one of the wellbores?

20 A. Well, that was one of the suggestions that
21 I made, yes.

22 Q. What was the result of that suggestion or
23 offer?

24 A. The result is that we're sitting here
25 today.

1 Q. Let's go on to Exhibit No. 2 and have you
2 tell us what that contains.

3 MR. KELLAHIN: I object to the reference to
4 the exhibit. He's simply circumventing my potential
5 objection to the exhibit. It talks about suggesting a
6 purchase predicated on some other arrangement with
7 Mr. McCasland. I object to both the testimony and to
8 the exhibit.

9 EXAMINER STOGNER: Mr. Padilla, I'm going
10 to sustain his objection. Mr. McAlpine said "we're
11 here today" and that's exactly where we're at today,
12 so I would ask you to move along to another topic at
13 this point.

14 MR. PADILLA: Well, to make it short, Mr.
15 Examiner, I believe the next Exhibits 2, 3 and 4
16 contain or will probably meet the same objection, so I
17 would, at this point, like to make an offer of proof
18 as to what the contents of those three exhibits are.

19 MR. KELLAHIN: The exhibits speak for
20 themselves. I don't believe there's any offer of
21 proof necessary. We have objections to Exhibits 2, 3
22 and 4.

23 MR. STOVALL: Mr. Examiner, I might suggest
24 that with respect to Exhibits 2, 3 and 4, we've
25 already stated that we don't evaluate the quality of

1 offers in negotiations, merely the presence of them,
2 and these exhibits may be admissible for the purpose
3 of showing in fact there were some discussions between
4 Santa Fe and OXY, if you wish to admit them for that
5 purpose.

6 I think could be admitted with the
7 recognition that the relevance of the specifics of the
8 offers, there is no relevance to that as far as the
9 determination here. It would be your decision at this
10 point.

11 EXAMINER STOGNER: Thank you, Mr. Stovall.

12 Mr. Padilla, I will admit Exhibits 1, 2, 3
13 and 4 for the reasons that Mr. Stovall did state, and
14 ask that you continue on.

15 MR. PADILLA: As I understand, there was no
16 objection to Exhibit No. 1?

17 MR. KELLAHIN: No objection.

18 EXAMINER STOGNER: So Exhibit 1 is admitted
19 into evidence, still.

20 MR. STOVALL: Let's clarify the record at
21 this point. Mr. Padilla, to help things, you talked
22 about Exhibit No. 5, I believe, the Ernst and Young
23 study. Would you like to offer that at this time?

24 MR. PADILLA: Let me offer Exhibit No. 1,
25 Exhibit No.--

1 MR. STOVALL: Well, 1 through 4 are in.
2 What about Exhibit 5? Let's do 5.

3 MR. PADILLA: I would offer all exhibits,
4 1 through 7.

5 EXAMINER STOGNER: Mr. Kellahin, any
6 objection?

7 MR. KELLAHIN: Exhibit No. 5, Mr. Examiner,
8 talks about drilling well rates. There appears to be
9 no foundation laid to demonstrate that this has been
10 tabulated based upon water field plan operations or
11 injector wells, and with that reservation I would
12 object because I don't think this document speaks to
13 this specific type of operation required here, and for
14 that reason we would object.

15 Exhibit 6 is Mr. Sipes' letter. It's
16 hearsay; it's not admissible. If Mr. Sipes cared
17 enough he could have come and talked about it.

18 The next exhibit is apparently this AFE on
19 an injector well, and I have no objection to No. 7.

20 EXAMINER STOGNER: As far as Exhibits 5 and
21 7 go, they will be admitted.

22 Mr. Padilla, do you want to respond to
23 Exhibit 6, to Mr. Kellahin's objection?

24 MR. PADILLA: Mr. Examiner, I think the
25 exhibit is relevant for showing that Tract 6, which

1 carries the 1.20982 percentage, is not getting a fair
2 percentage.

3 I think the exhibit speaks to what we have
4 pointed out with regard to the core space insofar as
5 35 percent is assigned under the participation
6 formula. I think it's relevant for what it says.

7 MR. KELLAHIN: Well, it is obviously
8 relevant. Mr. Buddy Sipes is a recognized engineer,
9 has testified before this Division on occasion. The
10 objection is not to relevancy but to hearsay. Mr.
11 Sipes is not here to talk about his letter.

12 MR. PADILLA: In terms of hearsay, Mr.
13 Examiner, this Division has always relaxed the rules
14 of evidence and has allowed hearsay consistently.

15 MR. STOVALL: Mr. McAlpine, can you testify
16 that Santa Fe Exploration received this letter in the
17 ordinary course of business?

18 THE WITNESS: Yes, sir.

19 MR. STOVALL: And this is a copy of a
20 letter you received?

21 THE WITNESS: Yes, sir.

22 MR. STOVALL: Recognizing, again, that
23 there may be some question as to the value of the
24 evidence, as to exactly what it means, Mr. Examiner, I
25 think we can properly admit it under our relaxed rules

1 of evidence as Mr. Padilla has pointed out.

2 EXAMINER STOGNER: Thank you, Mr. Stovall.

3 Mr. Kellahin, your objections are so noted.

4 Exhibit 6 will be admitted into evidence at
5 this time.

6 MR. PADILLA: May I proceed at this time?

7 EXAMINER STOGNER: Mr. Padilla, you may.

8 Q. (BY MR. PADILLA) Do you have anything
9 further to add to your testimony, Mr. McAlpine?

10 A. No, sir, I don't.

11 MR. PADILLA: That's all I have, Mr.
12 Examiner.

13 EXAMINER STOGNER: Thank you, Mr. Padilla.

14 Mr. Kellahin, you may cross-examine.

15 MR. KELLAHIN: Thank you, Mr. Examiner.

16 EXAMINATION

17 BY MR. KELLAHIN:

18 Q. Mr. McAlpine, let me direct your attention
19 to your Exhibit No. 1 in which you communicate to OXY
20 your willingness to contribute one of the wellbores
21 for waterflood operations.

22 Am I correct to understand that you were
23 willing to take one of the two wells, either the well
24 on Tract 6 or Tract 7, and contribute that for
25 conversion for injection?

1 A. Yes. What I had discussed with the
2 engineer originally, and I thought that was on the
3 tract he was working on because he called several
4 times over a period of a year or two, was it seemed as
5 though for the pattern that they wanted to work, our
6 Well #1 would suit them best.

7 Q. When we look at this pattern, then, and I
8 look at Well #1, that would be in Tract 7?

9 A. Yes, sir. It's the one that they propose
10 as a water injection well.

11 Q. Is that Tract 7 a 40-acre tract that is a
12 fee lease?

13 A. Yes, sir.

14 Q. Is Tract 6 a 40-acre tract that is on a
15 separate fee lease?

16 A. Yes, sir.

17 Q. The two tracts each on 40 acres have not
18 been consolidated in any manner?

19 A. No, they have not.

20 Q. If the interest owners of the well in Tract
21 7, which has the producing well you propose to
22 contribute to the unit, that lease is currently being
23 held by production from that well, is it not?

24 A. Yes, sir.

25 Q. Is that lease being held by production from

1 any other well?

2 A. No, this same question came up, and I was
3 advised if that well were contributed to OXY and they
4 made it a part of their unit, which I assumed that
5 they would, then it would be held by their unit even
6 though it was used as a water injection.

7 And I'm sorry, I also said "under certain
8 conditions for your use," and what I meant there was,
9 that allowing us to put any produced water out of our
10 remaining well back into their system, which would not
11 only help us but hopefully help them too, allowing
12 them to receive water that they wouldn't have to buy.

13 Q. Unless that 40-acre tract is committed to
14 the unit, then, there would be nothing to hold that
15 lease and it would expire?

16 A. That's correct. I was assuming that they
17 would take it into the unit.

18 Q. If that assumption works and that 40-acre
19 tract comes in, then we have the remaining Tract 6
20 that has a producing well and is offset, then, on
21 three sides by injector wells from the unit?

22 A. Yes, sir.

23 Q. Have you had any engineering studies made
24 to determine whether there is equity established in
25 the waterflood by the accomplishment of that

1 arrangement?

2 A. No, sir, we have not.

3 MR. KELLAHIN: I have no further
4 questions.

5 EXAMINER STOGNER: Are there any other
6 questions of this witness? If not, Mr. McAlpine may
7 be excused.

8 MR. STOVALL: Mr. Taylor is the engineering
9 witness? I would like to ask him one question, if I
10 might.

11 EXAMINER STOGNER: Let the record show Mr.
12 Taylor is being recalled to the stand.

13 ARCHIE R. TAYLOR
14 the witness herein, after having been previously duly
15 sworn upon his oath, was examined and testified
16 further as follows:

17 EXAMINATION

18 BY MR. STOVALL:

19 Q. Mr. Taylor, in doing your economic
20 evaluation and coming up with your net discount of
21 cash flow to the tracts, did you take into account
22 operating costs in operating the unit?

23 A. Yes, I did. I mentioned previously that I
24 put in \$1,500 per well per month for operating wells.
25 I also included \$350 on a per-well basis, which would

1 be \$350 per well per month for a waterflood plan, for
2 a total of about \$1,850, divided out over the full 25
3 wells.

4 Q. \$1,850 per well?

5 A. For the full 25 wells.

6 Q. Per month, operating cost, was the number
7 you used--

8 A. Right.

9 Q. --as a monthly expense figure when you did
10 your cash net discounted cash?

11 A. Yeah. The total monthly cost came out to
12 be approximately \$46,000 for the economics.

13 Q. You heard Mr. McAlpine testify that he was
14 concerned that after those costs were deducted there
15 wouldn't be any profit left for the interest owners in
16 his tract, is that correct?

17 A. Right.

18 Q. Am I correct in hearing you say that in
19 doing the calculations, you believe your numbers show
20 that there is, in fact, a net gain to all tracts,
21 including Santa Fe Exploration tracts?

22 A. Yes.

23 MR. STOVALL: Nothing further.

24 MR. KELLAHIN: May I follow-up on Mr.

25 Stovall's questions?

1 EXAMINER STOGNER: You may.

2 EXAMINATION

3 BY MR. KELLAHIN:

4 Q. The basis for that conclusions, Mr. Taylor,
5 is that found in OXY's Exhibit No. 7?

6 A. Yes. The final column on the right shows
7 the net incorporating those costs previously talked
8 about in doing the economics and using the production
9 schedule we previously talked about.

10 MR. STOVALL: That's net of the costs then,
11 right?

12 THE WITNESS: It shows the net of the
13 costs, and net of investment.

14 MR. STOVALL: Okay. That clarifies what I
15 thought he had tendered before.

16 MR. KELLAHIN: Thank you.

17 MR. PADILLA: I have a question.

18 EXAMINATION

19 BY MR. PADILLA:

20 Q. Mr. Taylor, does that include those costs,
21 the overriding burdens on the lease?

22 A. For Tracts 6 and 7 it does. I assumed a
23 .875 net revenue interest for the other tracts.

24 Q. And you've shown a 75 percent net revenue
25 interest for the Santa Fe leases?

1 A. It varied slightly. One was about--I used
2 about a .79 and another one was about a .8.

3 MR. STOVALL: You used actuals? Is that
4 what you're saying?

5 THE WITNESS: Actual to my understanding,
6 yes for those two specific tracts.

7 MR. PADILLA: I have nothing else.

8 EXAMINER STOGNER: Mr. Taylor, you may be
9 excused.

10 MR. STOVALL: Mr. Kellahin, I would like to
11 go back and address a point I addressed earlier with
12 respect to the carrying of working interests, and
13 again I think you're probably familiar with the
14 statutory provision. I'm not sure by omitting the
15 provision for carrying exactly what that result is.

16 Do you believe that, in fact, by omitting
17 any provision for carrying interest that that enables
18 the operator to carry that interest and recover 100
19 percent of the costs of carrying the interest, or
20 should that be specifically provided for as the
21 statute would indicate? What is your opinion with
22 respect to that?

23 MR. KELLAHIN: If you're talking about the
24 risk factor component?

25 MR. STOVALL: I'm not talking about a risk

1 factor component. I'm talking about recovering the
2 actual first hundred percent of the cost.

3 MR. KELLAHIN: We presumed that was in the
4 document and it should be in the document if it's not
5 submitted to you, that at least the operator gets out
6 of production that nonconsenting working interest
7 owner's share of the cost. That's only equitable.
8 The fact that the statute--

9 MR. STOVALL: Well, I'm just questioning
10 whether it's in the document. That was the question
11 I've got. I couldn't find it.

12 MR. KELLAHIN: We think it is, and if it's
13 not we will seek to have it amended so it's properly
14 in there to at least get back out of production the
15 nonconsenting working interest's share of the cost.
16 But we don't seek within that provision to provide for
17 a penalty.

18 MR. STOVALL: I understand. I simply
19 couldn't find the provision as I thumbed through, and
20 that was the focus of my inquiry earlier. So we'll
21 check the document.

22 MR. KELLAHIN: I think it's there and it
23 may have been overlooked in your review, and we'll
24 find it.

25 EXAMINER STOGNER: Gentlemen, if there's

1 nothing further, I believe we're ready for closing
2 arguments or statements.

3 Mr. Padilla, if you have any, you may--

4 MR. PADILLA: Yes, I have, very briefly. I
5 realize the time is late and I think everybody is
6 tired.

7 I would like to point to Section 70-7-6(A),
8 (3) and (4). Section 3 states that the estimated
9 additional costs if any of conducting such operations
10 will not exceed the estimated value of the additional
11 oil and gas so recovered, plus a reasonable profit.

12 As to Santa Fe, you've heard Mr. McAlpine's
13 testimony, and he has indicated that in his opinion he
14 is not going to get one cent of profit from the
15 operations.

16 (4) states, if such unitization and
17 adoption of one or more of such unitized methods of
18 operation will benefit the working interest owners and
19 royalty owners of the oil and gas rights within the
20 pool or portion thereof directly affected.

21 Again, with respect to Santa Fe, we take
22 the same position that there's no benefit derived to
23 Santa Fe. In terms of the OXY benefit, there's no
24 question that OXY controls the major portion of the
25 proposed unit. And certainly as to OXY there's no

1 question but that without arguing over contents of the
2 participation or anything, that it's going to benefit
3 OXY.

4 This is probably a good project for OXY and
5 we have no quarrel with the project itself. We do
6 have a quarrel with the application of the project to
7 the Santa Fe Exploration interests and to the working
8 interest owners who are represented by Santa Fe.

9 But, in order to issue an Order, the
10 Division will need to meet at least all of the
11 requirements shown on 70-7-6, including (3) and (4).
12 (3) and (4) certainly do not, again, benefit or show
13 some kind of a profit to Santa Fe. It's just simply
14 an experience that Santa Fe finds undesirable. And,
15 in all likelihood, it will be operated to death, you
16 know, because this is an expensive project and the
17 estimates as to the length of the project and when the
18 economic limit is reached is really not known.

19 We have a variance in the testimony of the
20 OXY witnesses or engineer, from between five and nine
21 years. If it's nine years, you're certainly going to
22 stretch the economic limits, and I don't believe that
23 for a small company like Santa Fe that this project is
24 feasible nor desirable. Thank you.

25 EXAMINER STOGNER: Thank you Mr. Padilla.

1 Mr. Kellahin?

2 MR. KELLAHIN: Quite frankly, Mr. Examiner,
3 I don't know what else to do to satisfy the Santa Fe
4 concerns. If there's some quibble with the length of
5 time the project is going to be operational, whether
6 it's five to seven years, I see nothing presented by
7 Santa Fe to show us that our assumptions are wrong.

8 There's a range of expectations in terms of
9 the life, but there's certainly no evidence at all to
10 refute our substantial evidence that there are in
11 excess of half a million barrels of oil potentially to
12 be recoverable from the implementation of this
13 waterflood.

14 I simply don't know what to do for Santa Fe
15 with regards to the participation formulas. 65
16 percent of the formula is directly attributable to the
17 well, either in cumulative oil, remaining, primary or
18 current production. The 35 percent is the reservoir
19 pore volume. They've not suggested any alternative
20 formula.

21 The geologic and engineering conclusions
22 before you, that are unrefuted is that the tracts
23 belong in, they are part of the same common source of
24 supply and ought to be in.

25 Santa Fe complains about the fact that they

1 don't think they'll make any money, but it's unrefuted
2 that Mr. Taylor has documented for you in Exhibit No.
3 7 that the net present worth of each of his tracts,
4 the Santa Fe tracts, shows a positive number.

5 And I don't know what better proof we have
6 for paragraph 70-7-6(A)(3) than this very document.
7 That's all we ever do and here it is and it shows that
8 it works.

9 The concept of a contribution of a
10 wellbore, to avoid being included in a waterflood
11 project that will aid and benefit all working interest
12 owners, I think is unusual. It doesn't seem to work.
13 Mr. Taylor has shown it doesn't lead to the production
14 of additional oil that might otherwise be recovered.

15 I think we've met all the requirements that
16 are required by the statute in order to have this go
17 forward. Within our operating agreement it requires
18 not only the concurrence of OXY but another working
19 interest owner. It requires them to concur in what we
20 do.

21 I think this case speaks for the need of
22 statutory unitization. We've simply gotten to the
23 point, despite our good faith efforts, where we have
24 interest owners in a small portion of this area that
25 are unwilling to participate.

1 The bottom line is their participation is
2 necessary in order to make this effective, and we
3 would request that you compel their inclusion by the
4 implementation of the statutory unitization
5 procedures.

6 EXAMINER STOGNER: Thank you, Mr. Kellahin.

7 Does anybody else have anything further in
8 these matters? In that case, Cases 10062, -63 and -64
9 will be taken under advisement, and the hearing is
10 adjourned.

11
12
13
14
15
16
17 I do hereby certify that the foregoing is
18 a complete record of the proceedings in
19 the Examiner hearing of Case Nos. 10062, 10063, 10064
20 heard by me on 5 Sept. 19 90.

21 Michael E. Stogner, Examiner
22 Oil Conservation Division
23
24
25

1 CERTIFICATE OF REPORTER

2

3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.

5

6 I, Carla Diane Rodriguez, Certified
7 Shorthand Reporter and Notary Public, HEREBY CERTIFY
8 that the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me; that
10 I caused my notes to be transcribed under my personal
11 supervision; and that the foregoing is a true and
12 accurate record of the proceedings.


13 I FURTHER CERTIFY that I am not a relative
14 or employee of any of the parties or attorneys
15 involved in this matter and that I have no personal
16 interest in the final disposition of this matter.

17 WITNESS MY HAND AND SEAL September 17,
18 1990.

19

20

21


CARLA DIANE RODRIGUEZ
CSR No. 91

22 My commission expires: May 25, 1991

23

24

25