

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

CASE 10,771

EXAMINER HEARING

IN THE MATTER OF:

Application of OXY USA, Inc., to authorize the expansion of a portion of its Skelly Penrose "B" Unit Waterflood Project and qualify said expansion for the recovered oil tax rate pursuant to the "New Mexico Enhanced Oil Recovery Act," Lea County, New Mexico

TRANSCRIPT OF PROCEEDINGS

ORIGINAL

BEFORE: DAVID R. CATANACH, EXAMINER

6 1993

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

July 15, 1993

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
Attorneys at Law
By: W. THOMAS KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265

* * *

I N D E X

1		
2		Page Number
3	Appearances	2
4	SCOTT E. GENGLER	
5	Direct Examination by Mr. Kellahin	5
6	Examination by Examiner Catanach	36
7	Examination by Mr. Stovall	43
8	Further Examination by Examiner Catanach	46
9	Further Examination by Mr. Stovall	48
10	Certificate of Reporter	53
11	* * *	
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

E X H I B I T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPLICANT'S EXHIBITS:

Exhibit 1	7
Exhibit 2	22
Exhibit 3	23
Exhibit 4	23
Exhibit 5	24
Exhibit 6	28
Exhibit 7	29
Exhibit 8	32
Exhibit 9	20
Exhibit 10	33
Exhibit 11	19

* * *

1 WHEREUPON, the following proceedings were had
2 at 2:16 p.m.:

3 EXAMINER CATANACH: Call the hearing back to
4 order, and call Case 10,771.

5 MR. STOVALL: Application of OXY USA, Inc.,
6 to authorize the expansion of a portion of its Skelly
7 Penrose "B" Unit Waterflood Project and qualify said
8 expansion for the recovered oil tax rate pursuant to
9 the "New Mexico Enhanced Oil Recovery Act," Lea County,
10 New Mexico.

11 Appearances in this case?

12 MR. KELLAHIN: If the Examiner please, I'm
13 Tom Kellahin of the Santa Fe law firm of Kellahin and
14 Kellahin, appearing on behalf of the Applicant, and I
15 have two witnesses to be sworn.

16 EXAMINER CATANACH: Additional appearances?

17 (Off the record)

18 (Thereupon, the witnesses were sworn.)

19 SCOTT E. GENGLER,

20 the witness herein, after having been first duly sworn
21 upon his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. KELLAHIN:

24 Q. Please state your name and occupation.

25 A. My name is Scott E. Gengler, spelled

1 G-e-n-g-l-e-r, and I'm a petroleum engineer for OXY
2 USA.

3 Q. On prior occasions, Mr. Gengler, have you
4 testified as a petroleum engineer before the Division?

5 A. Yes, I have.

6 Q. Describe for us what it is that you've done
7 on behalf of your company with regards to what is
8 identified as the Skelly Penrose "B" Unit Waterflood
9 Project. How are you involved in that?

10 A. I was involved in doing the studies to
11 determine the feasibility of doing a 40-acre fivespot
12 waterflood which would use improved oil recovery
13 techniques to waterflood the Penrose formation, which
14 is part of the Queen field, to better contact
15 additional reservoir and increase sweep efficiency.

16 Q. Have you satisfied yourself that you have
17 studied sufficient data, both geologic and engineering
18 information, from which to reach conclusions about the
19 eligibility of this project for entitlement for the New
20 Mexico Enhanced Oil Recovery Act tax rate?

21 A. Yes, I have.

22 Q. In addition, have you participated on behalf
23 of your company with regards to the compilation and
24 review of data in compliance with the Division's
25 underground injection control rules and the filing of

1 the Division Form C-108?

2 A. Yes, I have.

3 MR. KELLAHIN: We tender Mr. Gengler as an
4 expert petroleum engineer.

5 EXAMINER CATANACH: He is so qualified.

6 Q. (By Mr. Kellahin) Mr. Gengler, let me show
7 you what is marked as Exhibit Number 1 and, to commence
8 discussion, have you indicate for us the outline of the
9 unit and then identify for us what we're going to call
10 the project area.

11 And when I use the word "project area", I
12 want to be in agreement with you that I am describing
13 by that phrase the area that you intend to use as the
14 expansion or expanded use that will qualify under the
15 definition for the severance tax reduction for an EOR
16 project.

17 So when I say "the project area" that's what
18 I'm asking you about, all right?

19 A. Okay.

20 Q. First of all, describe for us the unit.

21 A. The unit is indicated here on this map in the
22 bold dark line. It's located six miles south of
23 Eunice. It contains more or less 2600 acres.

24 There are currently 67 wellbores that are
25 still active. Some are temporarily abandoned, and some

1 are currently producing or injecting.

2 Q. When we find the project area as I've defined
3 that term for you, how is that identified on the
4 display?

5 A. The project area is identified in the shaded
6 area. It contains approximately 760 acres.

7 Q. I'd like you to give us a historic background
8 on the Skelly Penrose "B" Unit, starting off with the
9 geologic and engineering concepts that were being
10 utilized by the original operator when they sought to
11 institute waterflooding for this project.

12 A. The Skelly Penrose "B" Unit was unitized in
13 1965 with waterflood operations beginning in 1966.
14 Peak production was seen in 1971 of approximately 500
15 barrels a day.

16 Back in the early Sixties when this
17 waterflood was put back together, the thought process
18 behind the waterflood was that we had a very
19 homogeneous reservoir that was multi-layered, had
20 several sands, but were correlatable across the entire
21 unit.

22 Most of the logs, though, that were available
23 for this unit were of old vintage, so there wasn't a
24 very good way of determining porosity and permeability,
25 and there was no core data.

1 So back in the late Sixties and even during
2 the Seventies, the thought process was, we had a very
3 homogeneous reservoir that was adequately flooded on
4 80-acre spacing. The old adage of one primary
5 reservoir barrel equaling one secondary reservoir
6 barrel was used, and that was approximately what this
7 unit was predicted to do, and they were satisfied at
8 the time that this was an adequate waterflood covering
9 the entire acreage.

10 The waterflood continued and started into
11 depletion. By the mid-Eighties the economics of the
12 unit were very poor, makeup water was ceased, and
13 presently we're on a rapid depletion system.

14 In 1988, six infill wells were drilled to
15 determine the existence of a mobile oil saturation
16 within the unit. And after those six wells were
17 drilled, the previous operator to OXY decided not to do
18 any more work, mainly due to funding.

19 Q. The Application refers to the ultimate
20 primary oil recovery from the unit as being 1775
21 million barrels of oil; is that about right?

22 A. Could you repeat that?

23 Q. Yes, sir. In the Application we were citing
24 the recovery on a primary basis out of the unit.

25 A. That is correct.

1 Q. Is that the correct number?

2 A. Yes, it is.

3 Q. Okay. The period of time in which this
4 project area was under primary oil recovery was
5 approximately how long?

6 A. The first well that was drilled in this
7 field, or on this unit, was in 1933.

8 Q. Approximately when was the unit created and
9 initial waterflood operations commenced?

10 A. The unit was formed in 1965 with waterflood
11 operations commencing in 1966.

12 Q. Have you satisfied yourself as an engineer
13 that there is no remaining future potential for primary
14 oil recovery within the unit?

15 A. Yes, I have.

16 Q. The period of time in which the unit was
17 operated under secondary waterflood operation was under
18 an 80-acre unit concept?

19 A. Yes, 80-acre fivespot.

20 Q. Describe for me what that means when you say
21 that.

22 A. Your well spacing, including injectors, are
23 spaced every 40 acres, and you have around each
24 producing well four injectors spaced at 40-acre
25 spacing.

1 Q. And the unit as you now find it still exists
2 in that configuration?

3 A. Yes, it does.

4 Q. When we look at Exhibit 1, help us understand
5 and see how it has been developed on an 80-acre
6 fivespot development pattern.

7 A. As you can see, the original wells within the
8 unit were drilled every 40 acres, and alternating wells
9 were then converted to injection to form conventional
10 fivespot waterflood patterns.

11 Q. Describe for me what was undertaken to
12 determine whether or not OXY or anyone else could make
13 a significant change, either in process or technology,
14 or some expansion of the geologic area within the unit,
15 so that you could now recover secondary oil that you
16 might not otherwise get.

17 A. The previous operator commissioned an
18 independent reservoir engineer to do a study for him.
19 They believe that the improved oil recovery techniques
20 used in some of the other formations in the Permian
21 Basin, such as the San Andres and the Clear Fork, could
22 be utilized in the Queen.

23 Q. These are all secondary recovery techniques,
24 are they not?

25 A. Yes, they are.

1 Q. Okay.

2 A. These improved oil recovery techniques
3 basically were on the premise that the entire reservoir
4 was not being swept efficiently because of a
5 heterogeneous reservoir, and by going to tighter
6 spacing -- in other words, from an 80-acre fivespot to
7 a 40-acre fivespot -- more area could be swept within
8 the reservoir, and the portions of the reservoir that
9 were not being swept or contacted by the 80-acre
10 fivespot waterflood would be able to be contacted or
11 swept by the 40-acre fivespot.

12 Because of this technology, this was being
13 used in the San Andres and the Clear Fork, they did a
14 study initially on the west Dollarhide Queen Sand Unit,
15 which they operated.

16 They took this study and commenced infill
17 drilling and conversion of wells to go from an 80-acre
18 fivespot to a 40-acre fivespot.

19 What they found was that there was a bunch of
20 high mobile oil saturation sitting in the reservoir
21 that was not swept.

22 They began drilling in May of 1987 and
23 conversion about the same time, and by early 1988
24 production had risen from 40 barrels a day to 1500
25 barrels a day.

1 They then commissioned the same independent
2 reservoir engineer to do additional studies to see how
3 this could be correlated to other units in the Queen
4 that they operated, one being the Skelly Penrose "B".

5 And from this request a study was done by T.
6 Scott Hickman, an independent reservoir engineer out of
7 Midland, and a copy of this is attached in one of our
8 exhibits.

9 Q. When we look at the unit as you find it now,
10 you're on 80-acre fivespot patterns with how many
11 current active producers?

12 A. Twenty.

13 Q. And how many active injectors do you have?

14 A. Seven.

15 Q. And what is your current producing oil rate
16 on a daily basis?

17 A. 80 barrels a day.

18 Q. And how much water are you producing?

19 A. We are producing 945 barrels a day.

20 Q. If you continue in that current plan of
21 operation under the 80-acre fivespot pattern, how much
22 additional oil can be recovered without a significant
23 change, either in technology or process?

24 A. In the project area or in the unit?

25 Q. In either.

1 A. According to projections from decline curve
2 analysis, the unit would have approximately 75,000
3 barrels of recoverable oil left, and there would be
4 about 8000 barrels left in the project area.

5 Q. What proposed changes and technology or
6 process do you anticipate in order to be more effective
7 in your sweep efficiency and to expand or extend the
8 geologic area being swept by the secondary oil recovery
9 process?

10 A. Well, the basis of our believing that this
11 would be an improved recovery due to new technology and
12 contacting new reservoir is that in the study done by
13 Mr. Hickman, he did a comparison between the West
14 Dollarhide Queen Sand Unit and the Penrose "A" Unit,
15 which is located just to the east. It shares a common
16 boundary with the Penrose "B" unit.

17 In this study he had modern logs and cores
18 from the West Dollarhide Unit, and the reason that he
19 chose the Penrose "A" is that he had a couple of modern
20 logs that he used to correlate back to the Dollarhide
21 Queen Unit.

22 In this correlation he found that the Penrose
23 "A" was an analogous field to the West Dollarhide, and
24 in correlating the old logs back to the new logs of the
25 Penrose "A", this was found that the Penrose was

1 contiguous across both the Penrose "A" and Penrose "B".

2 So we feel like we have an analogous
3 reservoir that we had at the West Dollarhide Queen
4 Unit. And based on this, from what we found at West
5 Dollarhide Queen and from the Penrose "A" study, it was
6 obvious to us that even though the sands are present
7 across the entire unit, there is great variations of
8 porosity and permeability, to the point where some of
9 these sands were totally nonproducing because they
10 were so tight.

11 This, along with the inefficiencies of the
12 80-acre fivespot, led us to believe that the 80-acre
13 fivespot was not totally sweeping the reservoir as we
14 had originally thought back in the Sixties, and by
15 going to a 40-acre fivespot we could increase the
16 vertical and areal sweep efficiencies in the reservoir
17 to contact additional reservoir that would be unswept
18 if the 40-acre fivespot was not undertaken.

19 Q. Let's look at Exhibit 1. There is an area
20 shaded within the unit, with the yellow shading. What
21 does that represent?

22 A. That is the project area.

23 Q. How did you as a reservoir engineer decide
24 what the project area was going to be?

25 A. We took a look at the structure maps and

1 isopach maps that were included within the Hickman
2 study, and it was our decision to put this in, in the
3 best reservoir area of the unit.

4 This area showed the highest primary
5 production and the best secondary response under 80-
6 acre fivespot, so we felt by working on the best area
7 of the reservoir would allow us to achieve the best
8 results.

9 Q. Let's divide the next issue in two parts. I
10 want to address the additional injectors, and then
11 we'll talk about the additional producers.

12 A. Okay.

13 Q. When we're talking about a change in process
14 that is going to expand or increase the geologic area
15 that's being swept, how do you achieve that by the
16 additional injection wells that you're proposing within
17 the project area?

18 A. By closing the spacing on the injection
19 wells, you take away some of the discontinuity in
20 between the sands.

21 The tighter the spacing allows you to sweep
22 better the reservoir, because it takes out part of the
23 discontinuity of the different sands and therefore
24 allows you to have better sweep efficiency across the
25 reservoir.

1 Q. When we look at the producing wells, why will
2 not the new producing well simply represent additional
3 primary recovery?

4 A. The new producing wells won't represent
5 additional primary recovery.

6 There is some built-up oil from the 80-acre
7 fivespot that was swept off to the side and not pushed
8 from the injectors to the producers.

9 But from the six wells that were drilled in
10 1988 and from an experience at the West Dollarhide
11 Queen, we found that that small amount of banked-up oil
12 would not be primary; it's more part of the 80-acre
13 secondary.

14 But it depletes very quickly. It comes in
15 very quick and is gone, because there's no pressure
16 injection being done to keep the pressure in the
17 reservoir up to help sweep the reservoir.

18 Therefore, without the injection on a 40-acre
19 fivespot around it, these wells deplete very quickly,
20 and the recoverable reserves are very small.

21 The bulk of the reserves that we feel like
22 will be recovered will be coming from the injection
23 into the four wells around the producers.

24 Q. When we look at the oil producers within the
25 project area, how will we know when those oil producers

1 are demonstrating a positive production response in
2 direct relationship to the change in technology or
3 process with the conversion of producers to injectors?

4 A. We feel like that the -- after the well is
5 drilled, we'll get a -- should get a fairly high kick,
6 initial production, that will drop off very quickly.

7 As injection goes into the injectors around
8 these producers, we should then see a secondary kick as
9 in any secondary waterflood operation.

10 Q. Is the opportunity to have a reduced
11 severance tax under the EOR credit an incentive to you
12 and your company to initiate this project?

13 A. Yes, it would be an incentive, because it
14 would help the economics. The investment that is
15 required to convert the unit from an 80-acre fivespot
16 to a 40-acre fivespot is quite large, and it would be
17 an incentive for us to go ahead and start this project.

18 Q. That tax credit affords OXY the opportunity
19 to select projects that would qualify for the credit
20 and place them higher on your priority list, over and
21 above other projects on which you might spend your
22 resources?

23 A. Yes, that's correct.

24 Q. Let's look at the topic of the C-108 for a
25 minute.

1 Attached to the end of the exhibit package --
2 it appears as OXY Exhibit 11 -- is a copy of
3 Administrative Order WFX-643. Do you have a copy of
4 that?

5 A. Yes, I do.

6 Q. You testified earlier in qualifying your
7 credentials as an expert that you were personally
8 involved in the preparation of the C-108 that was filed
9 with the Division and led to the Administrative Order
10 that approved the conversion of these wells for
11 injection?

12 A. That's correct.

13 Q. As part of that process, did you find any
14 wells that are called problem wells under Division
15 definition within the area of review for any of the
16 injection wells?

17 A. No, I did not.

18 Q. Describe for us the length of effort and the
19 expenditure of resources that OXY has made in its
20 commitment to upgrade this entire unit in order to make
21 it an effective waterflood project again.

22 A. We purchased and became operator of this unit
23 in February of 1993. We went out and made an
24 assessment of the unit and checked all our injection
25 wells, ran mechanical integrity tests on every well,

1 found that numerous wells had failed.

2 We decided at that point in time that we
3 would work on every well and bring every well within
4 compliance under Commission rules and regulations.

5 To date, we have spent approximately \$1.9 to
6 \$2 million cleaning this lease up and getting back into
7 shape where it could be used as a waterflood project.

8 Q. Have you satisfied yourself that each and
9 every one of the injection wells, not only within the
10 project area but within the unit itself, will now pass
11 wellbore integrity tests?

12 A. We have run mechanical integrity tests on
13 every well now after they have been repaired and have
14 filed every injection well within the unit, mechanical
15 integrity tests, with the Hobbs office, and all of them
16 have passed.

17 Q. Describe for us the financial commitment your
18 company is making for this project. What is the
19 estimated cost of this work?

20 A. Our company has budgeted approximately \$2
21 million to install the 40-acre fivespot pattern.

22 Q. Have you commenced doing any of the work on
23 the wells at this point?

24 A. Part of the project has been commenced. It
25 is the part -- The costs are shown in Exhibit Number 9

1 in the back.

2 Q. Uh-huh.

3 A. We had to reactivate nine injectors and
4 reactivate three producers in our process of fixing the
5 injection wells that had failed the mechanical
6 integrity test.

7 We felt that it was prudent while we were on
8 the well and had a unit rigged up that we would go
9 ahead and run our injection tubing and reactivate those
10 injection wells that were already currently --

11 Q. Those were old injection wells, and not part
12 of the expansion project?

13 A. That is correct, they were part of the 80-
14 acre fivespot waterflood pattern.

15 And then we have reactivated the three
16 producers that the previous operator had left
17 temporarily abandoned.

18 Q. Other than that, you have not undertaken to
19 spend the money or undertaken to do the work within the
20 project area for the new injection wells or the
21 conversion of producers to injection?

22 A. That is correct.

23 Q. And you haven't drilled the new producing
24 wells?

25 A. No.

1 Q. Do you have engineering estimates of the
2 additional production that would be attributable to the
3 project area if the Division approves this as an EOR
4 project?

5 A. Yes, I do.

6 Q. And what is that number?

7 A. We estimate that in the project area that
8 there will be 971,780 stock tank barrels of water that
9 could be recovered under a 40-acre fivespot waterflood.

10 Q. What's the engineering method used to reach
11 that number?

12 A. We used a volumetrics technique.

13 Q. Have you made yourself familiar with the
14 Division rules and regulations with regards to enhanced
15 oil recovery projects that's set forth in Division
16 Order R-9708?

17 A. Yes, I have.

18 Q. Let's start, then, with Exhibit Number 2, and
19 have you identify and describe that exhibit.

20 A. Exhibit Number 2 is a production decline
21 curve of the Skelly Penrose "B" Unit. In green is the
22 oil production, in blue is the water production, in red
23 is gas production, and the purple is water injection.

24 Q. The remaining secondary oil to be recovered
25 by the continuation of this project is 8000 barrels of

1 oil?

2 A. In the project area.

3 Q. Yes, sir. All right. Let's turn now to
4 Exhibit 3. Identify and describe that display.

5 A. Exhibit Number 3 shows the ultimate primary
6 production that is attributed to the unit. This is
7 based on decline curve analysis and is estimated at
8 1.775 million barrels of oil.

9 It also indicates that the ultimate secondary
10 production under 80-acre fivespot waterflood is 1.742
11 million barrels of oil, for a total ultimate production
12 under current operations of 3.517 million barrels of
13 oil.

14 The total oil produced as of April 1st of
15 1993 is 3.442 million, leaving the remaining production
16 under current conditions for the unit of 75,000 barrels
17 of oil.

18 Currently the unit is making 80 barrels of
19 oil and 945 barrels of water with 20 active producers
20 and seven active injectors.

21 Q. All right. Let's turn now to Exhibit 4 and
22 have you talk about the reserve estimates.

23 A. In this exhibit, it shows our calculation for
24 determining how many additional barrels of oil could be
25 recovered under a 40-acre fivespot waterflood area.

1 Using volumetrics, we calculated in the
2 project area a little over 9 million barrels of --
3 stock tank barrels -- original oil in place.

4 The project area cumulative production to
5 date is approximately 1.4 million barrels of oil, which
6 is a recovery of 15.2 percent.

7 That leaves approximately 7.8 million barrels
8 of oil left in the project area at a current oil
9 saturation of 39 percent.

10 Using volumetrics and a cutoff of a residual
11 oil saturation of 30 percent, that leaves approximately
12 1.5 million barrels of oil recoverable in the
13 reservoir.

14 Using a sweep efficiency of 65 percent under
15 a 40-acre fivespot pattern, that would leave 972,000
16 barrels of oil recovered.

17 Q. The net pay upon which your reservoir
18 estimate is made, is this the Penrose member of the
19 Queen formation of the pool?

20 A. Yes, it is.

21 Q. That's our targeted fluid zone for this
22 enhanced project?

23 A. Yes, it is.

24 Q. Okay. Let's go now to Exhibit 5. Would you
25 identify and describe that?

1 A. Exhibit Number 5 is the reservoir study by T.
2 Scott Hickman and Associates, who are an independent
3 reservoir engineering consulting firm.

4 This study was done for the previous operator
5 in 1987 as a feasibility of doing a 40-acre fivespot
6 waterflood.

7 Q. Have you as a reservoir engineer reviewed and
8 studied the information, the data and the conclusions
9 reached by T. Scott Hickman?

10 A. Yes, I have.

11 Q. And how do your conclusions and opinions
12 compare to theirs?

13 A. They correspond pretty closely.

14 Q. So that the Examiner has the benefit of
15 understanding what you consider to be the essential
16 elements of this report, highlight for us those
17 portions of the report that are significant.

18 A. The significant parts in the T. Scott Hickman
19 report, if you turn to page 6 of his report, his
20 discussion, he has under there Conclusions.

21 Number 3, it says, "Under current mode of
22 operations, the Penrose 'B' Unit is in the latter
23 stages of depletion", which corresponds to the 75,000
24 barrels of remaining reserves to be recovered out of
25 the unit.

1 And Number 6, "Oil recovery has varied
2 greatly across the field due to variations in
3 completion techniques, reservoir heterogeneity and
4 water injection inefficiencies."

5 This corresponds to our thought process on
6 the unit where there is a lot of discontinuity between
7 the sand members due to porosity and permeability
8 changes, and therefore we saw various different
9 recoveries from secondary operations on the unit.

10 On the next page, under Geology and Reservoir
11 Properties, Mr. Hickman states that, "No quantitative
12 well logs or cores were available with which to
13 determine lithology" within the Penrose "B" Unit.

14 He also states that "Porosity and
15 permeability are apparently highly variable as
16 demonstrated by individual well performance and
17 simulation studies."

18 In the third paragraph he says, "A modern log
19 suite was available from the Penrose 'A' Unit Number
20 66, which was used to approximate porosities and
21 original water saturations for the Penrose Sand in this
22 area", which includes both the Penrose "A" and Penrose
23 "B" Units.

24 "The log analysis indicated that the 'A' Unit
25 Penrose sand formation was similar in stratigraphic and

1 lithological character to that of the West Dollarhide
2 Queen Sand Unit", which is our analogous situation for
3 this unit.

4 He goes through some of the methodology that
5 he went through to determine the reserves. His project
6 area that he chose for the unit uses the same area that
7 we have, only it's a little more expanded than what OXY
8 proposes to do.

9 He came up with 1.2 million barrels of
10 recoverable reserves, which is closely in line with the
11 971,000 barrels of oil that we feel like we can get in
12 our project area.

13 Q. Have you reviewed the geologic displays and
14 interpretations made concerning the geology?

15 A. Yes, I have.

16 Q. Are they consistent with your understanding
17 and interpretation of the geology?

18 A. Yes, they are.

19 Q. Recommendations made by the Hickman report on
20 page 7 are at the top of the page. Are those
21 consistent with your recommendations?

22 A. They're fairly close. We will probably
23 approach them a little bit different method in that we
24 changed the project area, or the initial phase of the
25 project area, but after that we plan to go about the

1 same methodology as he was going to do, do phase one,
2 gather data, and do logs and cores and use that to
3 apply to other parts of the Unit to further develop
4 this Unit.

5 Q. Let's turn now to Exhibit 6. Would you
6 identify and describe that?

7 A. Exhibit Number 6 is a Society of Petroleum
8 Engineers paper written by Mr. Hickman and C.D. Hunter
9 of T. Scott Hickman and Associates. It is a paper
10 about the redevelopment of completed Queen waterflood
11 projects in the Permian Basin.

12 It is based on reports like the Penrose "B"
13 that he did, not only on the Penrose "B" but on four or
14 five other different units without southeast New Mexico
15 and Andrews County, Texas.

16 Q. What's the conclusion of the paper?

17 A. The conclusion of the paper is that based on
18 improved oil recovery techniques utilized in the Clear
19 Fork and San Andres Formations where there is a lot of
20 reservoir heterogeneities and disconformities, that
21 this process could be used on the Queen formation.

22 They state that they've analyzed over a dozen
23 of the depleted Queen waterfloods and have determined
24 that the improved oil recovery potential of these
25 waterfloods is significant.

1 Q. You've said earlier that you've studied the
2 Division rules and regulations on qualifying for the
3 Enhanced Oil Recovery project. Let me ask you some
4 specifics.

5 When we look at the additional producers, why
6 don't those producers represent simply infill wells
7 that are recovering additional primary oil?

8 A. Based on the six wells that were drilled at
9 the Penrose "B", like I said, we got a good initial
10 response.

11 But if you look at a decline curve, which is
12 attached here, of the six infill wells drilled on the
13 Penrose, they dropped off very quickly. And the
14 reasoning behind that is that there was no pressure
15 backup for these wells.

16 Q. Let's look at that. It's Exhibit 7?

17 A. Yes, it is.

18 Q. Okay.

19 A. In Exhibit 7 it shows the six wells that were
20 drilled in 1988 in a 40-acre producer location. As you
21 can see, they came in fairly good. They'd come in in
22 the range of 30, 40 barrels a day, but were dropping
23 off quickly. And as soon as they drilled another well
24 it would bring production back up and then it would
25 drop.

1 And once they got done drilling the six
2 wells, production quickly dropped on all six wells down
3 in the range of 20, 25 barrels a day for all six wells.

4 This is really a good indication of, you
5 know, high mobile oil saturation that was down there,
6 but without the pressure backup of the injection wells
7 surrounding these, additional oil would not be
8 recovered out of these wells, and the production would
9 be insignificant.

10 Q. How do these -- the performance of these
11 specific infill wells compare to what Hickman had
12 projected would occur under his study?

13 A. These wells are probably not quite as good as
14 what Hickman had projected, and I believe that the
15 reasoning behind this was that the pressure maintenance
16 of the reservoir prior to the drilling of the wells in
17 1988 was not there.

18 They had stopped putting makeup water in the
19 formation, and because of that, our reservoir pressure
20 was low, not allowing us to get much sweep efficiency
21 through there.

22 Q. Apart from the slight difference in
23 productivity, though, it does validate the Hickman
24 conclusions in his study?

25 A. Yes, it does, that there are permeability and

1 porosity variations, that there are some
2 disconformities found within the reservoir, which would
3 make sweep efficiency very low under an 80-acre
4 fivespot pattern.

5 Q. Another issue is whether or not this
6 represents a significant change in either process or
7 technology, or an increase in geologic area, rather
8 than a continuation of the existing project.

9 Is this a logical continuation of an existing
10 project or, in your opinion, does it constitute the
11 application of a significant change in process or
12 technology?

13 A. I believe it's not a continuation of an
14 existing project. The fact that we're changing our
15 process by reducing our spacing due to changes in
16 technology that has allowed us to do reservoir
17 characterization and other models that would tend to
18 make us believe that the reservoir isn't continuous as
19 what we had thought back in the Sixties, so by changing
20 the spacing I believe that we are changing our
21 technology, improving our methodology, because we're
22 now sweeping more area within the current reservoir
23 that would not be swept by the 80-acre fivespot.

24 Q. Does this constitute an increase in the size
25 of the geologic area, then, that is subject to

1 effective sweep efficiency?

2 A. Yes, it does.

3 Q. Let's turn now to Exhibit 8. Identify and
4 describe that display.

5 A. Exhibit Number 8 is a decline curve analysis
6 of the project area.

7 As can be seen in the decline curve
8 analysis, in 1984 makeup water was cut off because of
9 economics. The operator at that particular point in
10 time was not making any money from the unit, and the
11 decision was made to cut the makeup water.

12 About six to nine months later, production
13 started declining.

14 They sold the unit and the new operator
15 drilled the six wells, which would be five within this
16 project area, and you can see the immediate response in
17 1988 to the drilling of these wells.

18 Production then quickly dropped back off.
19 They had a couple wells go down in late 1989, they
20 reactivated them in 1991, and due to economics had to
21 shut a couple more down in 1992.

22 Based on the dropoff of decline, we feel like
23 that there's only approximately 8000 barrels to be
24 recovered out of the project area economically, and
25 that's the number that we came up for a couple of

1 reserves for the project area.

2 Q. Let's turn now to Exhibit 9. Would you
3 identify and describe that?

4 A. Exhibit 9 is the cost estimates to put in a
5 40-acre fivespot waterflood project in the project
6 area.

7 Q. Okay, and then Exhibit 10?

8 A. Exhibit Number 10 is a decline curve of the
9 project area. In green, the oil production. And the
10 red line is the projection of oil production under a
11 40-acre fivespot pattern.

12 Q. Did you sign the verification under oath
13 that's attached to the Application in this case?

14 A. Yes, I did.

15 Q. And attached as an exhibit to the Application
16 is a list identifying the producing wells and the
17 injection wells by name and location?

18 A. Yes.

19 Q. Did you also participate in editing the
20 proposed draft order for submittal to the Examiner
21 today?

22 A. Yes, I did.

23 Q. One of the things that you have to obtain if
24 the Division approves the project is to establish a
25 baseline, if you will, by which then the Division and

1 others might judge whether or not you had a positive
2 production response. Are you with me?

3 A. Yes.

4 Q. Okay. What information do we have that we
5 have presented that might be utilized by the Division,
6 you or anyone else, that would establish the existing
7 baseline of production, so that we can measure if the
8 enhanced activity in the project area is showing a
9 positive production response?

10 A. In Exhibit Number 8, which was the decline
11 curve analysis of the remaining oil found in the
12 project area, we found that there's 8000 barrels that
13 we could economically recover from the project area.

14 That should be our baseline for this
15 particular project.

16 To determine if we're successful, we would
17 compare it back to this 8000 barrels.

18 Q. And is that what you would use on behalf of
19 the operator to file for certification of your project
20 when it has demonstrated a positive production
21 response?

22 A. Yes.

23 Q. Do you have an engineering opinion as to
24 whether or not this project area qualifies under the
25 New Mexico Act for the Enhanced Oil Recovery --

1 A. Yes, I do.

2 Q. -- Tax Credit? And what is that opinion?

3 A. I believe that it does qualify under the
4 rules and regulations.

5 MR. KELLAHIN: That concludes my examination
6 of Mr. Gengler.

7 We move the introduction of his Exhibits 1
8 through 11.

9 EXAMINER CATANACH: Exhibits 1 through 11
10 will be admitted as evidence.

11 MR. KELLAHIN: I didn't ask Mr. Gengler to go
12 through the draft order, but he is familiar with it and
13 assisted me in drafting it, and we believe that he and
14 I together with Mr. Foppiano have put in appropriate
15 findings that comply with the intent and purposes of
16 the rules and regulations.

17 In addition, while I propose not to call him,
18 Mr. Foppiano has been actively involved in the project.
19 He does have a perspective that you might want him to
20 share with you, insofar as he has done almost a dozen,
21 I believe, of these projects in Texas, where there is
22 some similarity in the rules.

23 While that's certainly no indication about
24 how you should do it, he can share with you the
25 experience in Texas about how they handle similar kinds

1 of things, if that's of interest to you.

2 So while I don't propose to call him as an
3 expert to talk about it, we invited him here to share
4 with you answers to the questions that you may have.

5 That concludes our presentation.

6 MR. STOVALL: Is this the state where they've
7 authorized secondary recovery for water fracs?

8 MR. KELLAHIN: You'll have to ask him.

9 (Off the record)

10 MR. STOVALL: I'm sorry, sand frac?

11 MR. FOPPIANO: No, I don't think --

12 (Off the record)

13 MR. STOVALL: Mr. Kellahin, could we have a
14 few minutes --

15 MR. KELLAHIN: Sure.

16 MR. STOVALL: -- you and I?

17 (Thereupon, a recess was taken at 3:08 p.m.)

18 (The following proceedings had at 3:20 p.m.)

19 EXAMINER CATANACH: Okay, let's go back on
20 the record.

21 EXAMINATION

22 BY EXAMINER CATANACH:

23 Q. Mr. Gengler, run through it with me, and
24 within your project area I want to just kind of go over
25 a little bit.

1 Which wells are infill drilled in 1988? Is
2 that the right date?

3 A. Yes, that's correct. There were six wells
4 drilled in 1988, five of which are in the project area.
5 These wells are wells 64 through 69.

6 64 is located in the fivespot with 26, 27, 34
7 and 33.

8 65 is located in the fivespot with 17, 18, 29
9 and 30.

10 66 is in the fivespot just south of 64.

11 67 is in the fivespot with -- surrounded by
12 28, 29, 31 and 32.

13 68 is just south of number 67.

14 And 69 is located north of the project area.

15 It's surrounded by wells, 7, 8, 15 and 16. That's
16 located in Section 32.

17 Q. The wells shown by a blue triangle on your
18 Exhibit Number 1 are wells that were previously
19 approved for injection?

20 A. Yes.

21 Q. By the original order, or --

22 A. No, those are the ones that we have filed our
23 C-108 to convert to injection, which was filed in May
24 of 1993.

25 The wells that are located with the black

1 triangle pointing up are the wells that are current
2 injectors approved under the original Order back in
3 1965 or 1966; I can't remember the exact year.

4 Q. Okay. The new conversions, I've got Number
5 18, 26, 28, 30, 33, 31, 37, 39, 44.

6 A. That's correct.

7 Q. Nine wells.

8 A. That's correct.

9 Q. Now, the ones you said in black are the ones
10 previously approved for injection?

11 A. That is correct.

12 Q. Those wells will remain injection wells?

13 A. That is correct.

14 Q. Okay. The red circles are proposed infill
15 wells, producing wells?

16 A. That is correct.

17 Q. And there are five of those that are going to
18 be drilled?

19 A. That is correct.

20 MR. STOVALL: 70, 71, 72, 73 and 74.

21 EXAMINER CATANACH: Thank you, Bob.

22 Q. (By Examiner Catanach) Exhibit Number 7,
23 which concerns the decline curve of the six infill
24 wells drilled in 1988, do you have any numbers on what
25 those wells have recovered to date?

1 A. The best well as of the first of the year had
2 recovered approximately 13,000 barrels, and the worst
3 well had recovered 4000 barrels.

4 Q. And the worst, 3000 did you say?

5 A. 4000.

6 Q. 4000. How do those recoveries compare with
7 the original oil recoveries for some of the wells in
8 the field?

9 A. As far as secondary or primary?

10 Q. As far as primary.

11 A. If you look in the Hickman report, he has a
12 map which gives not only ultimate primary reserves for
13 each well -- it's -- Let me find the exact page.

14 Page 14. If you look on that particular page
15 -- I'll wait for you to get there. The number above
16 the line is the ultimate primary production calculated
17 by decline curve analysis on individual wells, and the
18 number below the line is the ultimate secondary, again
19 by decline curve analysis.

20 Primary numbers, the original well in the
21 field, which is well number 34, had 147,000 barrels of
22 primary oil.

23 As typical Queen production in the area, you
24 know, the first well usually has the highest cum
25 primary, and then as each well is successfully drilled

1 thereafter, there's lower reservoir pressure and they
2 recover an incremental less amount of oil than the one
3 before it.

4 But I would say an average number for a Queen
5 primary oil producer in this area would be about 25,000
6 barrels of oil.

7 Q. Have you projected on your five infill wells,
8 have you projected what those may ultimately recover
9 under primary, just primary?

10 A. Are you calling primary the initial kick?

11 Q. You're still -- Within the project area
12 you're currently injecting; is that correct?

13 A. Since February of 1993 we have reactivated --
14 The previous operator was down to one injection well
15 prior to us taking over, and we have now reactivated
16 seven injection wells.

17 I guess in answer to your question, if you
18 were calling, we drilled the wells, the initial
19 production that we got from that as primary oil
20 production, our projections would be very similar to
21 the five wells drilled in 1988, probably in the range
22 of 15,000 to 20,000 barrels at the most.

23 Q. Total?

24 A. Total oil production, if no injection was put
25 in the ground around them.

1 The six previous wells are pretty much in
2 that situation. They have not had any water injection
3 support. And without that water injection support, the
4 reserves that have been produced so far is pretty much
5 what those wells will -- will be an indication of what
6 they'll produce ultimately.

7 Q. Drilling the infill wells is not like -- it's
8 not at all like going into a virgin reservoir. You've
9 lost a lot of pressure from primary depletion already;
10 is that your opinion?

11 A. Yes, we've lost pressure from the primary
12 depletion.

13 And then when they quit injecting makeup
14 water in the 80-acre fivespot, there was no additional
15 water being put in the ground. So as the oil and gas
16 and water was taken out, the water was disposed of,
17 thus creating a pressure decrease in the reservoir.

18 Q. Let's see if I understand correct.

19 Under current conditions you expect that you
20 would recover 8000 additional barrels, if nothing
21 changed?

22 A. In the project area.

23 Q. In the project area.

24 A. That is correct.

25 Q. And with the process change, you're going

1 to -- you're projecting how much?

2 A. We're projecting 971,780 stock tank barrels.

3 Q. Has any of the work on converting the wells
4 to injection been commenced yet?

5 A. No, all the wells that are planned to be
6 converted to injection are currently producing, with
7 the exception of one which we temporarily abandoned,
8 within the last two or three weeks, and all we did was
9 set a cast iron bridge plug and took the equipment to
10 another well within the unit.

11 Q. You mentioned something about the previous
12 operator only had one well injecting when you took
13 over?

14 A. That is correct.

15 Q. Do you know how long that status was, what --
16 that he had been doing that?

17 A. He had -- Basically he had a lot of injection
18 line leaks, and he would kind of rotate around which
19 wells he would put water in, based on leaks, not only
20 in the tubing, but in injection lines, and that
21 probably had been going on for several years.

22 The previous operator had a funding problem
23 and wasn't able to spend much money out on this unit.
24 It was directed to other properties that he had
25 operated, and the maintenance on this unit was very

1 poor. That is why we had to spend close to a million
2 dollars to get the unit back into workable shape.

3 EXAMINATION

4 BY MR. STOVALL:

5 Q. What kind of condition is the unit in now,
6 the equipment and all that? I mean, have you done a
7 lot of that?

8 A. We've spent \$2 million. We have worked on
9 every injection well within the unit and have run
10 mechanical integrity tests after repairs on every
11 injection well.

12 We have probably been on 80 percent of all
13 the producers now and did a mechanical integrity test
14 on the producers to verify that the casing was in good
15 shape and plan to finish within the next month the
16 remaining producers to get everything in shape to be
17 able to do all the work that we plan to do out there.

18 Q. What about production equipment? Have you
19 done much work on that? Have you -- How much have you
20 done there to just basically get those producing wells,
21 particularly, back into producing condition where
22 they're doing whatever they can?

23 A. We've replaced a lot of the tubing and rods
24 within the producing wells. We've done a lot of patch
25 work on the battery and injection station.

1 Part of our plan in this 40-acre project is
2 to replace a majority of the production equipment in
3 the battery end, in the injection station, because we
4 feel like the long-term operating of that equipment
5 would cause some problems.

6 Q. Another question. As often happens in
7 fields, they kind of get ignored, as this one has been,
8 and then when you go back to look at a project as this,
9 you do some stuff that should have been done all along
10 to existing wells. And as a result, you increase
11 production. Right?

12 A. That is correct.

13 Q. Do you have at this point an idea of what the
14 current production would be with the equipment in good
15 shape from the field as it exists today?

16 A. Yes, I believe we've pretty much got the
17 field into that condition now.

18 We have been on, like I said, 80 percent of
19 the producers. The ones that are making enough oil to
20 be economic have been reactivated. We have put in new
21 producing equipment, both tubing and rods and pumping
22 units, and I feel like 80 barrels a day is the peak
23 production.

24 A little bit of that is flush, you know, it
25 will probably level out a little bit lower than that

1 for the unit. But I feel like that is a good number as
2 what the unit, you know, could possibly do at this
3 point in time.

4 Q. That would be the baseline for an incremental
5 recovery determination, is what it would do if you take
6 -- if it's in shape, not what it does if you've ignored
7 it for several years?

8 A. Correct, but you're talking about in the
9 project area. That was the first area that we went
10 into to get everything going, and that has been pretty
11 much going since March.

12 And we saw a slight increase on there, and
13 it's indicated in Exhibit Number 8 where we made our
14 decline curve analysis. You can see in early 1993 that
15 jump.

16 MR. STOVALL: Maybe I can find my Exhibit 8.

17 (Off the record)

18 Q. (By Mr. Stovall) Yeah, I see what you're
19 talking about.

20 A. The dark heavy line is the decline
21 projection.

22 But if you see in the dashed line, it takes
23 it from the current production of approximately 28
24 barrels a day for the project area.

25 Q. Right. Okay, so that --

1 A. So we are taking --

2 Q. So that, you feel, would be a real legitimate
3 baseline production with proper attention being paid to
4 the project area equipment, wells, et cetera?

5 A. Yes. We have gotten all that equipment, and
6 in the project area in good shape, been producing for
7 several months now, and we feel like that is a good
8 number for it, based on this historical decline.

9 We then projected from that number the 8000
10 barrels of recoverable reserves.

11 MR. STOVALL: That's all I've got on that
12 line of questioning.

13 EXAMINER CATANACH: Are you done?

14 MR. STOVALL: For the moment.

15 FURTHER EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Gengler, I don't know if you're familiar
18 with -- We had a case somewhat similar to yours, heard
19 back a few months ago, and --

20 MR. STOVALL: Mr. Kellahin is handing you the
21 Order, I believe. Marathon; is that correct?

22 Q. (By Examiner Catanach) There is some analogy
23 to your situation in that at least half of your infill
24 wells were drilled some time ago, and converting the
25 pattern to 40-acre fivespot seems to be a logical

1 continuation of a process that may have been started
2 several years ago.

3 Do you have an opinion on that?

4 A. Yes, I don't believe that it's a continuation
5 of a process.

6 The previous operator drilled these wells to
7 determine how much mobile oil saturation was in the
8 reservoir. He did not get the big response that he got
9 at West Dollarhide, so he pretty much abandoned it. He
10 never injected water around these wells.

11 So in my opinion, it wasn't really an
12 extension of a waterflood project. I mean, if you're
13 not injecting water around these wells, you're not
14 waterflooding that area of the reservoir.

15 So in my opinion, basically, he got some
16 flush production that was built up from the 80-acre
17 fivespot, and it was a very low amount. You were
18 calling it primary production, but the significant
19 process is putting the water in on a tighter spacing to
20 contact areas within the reservoir that were not
21 contacted, to get this 971,000 barrels of oil.

22 As can be seen by these six wells, we're not
23 going to get anywhere near that kind of recovery from
24 just the flush production.

25 So to me, the actual process is in the

1 conversion of the wells and going to an improved
2 waterflood situation where we're using the technique of
3 tighter spacing to get around reservoir heterogeneities
4 and permeability and porosity variations, to get a
5 greater sweep efficiency, both areally and vertical.

6 Q. Is this an economically viable project
7 without the EOR tax incentive?

8 A. Yes, it would be an economical project. it
9 would dampen the economic projections of it, and when
10 you put the project up against the other possibilities
11 that we have in our company to spend money on, it would
12 definitely lower the ranking of the project -- or this
13 particular project in the rest of them, as far as a
14 project that needed to be attended to fairly quickly.

15 EXAMINER CATANACH: I don't have any more
16 questions.

17 MR. STOVALL: I just have -- Let me just ask
18 one.

19 FURTHER EXAMINATION

20 BY MR. STOVALL:

21 Q. Would it be fair to characterize the previous
22 operator's treatment of the project as they had more or
23 less abandoned it and your company has kind of
24 restarted it?

25 A. I can only speak on --

1 Q. From an engineering standpoint, not from a
2 regulatory standpoint. But just from an operational
3 standpoint, have they just kind of -- and I don't mean
4 abandoned in the sense of, you know, plugged well,
5 walked away.

6 But it sounds like it didn't really get any
7 priority.

8 A. I would say on an engineering standpoint,
9 looking at it from a distance, I would agree with you.

10 Q. Okay.

11 A. From my understanding, I felt like they were
12 looking for outside funding to try to do some of the
13 same things we were but were unable to obtain that.

14 EXAMINER CATANACH: Anything further?

15 MR. STOVALL: Well, I think there's
16 something.

17 Mr. Kellahin, did you want to go back into
18 some areas here briefly?

19 MR. KELLAHIN: Only to clarify my intent, Mr.
20 Stovall, Mr. Examiner.

21 The last comments by the Division and by the
22 witness give me concern about the status of the
23 project, and I would be more comfortable if the
24 Division incorporated into its consideration of
25 approving this as an EOR project also the appropriate

1 findings within this Order to approve the expansion
2 area under the typical C-108 approval process.

3 And what I am proposing is that
4 Administrative Order WFX-643 may have in fact been
5 issued in error and ought to be vacated, and to have
6 the approvals accomplished by the Division, by
7 incorporating them into this case and into the order
8 issued for this case. I believe we complied with the
9 procedures to let that take place.

10 The Application and the advertisement for
11 hearing included the expansion of the project area.
12 Mr. Gengler has already testified under oath that the
13 C-108 he filed, to the best of his knowledge, complies
14 for approval under that permitting process and that OXY
15 has undertaken wellbore integrity tests of all their
16 wells, and they will stand inspection.

17 Because I am not certain as a lawyer whether
18 this Administrative Order properly approves the
19 expansion of those wells, I would request that you
20 withdraw and vacate the Administrative Order and that I
21 submit to you an order in this case that will
22 accomplish the approval of those wells within the
23 context of this hearing.

24 That's all we have.

25 MR. STOVALL: And in fact, this is more --

1 Are you stating that on the basis that this is more
2 than just an expansion to maintain pressure as defined
3 in Rule -- I think it's 702, that this is really a
4 change in process, that is -- changes the character of
5 the project and therefore that Order was probably not
6 comprehensive?

7 MR. KELLAHIN: Well, I think you've stated my
8 concern as a layman.

9 I hear Mr. Gengler talk as an expert, and
10 what I hear him saying to me is that his project was
11 abandoned for all purposes by a prior operator.

12 It makes me uncomfortable to use an
13 administrative order that may in fact have
14 underpinnings on the original waterflood order, and I
15 think it is a better process for us all to have Mr.
16 Gengler's new technology, what I think is an effective
17 and a substantial change, in the process for the
18 accomplishment of a true objective set forth in a
19 single order, and not to have incorporated by reference
20 a prior order that may in fact not serve the purpose
21 that we now intend it to.

22 EXAMINER CATANACH: There being nothing
23 further in this case, Case 10,771 will be taken under
24 advisement.

25 MR. KELLAHIN: There's an opportunity here,

1 if you care to go through the draft order, we do submit
2 it to you. It was our best effort to get the right
3 findings in here.

4 If you give me a chance, I will submit to you
5 perhaps tomorrow the edited draft order that now
6 incorporates the C-108 language so that you will be
7 looking at a proposed order that is comprehensive as to
8 this topic.

9 EXAMINER CATANACH: Okay. Thank you, Mr.
10 Kellahin.

11 Okay, this hearing is adjourned.

12 (Thereupon, these proceedings were concluded
13 at 3:47 p.m.)

14 * * *

15

16

17

18

19

20

21

22

23

24

25

