

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)
)
 APPLICATION OF YATES PETROLEUM)
 CORPORATION FOR A UNIT AGREEMENT,)
 LEA COUNTY, NEW MEXICO)

CASE NO. 11,652

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

November 21st, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, November 21st, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

November 21st, 1996
 Examiner Hearing
 CASE NO. 11,652

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>MECCA MAURITSEN</u> (Landman)	
Direct Examination by Mr. Carr	5
Examination by Examiner Catanach	8
<u>JOHN R. McRAE</u> (Geologist)	
Direct Examination by Mr. Carr	10
Examination by Examiner Catanach	17
REPORTER'S CERTIFICATE	21

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	8
Exhibit 2	12	17
Exhibit 3	13	17
Exhibit 4	14	17
Exhibit 5	15	17
Exhibit 6	16	17
Exhibit 7	16	17

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 8:18 a.m.:

3
4
5
6
7 EXAMINER CATANACH: At this time we'll call first
8 case, 11,652.

9 MR. CARROLL: Application of Yates Petroleum
10 Corporation for a unit agreement, Lea County, New Mexico.

11 EXAMINER CATANACH: Are there appearances in this
12 case?

13 MR. CARR: May it please the Examiner, my name is
14 William F. Carr with the Santa Fe law firm Campbell, Carr,
15 Berge and Sheridan.

16 I represent Yates Petroleum Corporation in this
17 matter.

18 I have two witnesses.

19 EXAMINER CATANACH: Are there any other
20 appearances in this case?

21 Okay, will the witnesses please stand and be
22 sworn in at this time?

23 (Thereupon, the witnesses were sworn.)

24 MR. CARR: May it please the Examiner, at this
25 time we call Mecca Mauritsen.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MECCA MAURITSEN,

the witness herein, after having been first duly sworn upon her oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARR:

Q. Would you state your name for the record, please?

A. Mecca Mauritsen.

Q. Where do you reside?

A. Artesia, New Mexico.

Q. Ms. Mauritsen, by whom are you employed?

A. Yates Petroleum Corporation.

Q. And what is your current position with Yates?

A. I'm a landman.

Q. Have you previously testified before this Division and had your credentials as a petroleum landman accepted and made a matter of record?

A. Yes, I have.

Q. Are you familiar with the Application filed in this case on behalf of Yates Corporation?

A. Yes, I am.

Q. Are you familiar with the proposed Trick State Unit?

A. Yes.

Q. Are the witness's qualifications acceptable?

EXAMINER CATANACH: Yes, they are.

1 Q. (By Mr. Carr) Could you briefly summarize for
2 the Examiner what it is Yates seeks in this case?

3 A. Okay, we're seeking approval of the Trick State
4 Unit, comprising approximately 6380 acres of state and fee
5 lands in Township 22 South, 34 East, and 22-35, Lea County,
6 New Mexico.

7 Q. Let's turn to what has been marked as Yates
8 Exhibit Number 1. Would you identify and review this for
9 Mr. Catanach?

10 A. This is our proposed unit agreement. It's on a
11 state/fee form for exploratory units.

12 Q. Would you turn to Exhibit A -- there's a tab that
13 indicates where that can be found -- Exhibit A to the unit
14 agreement, identify this and review it?

15 A. Exhibit A is our plat showing all the leases in
16 the unit outline. The unit outline is the rose-colored
17 line, and the green leases are state leases, the gray lease
18 is one 40-acre tract of fee lands.

19 Q. We're dealing with 17 state leases and one fee
20 lease?

21 A. That's correct.

22 Q. And the ownership breakdown and percentages are
23 set forth on this exhibit?

24 A. Yes, it is.

25 Q. Let's go to what has been marked as Exhibit B.

1 Will you review that, please?

2 A. Exhibit B is the description of all the leases,
3 the terms of the leases, the royalty ownership, the working
4 interest ownership and all overriding ownership.

5 Q. What percentage of the working interest ownership
6 has been voluntarily committed to this unit plan?

7 A. 86 percent.

8 Q. Will that give Yates effective control of unit
9 operations?

10 A. Yes, it will.

11 Q. Have you reviewed this proposed unit with the
12 State Land Office?

13 A. Yes, I have.

14 Q. And what is the status of the Commissioner's
15 approval of this Application?

16 A. They have given us verbal approval. As of
17 yesterday afternoon they were unable to get the letter to
18 us. Pete Martinez has been out and the letter should be
19 out this afternoon or in the morning, and we will have it
20 delivered to you.

21 Q. Yates desires to be designated unit operator?

22 A. Yes.

23 Q. Does this agreement provide for the periodic
24 filing of plans of development?

25 A. Yes, it does.

1 Q. Will they be filed with the Oil Conservation
2 Division at the time they are filed with other agencies?

3 A. Yes, they will be.

4 Q. And how often are they to be filed?

5 A. Six months after the commercial well has been --
6 the well has been determined commercial, we will file a
7 plan, and then every 12 months after that.

8 Q. Is Yates also going to call a geological witness
9 to review that portion of this Application?

10 A. Yes, we are.

11 Q. Was Exhibit 1 prepared by you?

12 A. Yes, it was.

13 MR. CARR: At this time, Mr. Catanach, we move
14 the admission into evidence of Yates Petroleum Corporation
15 Exhibit Number 1.

16 EXAMINER CATANACH: Exhibit Number 1 will be
17 admitted as evidence.

18 MR. CARR: And that concludes my direct
19 examination of Ms. Mauritsen.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Ms. Mauritsen, the ad for this case stated the
23 unit was going to be about 7000 acres. Did you contract
24 that?

25 A. Yes, the State Land Office asked us to take out,

1 if you can look at the map, the north half of Section 16,
2 which has a producing well on it. We included it when we
3 proposed it because of the geology. And then the northwest
4 quarter of Section 30 and the southwest quarter of Section
5 29 were the open state lands, but due to geology we
6 included them, and they asked us to take all those tracts
7 out.

8 Q. I'm sorry, again, the north half of 16 and what
9 else?

10 A. The northwest quarter of Section 30 and the
11 southwest quarter of Section 29.

12 Q. Who is not committed to the unit at this point?

13 A. Okay, Chevron has said they will not join at all.
14 MYD, Inc., and Tenneco Gas have not given us a final
15 decision yet. Southwest Energy Production Company, we
16 don't have a final decision from, or Amerada Hess.

17 Ray Westall, one of the mineral owners of the
18 tracts, has committed. The other three have not.

19 Q. This unit agreement is for all depths?

20 A. Yes, it is.

21 Q. The Land Office said they would be giving you a
22 letter today or tomorrow?

23 A. Late this afternoon or in the morning, yes.

24 Q. Okay, and you will submit that?

25 A. Yes, we will.

1 Q. The fee lease, that's currently unleased, is it?

2 A. Yes, it is, it's unleased.

3 Q. Are you attempting to lease that acreage?

4 A. Yes, we are.

5 Like I said, we've had one owner go ahead and
6 join and would like to participate, but we are trying to
7 lease the other.

8 EXAMINER CATANACH: Okay, I have nothing further.

9 MR. CARR: Okay, at this time we would call John
10 McRae.

11 JOHN R. McRAE,

12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. CARR:

16 Q. Could you state your full name for the record?

17 A. John Robert McRae.

18 Q. And where do you reside?

19 A. Artesia, New Mexico.

20 Q. By whom are you employed?

21 A. Yates Petroleum.

22 Q. Mr. McRae, what is your current position with
23 Yates?

24 A. I'm a senior geologist.

25 Q. Have you previously testified before this

1 Division?

2 A. Yes, I have.

3 Q. At the time of that testimony, were your
4 credentials as an expert in petroleum geology accepted and
5 made a matter of record?

6 A. They were.

7 Q. Are you familiar with the Application filed in
8 this case?

9 A. Yes.

10 Q. Have you made a geological study of the area
11 surrounding the proposed Trick State Unit?

12 A. Yes, I have.

13 MR. CARR: Are the witness's qualifications
14 acceptable?

15 EXAMINER CATANACH: Yes, they are.

16 Q. (By Mr. Carr) Now, Mr. McRae, all formations are
17 being unitized in this plan; is that right?

18 A. That's correct.

19 Q. What is the primary objective in the unit?

20 A. The Bone Spring formation.

21 Q. And is it within a defined Bone Spring pool?

22 A. No, it is not.

23 Q. Are there secondary objectives?

24 A. The Delaware sands, the Wolfcamp and the Morrow
25 are secondary objectives in this area.

1 Q. Let's go to what has been marked as Yates Exhibit
2 Number 2. Would you identify and review that, please?

3 A. Exhibit 2 is a structure map on top of the Bone
4 Spring formation. I've included a legend on the left-hand
5 bottom.

6 The wells that are uncircled are wells that are
7 less than 6000 feet in depth. The circled wells are
8 greater than 6000 feet and have penetrated the Bone Spring
9 formation. I've color-coded all the production.

10 It also shows the unit outline. Wells in Section
11 9, 17, 19 and 20 that are within the unit are less than
12 6000 feet. They're Yates-Seven Rivers tests. They were
13 all dryholes, and they did not penetrate the objective
14 formation.

15 This map also shows a cross-section A-A' that
16 we'll discuss later.

17 The geology on this structure map shows dip,
18 generally from the northeast to the southwest, with a
19 structural nose in the vicinity of this -- the proposed
20 Trick State Unit.

21 Q. Was this exhibit prepared from well-control
22 information?

23 A. Just well control.

24 Q. No seismic was utilized?

25 A. No, none.

1 Q. Let's go to Yates Exhibit Number 3. Can you
2 identify and review that, please?

3 A. Exhibit Number 3 is an isopach of what I've
4 referred to in this area as the second sand/shale sequence.
5 That will be shown more clearly on the cross-section. I've
6 used 14-percent density cutoff.

7 As you can see, there's a sand thick at the
8 location of the Trick State Unit. This thick is
9 interpreted as a turbidite fan complex with the sediment
10 source from the north.

11 This was deposited in a structural low in Bone
12 Spring time. That low was controlled by the Central Basin
13 Platform on the east and the Grama Ridge/Antelope Ridge
14 structural fault block on the west.

15 I've noted the economic limits of approximately
16 25 feet. Our work in the upper Bone Springs sands in this
17 part of the Basin have shown that 14-percent porosity,
18 greater than 14-percent porosity and 25 feet of sand is the
19 absolute minimum for economic production. So that's our
20 economic limits.

21 Q. On this exhibit, we again have a trace for the
22 cross-section; is that right?

23 A. That's correct.

24 Q. All right, let's go to that cross-section, now,
25 Yates Exhibit Number 4, and I'd ask you to review that for

1 the Examiner.

2 A. Exhibit Number 4 is a structural -- I'm sorry, a
3 stratigraphic cross-section, A-A', as noted on the
4 structure map and on the isopach. I've hung this cross-
5 section on the top of the Bone Spring formation, and we'll
6 just start at the top and we'll go down. I'll show you the
7 different sequences.

8 The top part is the Bone Spring carbonate, and
9 then you go through what I've referred to as the first
10 sand-shale sequence and then the second carbonate. And in
11 this part of the Basin I've noted the second sand-shale
12 sequence, which is the primary objective. And then you go
13 into another carbonate, described as the third carbonate.

14 This cross-section shows that Wells 2, 3 and 4
15 are thicker than Wells 1 and 2, showing the depositional
16 low in this part of Bone Spring time. The key well is Well
17 Number 4, and I've noted 14-percent porosity cutoff and the
18 sand thickness.

19 I'd like to point out that Wells Number 2 and 3,
20 as you approach the edge of this fan complex, show two
21 prominent sand fingers, and as you -- generally in these
22 turbidite fan complexes, as you approach the edge, it
23 begins to interfinger into the shales and carbonates
24 surrounding it.

25 Q. And basically this shows a thick under the

1 proposed unit area; is that right?

2 A. Yes, it does.

3 Q. All right. Let's move now to Exhibit Number 5.

4 That's a log on the key well; is that correct?

5 A. That's correct.

6 Q. And the location of that well is shown on

7 Exhibits 2 and 3?

8 A. Right, that's Well Number 4 on the cross-section,
9 and it's located in the north half of Section 16.

10 Q. All right. Let's review this log section.

11 A. What I've put on here is, on the left-hand side,
12 is the dual lateral log. On the right-hand side is the
13 compensated neutron formation density log. I've noted the
14 second carbonate, which the same as on the cross-section.

15 I've also color-coded the porosity greater than
16 14 percent, and we've included log calculations. What this
17 shows is low water saturations. The rock is saturated,
18 based on the log calculations. The dual lateral log shows
19 significant separation between the shallow and the deep
20 curves, also indicating permeability.

21 Q. So looking at this log, we have an interval that
22 should potentially be oil-productive?

23 A. That's correct.

24 Q. All right. Let's go to the next exhibit, Exhibit
25 Number 6. Could you identify and review that?

1 A. Exhibit 6 is Well Number 3 on the cross-section.
2 It also shows the second carbonate, and I've included the
3 log calculations on the sand right below it.

4 It also shows porosity up to 20 percent, with low
5 water saturations, also showing that the rock should be
6 oil-saturated. And the lateral log shows separation
7 between the shallow and the deep, also indicating
8 permeability.

9 Q. Is Exhibit Number 7 a summary of your geological
10 presentation?

11 A. Yes, it is.

12 Q. And the initial test well in the unit is to be
13 located where?

14 A. In the northeast quarter of Section 18, 22 South,
15 35 East.

16 Q. Can you generally summarize your conclusions?

17 A. My geological review shows that this area is
18 favorable for hydrocarbon production in the first -- in the
19 second sand-shale sequence in the upper portion of the Bone
20 Spring formation.

21 Q. How soon does Yates need to drill the initial
22 test well?

23 A. We'll spud the initial well prior to 12-1-96.

24 Q. Do you therefore request that the Order in this
25 case be expedited to the extent possible?

1 A. Yes, we do.

2 Q. In your opinion, will approval of this
3 Application and the development of the Bone Springs and
4 other formations with this unit plan be in the best
5 interest of conservation, the prevention of waste and the
6 protection of correlative rights?

7 A. Yes, I do.

8 Q. Were Exhibits 2 through 7 prepared by you or
9 compiled at your direction?

10 A. Yes.

11 MR. CARR: Mr. Catanach, at this time we move the
12 admission into evidence of Exhibits 2 through 7.

13 EXAMINER CATANACH: Exhibits 2 through 7 will be
14 admitted as evidence.

15 MR. CARR: And that concludes my direct
16 examination of Mr. McRae.

17 EXAMINATION

18 BY EXAMINER CATANACH:

19 Q. Mr. McRae, what's the closest Bone Spring
20 producing well we have in this area?

21 A. We have drilled and re-entered several wells in
22 Township 21 South, 34 East, on the other side of the Grama
23 Ridge/Antelope Ridge structural fault block, and we are
24 producing oil from this sand sequence on the other side of
25 this ridge. The exact distance, I'm not sure.

1 There was some production in Well Number 5, a
2 very limited amount. It made a total of 650 barrels of
3 oil, 451 barrels of water, and the perforations are noted
4 on the cross-section.

5 Q. You're referring to the well in Section 28?

6 A. That's correct. It was not productive from this
7 interval because the second sand-shale sequence is tight
8 and thin, but a little -- small amount of hydrocarbon was
9 produced from the carbonate sequence noted as the third
10 carbonate.

11 Selected intervals were perforated, as noted on
12 the log. It also shows on the log that that area was very
13 tight.

14 Q. Did you just use well control to map this unit
15 outline or to map the geologic feature here?

16 A. Yes, I did.

17 Q. What did you use to map the north and the south
18 boundaries of the unit?

19 A. If you'll look at Exhibit 3, the isopach, Well
20 Number 3 on the cross-section has 12 feet of 14-percent
21 porosity, and as you go along the western edge of the unit,
22 there's zeroes. There's some sand in Section 14, one well
23 had 25 feet. That, and examination of the dual lateral log
24 on that particular well shows very high resistivities,
25 indicating that the permeability has been destroyed. So

1 there's been some diagenetic changes on the edge of this
2 fan complex.

3 There's zero sand all through Section 23, 26,
4 there's another small fan complex, or at least the north
5 edge of it, in the south half of Section 26 and down into
6 35 and even a little bit in 36. Those are all currently
7 producing from Morrow and Atoka zones, and this zone has
8 not been tested to date. There were no DST tests run or
9 production tests on that separate complex.

10 In Section 28, those two wells have three feet
11 and eight feet of sand, respectively. There just appears
12 to be a fan complex located in this low during Bone Spring
13 time.

14 The key well has 55 feet of sand.

15 Q. The eastern boundary, the Central Basin Platform
16 shelf edge, is that generally known, or is that something
17 that you mapped also?

18 A. It's generally known, it's published on numerous
19 maps. Geomap shows it clearly on their shallow- and
20 medium-depth maps. I have seen some regional cross -- I'm
21 sorry, regional seismic lines that show the approximate
22 edge. So I've just followed the -- basically the published
23 information.

24 Q. The 25 feet of being the economic limit, where
25 did you get that from?

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) SS.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL November 26th, 1996.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is a complete report of the proceedings in
Case No. 11652
dated November 21, 1996.
David P. Catant

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date

NOVEMBER 21, 1996

Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
W. Zell Lin	Zell Lin & Zell Lin	Santa Fe
William F. [unclear]	Jamphell, [unclear], [unclear] + [unclear]	Santa Fe
John McKee	Yatus Pet	Artesia
Mecca Mamitsom	Yatus Pet	Artesia
Shane Lough	Marabo	Midland
Richard Gill	Marabo	Midland
Steve Thomson	GECKO	Midland
Lee [unclear] [unclear]	ARCO	Midland
David Percy	ARCO	Midland
James [unclear]	Huttle law Firm	SF
Dave Shatzer	Intercoast Oil & Gas	Midland
Daniel Robeto	SANTA FE ENERGY RESOURCES	MIDLAND
Gene Damb	SFER	Midland, Tx
[unclear]	SFER	Midland
Nick Walters	Southwestern Energy Prod. Co.	Okla. City
Dale Shipley	" " " "	"

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date

NOVEMBER 21, 1996

Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
John Thoms	PENWELL ENERGY	MIDLAND
C. Mark Whelan	" "	"
Bill Pierce	" "	"