

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:) CASE NO. 13,007
)
APPLICATION OF YATES PETROLEUM)
CORPORATION FOR APPROVAL OF A UNIT)
AGREEMENT, LEA COUNTY, NEW MEXICO)
_____)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

February 20th, 2003

Santa Fe, New Mexico

RECEIVED

MAR 6 2003

Oil Conservation Division

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, February 20th, 2003, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

February 20th, 2003
 Examiner Hearing
 CASE NO. 13,007

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>JOHN AMIET</u> (Geologist)	
Direct Examination by Mr. Sutphin	5
Examination by Examiner Catanach	14
REPORTER'S CERTIFICATE	19

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	14
Exhibit 2	7	14
Exhibit 3	7	14
Exhibit 4	8	14
Exhibit 5	8	14
Exhibit 6	10	14
Exhibit 7	11	14
Exhibit 8	12	14

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID K. BROOKS, JR.
Attorney at Law
Energy, Minerals and Natural Resources Department
Assistant General Counsel
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: ROBERT J. SUTPHIN

* * *

ALSO PRESENT:

WILLIAM V. JONES, JR.
Petroleum Engineer
New Mexico Oil Conservation Division
1220 South Saint Francis Drive
Santa Fe, NM 87505

* * *

1 WHEREUPON, the following proceedings were had at
2 8:20 a.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 13,007, which is the application of Yates Petroleum
5 Corporation for approval of a unit agreement, Lea County,
6 New Mexico.

7 I'll call for appearances in this case.

8 MR. SUTPHIN: May it please the Division, my name
9 is Robert Sutphin with Holland and Hart, here on behalf of
10 Yates Petroleum in Case 13,007, and with me I have my
11 assistant, Mr. Bill Carr.

12 EXAMINER CATANACH: Very good. I'm sorry, I
13 didn't catch your last name, Robert.

14 MR. SUTPHIN: Sutphin.

15 EXAMINER CATANACH: Can you spell it for me?

16 MR. SUTPHIN: Sutphin.

17 EXAMINER CATANACH: Thank you.

18 MR. SUTPHIN: Mr. Examiner, I have one witness,
19 which at this time I'd like to ask to take the witness
20 stand.

21 EXAMINER CATANACH: Okay. Are there any
22 additional appearances in this case?

23 MR. SUTPHIN: Not that I'm aware of.

24 EXAMINER CATANACH: Okay, will the witness please
25 stand to be sworn in?

1 (Thereupon, the witness was sworn.)

2 JOHN AMIET,

3 the witness herein, after having been first duly sworn upon
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. SUTPHIN:

7 Q. Mr. Amiet, would you state your name for the
8 record, please?

9 A. John Amiet.

10 Q. Mr. Amiet, where do you reside?

11 A. Artesia, New Mexico.

12 Q. By whom are you employed?

13 A. Yates Petroleum.

14 Q. And what is your position there with Yates
15 Petroleum?

16 A. I'm a geologist.

17 Q. Have you previously testified here before the Oil
18 Conservation Division?

19 A. Yes, I have.

20 Q. And at the time of that testimony, were your
21 credentials as an expert in petroleum geology accepted and
22 made a matter of record?

23 A. Yes, they were.

24 Q. As you know, we're here on Case 13,007. Are you
25 familiar with the Application filed in this case?

1 A. Yes, I am.

2 Q. So are you familiar, then, with the proposed Otis
3 State Exploratory Unit, including the status of the lands
4 in the proposed unit area?

5 A. Yes, I am.

6 Q. And have you conducted a geological study of the
7 area that is the subject of this Application?

8 A. Yes.

9 Q. And are you prepared to discuss and share the
10 results of that study with the Examiner today?

11 A. Yes.

12 MR. SUTPHIN: Mr. Examiner, I'd like to tender
13 Mr. Amiet as an expert in petroleum geology.

14 EXAMINER CATANACH: Mr. Amiet is so qualified.

15 MR. SUTPHIN: Thank you.

16 Q. (By Mr. Sutphin) Mr. Amiet, would you just
17 briefly state what Yates Petroleum Corporation seeks
18 through this Application?

19 A. Yates is seeking the approval of the Otis State
20 Exploratory Unit agreement. This is a voluntary
21 exploratory unit. It contains approximately 3051 acres of
22 State of New Mexico lands, located in Lea County, New
23 Mexico.

24 Q. And have you prepared any exhibits for
25 introduction in this case?

1 A. Yes, I have.

2 Q. I'd like to reference to you -- Let me pass out
3 the -- I believe you have a set, do you not?

4 A. Yes, I do.

5 Q. I reference what has been marked as Yates Exhibit
6 Number 1. I'd like for you to identify, review it and
7 explain what it is and what it shows.

8 A. This is a copy of the unit agreement. It's based
9 on the state/fee form for an exploratory unit.

10 Q. I'd now like you to -- So it is indeed based on
11 the state/fee form for an exploratory unit?

12 A. That's correct.

13 Q. I'd like to now reference you to Yates Exhibit
14 Number 2.

15 A. This is a plat. It's Exhibit A to the unit
16 agreement. It reviews the status of the acreage. There
17 are eight State of New Mexico leases in this proposed unit.

18 Q. And Yates Exhibit Number 2 is -- I believe I
19 should have said Exhibit A to the unit agreement?

20 A. That's correct.

21 Q. Now, if you'd turn your attention to Yates
22 Exhibit Number 3 and identify that and briefly review that
23 for us?

24 A. This is the ownership breakdown, it's Exhibit B
25 to the unit agreement. It shows the ownership of each

1 lease in the unit agreement. All of these leases are
2 either Yates or David Petroleum leases, so all the working
3 interests are common, and they're all state leases.

4 Q. And again, is Yates Exhibit Number 3 the same as
5 Exhibit B to the unit agreement?

6 A. That's correct.

7 Q. Has all of the acreage involved been committed to
8 this unit?

9 A. Yes, and this gives Yates effective control over
10 the unit operations.

11 Q. Has the Commissioner of Public Lands given his
12 preliminary approval to the proposed unit agreement?

13 A. Yes, Mr. Martinez and his group reviewed and
14 approved this unit agreement, and Yates Exhibit Number 4 is
15 the approval letter from the Commissioner of Public Lands.

16 Q. And again, that approval letter is Yates Exhibit
17 Number 4; is that correct?

18 A. That is correct.

19 Q. Does Yates Petroleum desire to be the designated
20 unit operator of this unit?

21 A. Yes.

22 Q. And does the unit agreement provide for that?

23 A. Yes.

24 Q. Mr. Amiet, will you identify and review for us
25 Yates Exhibit Number 5, please?

1 A. This is the AFE for the initial test well. This
2 is a re-entry. The AFE sets out the dryhole and the
3 completed well cost. The completed cost is \$851,500.
4 Yates plans to spud this well before June 1st of 2003, when
5 a lease expires on that date if the unit has not been
6 approved and drilling has not begun.

7 Q. Thank you. Now, does the unit agreement provide
8 for periodic filing plans of development?

9 A. Yes, it does.

10 Q. And will these plans be filed with the OCD as
11 well as the State Land Office?

12 A. Yes.

13 Q. How often are these plans to be filed?

14 A. The initial plan is six months after completion
15 of the first unit well, subsequent plans are 12 months
16 thereafter.

17 Q. And what horizons are being unitized in this Otis
18 State Exploratory Unit?

19 A. All horizons.

20 Q. When we discussed just a few moments ago, Yates
21 Exhibit Number 5, we were talking about the initial test
22 well. Now, where is that test well to be drilled?

23 A. This well is located 660 from the north and east
24 lines of Section 30, Township 15 South, Range 34 East, New
25 Mexico, Lea County.

1 Q. And is it a re-entry well?

2 A. Yes, it is a re-entry of an original well drilled
3 by Exxon. It was the New Mexico State "FE" Number 1.
4 Yates plans on deepening this well to a TD of 13,900 feet,
5 into the lower Mississippian formation. The north half of
6 Section 30 will be dedicated to this well.

7 Q. Thank you. Now, what is the primary objective in
8 this well?

9 A. The primary objectives will be the lower Atoka
10 and Morrow formations. We will also test, as has been
11 mentioned, the Mississippian. At this time there are no
12 lower Atoka or Morrow penetrations within the unit area.

13 Q. Are there any secondary objectives in this well?

14 A. Yes, you're always looking for upper Penn sands
15 and carbonates.

16 Q. I now would like you to turn your attention to
17 Yates Exhibit Number 6. Identify what it is and review it
18 for the Examiner.

19 A. This is a structure map on top of the Morrow
20 formation. The unit outline is shown with the solid red
21 border. This is approximately four and three-quarter
22 sections within this unit outline. This shows all the
23 wells within the unit. There are three dry holes within
24 the unit, so there's been no production within this unit
25 area. Also, there are no lower Atoka or Morrow

1 penetrations within this unit boundary.

2 So Yates is looking for a new trend. The last
3 well drilled in this area was in 1987 by Exxon, 16 years
4 ago. This Exxon well is a re-entry candidate. It's
5 located in the southern portion of the unit.

6 The sand channels are shown in blue. These
7 channels are flowing generally from the southeast to the
8 northwest. These channels are Atoka-Morrow sands, gas
9 productive. The source is generally from the southeast or
10 to the west. Two large faults are shown, one on the west
11 side of the map, a large black line, and one on the
12 northern part of the map again, in a solid black line.

13 Deposition and uplift were occurring pretty much
14 simultaneously during the Atoka-Morrow time. The sand
15 channels shown here are elongate, narrow features, but they
16 can be very prolific, but the areal extent is limited.

17 Q. Okay. And does Yates believe there is a channel
18 system which crosses the proposed unit area?

19 A. Yes, based on our mapping we think there is a
20 channel system which crosses this unit boundary, and that
21 will be the target. The green line shows a trace for
22 cross-section A-A' that we'll talk about in a moment.

23 Q. Well, let's move on. I'd like to ask you to look
24 at Exhibit Number 7, identify that exhibit for us and
25 briefly review it. I believe a moment ago, you referenced

1 a cross-section.

2 A. This actually a stratigraphic cross-section, it's
3 mismarked as a structural cross-section hung on the Atoka
4 shale. The sands are shown with yellow highlighting, the
5 lower Atoka and Morrow sands. These are trending towards
6 the Exxon well.

7 Starting with the Humble well on the east, or on
8 the right side of the cross-section, this well had some
9 good shows and had some good DSTs of several million cubic
10 feet of gas, but the pressures were declining and the well
11 was never produced, it was P-and-A'd.

12 The next well to the left would be -- It was
13 originally the Chevron well. Yates re-entered this well in
14 late 2002, deepened this well to eleven thousand eight
15 hundred and approximately fifty feet. We are encouraged by
16 what we've seen. Both tests and the logs are encouraging.
17 The well is currently waiting on a pipeline to see if the
18 pressures will hold up.

19 The next well to the west would be the Exxon re-
20 entry that we're planning on deepening.

21 Q. Mr. Amiet, I reference Exhibit Number 8. Does
22 this Exhibit Number 8 represent a written summary of your
23 geological presentation?

24 A. Yes, it does.

25 Q. I'd like you to refer to this written summary,

1 Exhibit Number 8, and explain to the Examiner why Yates is
2 proposing to attempt to develop this area under the
3 proposed unit plan.

4 A. These are expensive, high-risk wells. The re-
5 entering deep in this well will cost \$851,500 to complete.
6 The formation of this unit will result in a more reasonable
7 development of these potential reserves. Since there's
8 been no drilling within this unit area in the last 16
9 years, this pool can be more effectively developed under a
10 unit plan, and a successful well within this unit area will
11 lead to additional drilling in an area where there's been
12 no production.

13 Q. Mr. Amiet, in your opinion will approval of this
14 Application be in the best interest of conservation, the
15 prevention of waste --

16 A. Yes.

17 Q. -- and the protection of correlative rights?

18 A. Yes, it will.

19 Q. Were Exhibits 1 through 8 prepared by you or
20 under your direction and supervision?

21 A. Yes, they were.

22 Q. And can you testify as to their accuracy?

23 A. Yes.

24 MR. SUTPHIN: Mr. Examiner, I'd like to move the
25 admission into evidence of Yates Exhibits 1 through 8.

1 EXAMINER CATANACH: Exhibits 1 through 8 are
2 admitted.

3 MR. SUTPHIN: And this concludes my direct
4 examination of Mr. Amiet.

5 EXAMINATION

6 BY EXAMINER CATANACH:

7 A. Mr. Amiet, referring to your Exhibit Number 6,
8 what data did you use to map those particular sand
9 channels?

10 A. There's not a lot of data. There's two wells
11 that penetrated the Morrow in the lower right corner.
12 They're shown with the red numbers, minus 8937, minus 8892.
13 Those are the only two penetrations on this map. We also
14 have two old seismic lines. They're 12-fold late 1960s
15 seismic. One's going north-south along the east side of
16 the unit area, and one is going east-west through the
17 southern part of Section 8 in the northern part of the
18 unit.

19 Q. Did that seismic data give you any help in
20 mapping these sands?

21 A. Yes, it did, that's why the fault in the northern
22 part of the map is located where it is, and the fault on
23 the west side. Yates also has a 3-D that starts about a
24 mile and a half east of this area, so that was also used in
25 interpreting these large fault blocks and the trends.

1 Also, the two wells up north are Bough producer,
2 Cisco producers, they're generally producing on structural
3 highs, so they also had an influence on how I mapped this
4 area. So there's a structural high to the north where
5 those two wells are, and then you cross a fault into the
6 low area that we're targeting.

7 Q. The two wells in Section 5 you're referring to?

8 A. That's correct, the two producers.

9 Q. And those are producing out of --

10 A. -- the Cisco, upper Penn.

11 Q. Did those penetrate the Morrow?

12 A. No, those were probably 2000 feet above the
13 Morrow.

14 Q. So none of the wells in the unit were drilled
15 deep enough to penetrate the Morrow?

16 A. That's correct. That Exxon well just penetrated
17 about 200 feet into the upper Atoka.

18 Q. What would you see as a potential secondary
19 location in this unit?

20 A. If that well comes in, I'd like to try to follow
21 the channel up to the north, maybe in Section 20. We've
22 thought about re-entering the Phillips well in Section 17.
23 That has the casing cut off, however, and we might be able
24 to put a workover rig on that and see if we could repair
25 the casing before we'd go back and try to deepen that well.

1 The well to the north I'm showing on the high side of the
2 fault, but that also has a source that has been lost in the
3 hole, so that well would have to be sidetracked.

4 But I would probably follow the well north and
5 either re-enter the well in Section 17 or drill a well in
6 the northwest corner of Section 20.

7 Q. Okay. As far as the Chevron well that you re-
8 entered, that hasn't been completed yet?

9 A. We have an IP. It IP'd for 2.7 million cubic
10 feet of gas. But again, pressures -- This is in the lower
11 Morrow that has been wet sometimes, and we're a little
12 worried about the pressures too, so we're -- just have to
13 wait. This is currently waiting on a pipeline, but we've
14 had a good test.

15 Q. And is that what you're calling the Mesa sand; is
16 that right?

17 A. The Mesa sand is kind of a middle Morrow sand.
18 That is currently not open in the Mesa. We've opened it on
19 the cross-section. The two lower sands that are shown are
20 what is currently open and has been tested. So the Mesa
21 zone has not been tested yet in that well.

22 Q. So it would be the Austin sand, is what you're
23 referring to?

24 A. Well, it's between the Mesa and the Austin. It's
25 what I'd call lower Morrow sands.

1 Q. Okay. Is that sand interval potentially
2 productive in that Humble well?

3 A. Well, again, that well tested a similar zone --
4 actually, no, it probably tested a higher zone, from
5 looking at the cross-section. So that zone is not present.
6 The Mesa zone is present in the Humble well. And that's
7 the one that tested initially, I think it was 4 million a
8 day, and the second test, same interval, was 2 million a
9 day, and the third test was less than a million a day. So
10 the pressure was declining pretty fast on that well.

11 But again, back -- This was an old well drilled
12 in 1953. A lot of time some of these old wells were not
13 drilled with proper fluids, and a lot of times they damaged
14 a formation. So that's really the well that started us
15 moving this direction.

16 Q. So do you guys have any data on the Atoka at all
17 in this area?

18 A. Not in the map area, except for the well we
19 completed, the Calfrope Chevron and the Humble Federal, are
20 the only two data points on this map for the Atoka. You
21 have to go about two miles to the east, Yates drilled
22 what's called the New Grass well that has done well. And
23 you have to go about a mile and a half to the south to pick
24 up some penetrations and about a mile to the north. But
25 there are no other lower Atoka or Morrow penetrations on

1 the map, other than those two.

2 EXAMINER CATANACH: I guess we don't have any
3 further questions of this witness. Do you have anything
4 further?

5 MR. SUTPHIN: We have nothing further in this
6 case.

7 EXAMINER CATANACH: Okay. There being nothing
8 further in this case, Case 13,007 will be taken under
9 advisement.

10 (Thereupon, these proceedings were concluded at
11 8:44 a.m.)

12 * * *

13
14
15
16 I do hereby certify that the foregoing is
17 a complete record of the proceedings in
the Examiner hearing of Case No. 13007,
heard by me on February 20 19 2013.

18 David R. Catnach, Examiner
19 Oil Conservation Division
20
21
22
23
24
25

