

STATE OF NEW MEXICO
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

4 November 1987

EXAMINER HEARING

IN THE MATTER OF:

Application of Yates Petroleum Cor- CASE
poration for a unit agreement, 9245
Chaves County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Jeff Taylor
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

Chad Dickerson
Attorney at Law
DICKERSON, FISK, & VANDIVER
Seventh and Mahone/Suite E
Artesia, New Mexico 88210

I N D E X

LESLIE BENTZ

Direct Examination by Mr. Dickerson 4

Cross Examination by Mr. Stogner 11

KATHY COLBERT

Direct Examination by Mr. Dickerson 13

Cross Examination by Mr. Stogner 17

E X H I B I T S

Yates Exhibit One, Structure Map 5

Yates Exhibit Two, Isopach 7

Yates Exhibit Three, Cross Section A-A' 8

Yates Exhibit Four, Isopach 9

Yates Exhibit Five, Unit Agreement 14

Yates Exhibit Six, Operating Agreement 16

Yates Exhibit Seven, Letter 16

MR. STOGNER: Call Case 9245,
which is the application of Yates Petroleum Corporation for
a unit agreement, Chaves County, New Mexico.

Call for appearances.

MR. DICKERSON: Mr Examiner,
I'm Chad Dickerson of Artesia, New Mexico, on behalf of the
applicant and I have two witnesses.

MR. STOGNER: Are there any
other appearances in this matter?

There being none, will the
witnesses please stand and be sworn at this time?

(Witness sworn.)

Mr. Dickerson?

LESLIE BENTZ,
being called as a witness and being duly sworn upon her
oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. DICKERSON:

Q Ms. Bentz, will you state your name, your occupation, and by whom you're employed, please?

A Yes. My name is Leslie Bentz. I'm employed as a petroleum geologist for Yates Petroleum Corporation of Artesia, New Mexico.

Q And you have previously testified as a geologist in the recent past before this Division, have you not?

A I have.

Q And are you familiar and have you made a study of the geological data available in the acreage proposed to be committed to the Cactus Flower unit agreement?

A Yes, I have.

MR. DICKERSON: Tender Ms. Bentz as an expert petroleum geologist, Mr. Examiner.

MR. STOGNER: Ms. Bentz is so qualified.

Q Ms. Bentz, will you please state the purpose of Yates' application in this case?

A To seek approval for the proposed Cactus Flower State Unit, Chaves County, New Mexico.

Q And what are the lands proposed to be

1 committed to this unit?

2 A The proposed lands are -- consist in
3 Township 8 South, Range 27 East, of Section 8, less the
4 northeast northeast 40 acres, Sections 9, 10, 15, 16, Sec-
5 tion 17, less the northwest quarter, Section 18, less the
6 north half of the northeast quarter, and Sections 19 and 20.

7 Q And what is the general geographic loca-
8 tion of this proposed unit?

9 A The proposed unit is located immediately
10 west of the Palma Mesa Field and north of the South Palma
11 Mesa Field.

12 Both fields produce gas from Pennsyl-
13 vanian age alluvial channel sandstones. The South Palma
14 Mesa Field also produces from Abo age alluvial channel depo-
15 sits. The Pecos Slope Abo Field is approximately four miles
16 west of the proposed unit.

17 Q And what objectives do Yates seek in its
18 initial test well?

19 A The primary objective of the test well
20 within the proposed Cactus Flower Unit is to establish new
21 production in Pennsylvanian age channel sandstones. The Abo
22 formation provides a secondary objective.

23 Q Okay, will you please refer to what we
24 submitted as Exhibit Number One, and tell the Examiner what
25 you show on that map?

1 A Exhibit Number One is a structural con-
2 tour map. The mapping horizon is the Pre-Pennsylvanian un-
3 conformity. The contour interval is 100 feet. The proposed
4 unit is marked by a dashed line and the proposed location
5 and TD of the test well are shown. Datum points utilized
6 are noted with circles and the appropriate value is so
7 labeled.

8 The Pre-Penn unconformity is the optimum
9 mapping horizon as it indicates the topography at the end of
10 a period of tectonic uplift during the late Mississippian or
11 very early Pennsylvanian. It is this structure which con-
12 trolled the depositional environment of the Pennsylvanian
13 clastics and had a direct influence on the location of allu-
14 vial channels.

15 The map shows a large structural feature
16 northwest of the proposed unit in Township 7 South, Range 25
17 East. Numerous smaller, low relief structures surround the
18 proposed unit; however, the unit itself is located on a
19 broad, flat area. The highland, with steep relief, was the
20 major source of clastic material in this locality. High
21 areas with relatively low relief proved just enough relief
22 to become obstacles and interfere with the course of allu-
23 vial channels. Areas of relatively flat terrain and lower
24 areas, valleys, were the major sites of thick accumulations
25 of Pennsylvanian of Pennsylvanian age clastic sediments.

1 Q Okay, refer to what we've submitted as
2 Exhibit Number Two and tell us what that is.

3 A Exhibit Number Two is an Isopach map of
4 the Pennsylvanian clastics. The contour interval is 50
5 feet. The Cactus Flower State Unit outline is marked by a
6 dashed line and the proposed location and TD of the test
7 well are shown.

8 Q Datum points utilized are noted with the
9 circles and the appropriate value is labeled. Penn gas pro-
10 ducers are marked in red. Pertinent cumulative production
11 is noted by the well. A stratigraphic cross section A-A' is
12 shown by a solid line.

13 The Isopach map mirrors the structure
14 map. On high relieve areas the Penn clastic section is very
15 thin to nonexistent. In valleys and flat areas the Penn
16 clastics achieves a much greater thickness.

17 The uplifted area in Township 7 South,
18 Range 26 East, which has no Penn clastic section, provided
19 enough relief and sediment supply to form alluvial fans at
20 its base. As the climate was humid, the fan area was domi-
21 nated by a system of braided channels which swept over the
22 fan surface from apex to toe. This environment was charac-
23 terized by sediments which exhibited poorly sorted pebbly ma-
24 terial in a mudstone matrix. Porosity is good in these
25 braided channel deposits but permeability is very poor.

1 Alluvial fan environments pass down slope
2 into a variety of other sedimentary environments, in this
3 case an alluvial plain. The proposed Cactus Flower Unit is
4 situated on this broad, alluvial plain.

5 The alluvial plain is characterized by a
6 system of alluvial channels which meandered across the flat
7 flood plain. The major source for sediments was probably
8 the same as for the alluvial fan area but further transpor-
9 tation down slope sufficiently sorted and cleaned the sand
10 to provide a better quality reservoir rock. The alluvial
11 plain is outlined by the 200 foot Penn clastic Isopach in-
12 terval and provides the justification for the unit outline.

13 Q Ms. Bentz, please refer to Exhibit Number
14 Three and tell us what you show on that instrument.

15 A Exhibit Number Three, stratigraphic cross
16 section A-A', is located northwest to southeast across the
17 proposed unit. The top of the Cisco serves as a strati-
18 graphic datum.

19 Pertinent formation tops, the Isopach in-
20 terval, and the structural mapping horizon are so noted.

21 The first well, the Depco Vance No. 1,
22 Section 27, 7 South, 26 East, is located on the crest of the
23 high relief structure previously discussed.

24 The stratigraphic section consists of
25 shallow marine Cisco resting on a thick arkose section. The

1 arkose lies unconformably on the PreCambrian basement.

2 The Yates Petroleum LHorn "YG" Federal
3 No. 1, located down dip from the Depco Vance No. 1 in Sec-
4 tion 10, 8 South, 26 East, exhibits a much different sec-
5 tion.

6 The Pennsylvanian arkose section is ab-
7 sent but a Penn clastic section has developed. Peboly
8 braided stream deposits are common and are so labeled. The
9 clastic section lies unconformably on the Mississippian
10 lime. An Ordovician section nor present in the previous
11 well rests, again unconformably, on the PreCambrian.

12 Located on the alluvial plain, the Sin-
13 clair Oil & Gas State 119 Chaves No. 1, Section 17, 8 South,
14 27 East, has a stratigraphic section which is very similar
15 to the Horn "YG" Federal No. 1 with the exception of the
16 Penn clastic interval. Poorly sorted conglomerates are re-
17 placed by well sorted, cleaner quartz sandstones. These
18 channel deposits labeled were not tested in this well.

19 The final well, the Carl Schellinger
20 Campbell Station Unit No. 1, produces from a Pennsylvanian
21 age alluvial channel sandstone. It has a cumulative produc-
22 tion of 355-million cubic feet of gas to date.

23 Q Ms. Bentz, refer to what we submitted as
24 Exhibit Number Four and tell us what that is.

25 A Exhibit Number Four is an Isopach of the

1 McConkey stratigraphic interval, a channel sandstone occu-
2 pying a position approximately 350 feet into the Abo for-
3 mation.

4 The contour interval is 10 feet.
5 Pertinent datum wells are circled. This map aids in
6 justifying the proposed location of the test well. The well
7 ws located to provide an opportunity to penetrate a
8 secondary pay zone. As there is relatively scarce
9 Pennsylvanian control and channels are narrow and highly
10 sinuous, it is attractive to drill the test well in an area
11 that has -- that may have multiple pays.

12 Q Can you briefly summarize for us the
13 geological formation -- or geological basis for the
14 formation of this unit?

15 A Yes. The unit outline is justified by
16 the 200 foot Isopach contour, which coincides with a broad
17 alluvial plain.

18 Q In your opinion, Ms. Bentz, will the
19 approval of this application be in the interest of
20 conservation, the prevention of waste, and the protection of
21 correlative rights?

22 A Yes, it will.

23 Q And were Yates Exhibits One through Four
24 prepared by you?

25 A They were.

1 MR. DICKERSON: Mr. Examiner,
2 I'd move admission of Yates Exhibits One through Four and I
3 have no further questions of this witness.

4 MR. STOGNER: Exhibits One
5 through Four will be admitted into evidence at this time.

6
7 CROSS EXAMINATION

8 BY MR. STOGNER:

9 Q Was the Sinclair well ever put on produc-
10 tion, commercial?

11 A No, it was not. It was plugged.

12 Q Now the well in Section 16, that's Colo-
13 rado Campbell, TD 5,040 feet, that was drilled a little
14 above your proposed interval, isn't that correct?

15 A Yes, sir, that's correct.

16 Q Did that penetrate the Abo?

17 A Partial penetration of the Abo.

18 Q Do you know if there was any -- any suc-
19 cessful test done in that well?

20 A No, sir, there were not.

21 Q Okay. How about that well in No. 15?

22 A That has a TD of 1100 feet.

23 Q Okay. Any tests in that one?

24 A No, sir.

25 Q Same with the well in Section 8, that

1 looks like the Steele State?

2 A Yes, sir, a TD of 1998 feet, again not
3 deep enough.

4 Q Okay. On these shallow wells, what was
5 their primary objective?

6 A I would assume probably the San Andres
7 formation.

8 Q Okay. Most of the Penn production is to
9 the south about five miles. What particular pool was that
10 in?

11 A Part of it is in the South Palma Mesa
12 Field. There is Penn production to the west in the Palma
13 Mesa Field, and immediate -- well, to the southeast is the
14 North Foor Ranch Pool.

15 Q And you show the well in No. 4, in Sec-
16 tion 4, I should say, shows some Penn production. Is that a
17 wildcat or is that a designated pool again?

18 A It's in the designated South Palma Mesa
19 Pool.

20 Oh, oh, the one in 8, 27, in Section 4?

21 Q I'm sorry, yes, the one north of your
22 proposed unit.

23 A Okay. It is undesignated and it has not
24 been put on production.

25 Q Is that a Yates well?

1 A No, sir, it is not. It's Julian Ard.

2 MR. STOGNER: I have no
3 further questions of this witness.

4 Are there any other questions
5 of her?

6 MR. DICKERSON: No, sir.

7 MR. STOGNER: She may be ex-
8 cused.

9 Mr. Dickerson?

10

11 KATHY COLBERT,

12 being called as a witness and being duly sworn upon her
13 oath, testified as follows, to-wit:

14

15 DIRECT EXAMINATION

16 BY MR. DICKERSON:

17 Q Ms. Colbert, will you state your name,
18 your occupation, and by whom you're employed, please?

19 A My name is Kathy Colbert. I'm employed
20 as a landman for Yates Petroleum Corporation.

21 Q And you have previously testified before
22 this Division in that capacity, have you not?

23 A Yes, I have.

24 Q And are you familiar with the land owner-
25 ship within the proposed Cactus Flower State Unit Area?

1 A Yes, I am.

2 MR. DICKERSON: I tender Ms.
3 Colbert as a petroleum landman, Mr. Examiner.

4 MR. DICKERSON: Ms. Colbert is
5 so qualified.

6 Q Ms. Colbert, will you refer to what we
7 submitted as Exhibit Number Five and tell Mr. Stogner what
8 that instrument is?

9 A Exhibit Number Five is the unit agreement
10 on the standard form for state lands. This agreement does
11 designate Yates Petroleum Corporation as operator of the
12 unit.

13 Q And again in that standard form paragraph
14 2 of it, of that form, provides that all formations at what-
15 ever depths will be unitized.

16 A This is correct.

17 Q And paragraph 11 provides for allocation
18 of the production from the unit area to the owners on a sur-
19 face acreage ownership basis?

20 A That's right.

21 Q And what is the proposed total depth of
22 the initial unit well?

23 A 6600 feet.

24 Q And when, Ms. Colbert, will Yates be re-
25 quired to commence that drilling?

1 A By 12-1-87.

2 Q Will you refer the Examiner to Exhibit A
3 to your unit agreement and tell him in somewhat more detail
4 what that map reflects?

5 A Exhibit A to the unit agreement is a plat
6 that outlines the 5,496.20-acre unit. This is in Township 8
7 South, Range 27 East.

8 There are 11 different tracts in this
9 outline, all of them state leases, making the unit 100
10 percent state lands.

11 Q Refer to Exhibit B immediately following
12 and tell the Examiner what information is shown on Exhibit
13 B.

14 A Exhibit B to this unit agreement is the
15 detailed description of the leases, the lands, serial
16 number, expiration date. It also shows all burdens, lessee
17 of record, and the working interest under each lease.

18 Q And what is the expiration date of the
19 first expiring lease within this unit area?

20 A The first state lease does expire 12-1-
21 87.

22 Q So Yates Petroleum Corporation must have
23 final approval of this unit and be actually drilling the
24 unit well on or before December 1st.

25 A That's correct.

1 Q Ms. Colbert, refer to Exhibit Number Six
2 and tell us what that instrument is.

3 A Exhibit Number Six is the proposed unit
4 operating agreement. It is on the AAPL Form 610, 1977 form.

5 Q Refer Mr. Stogner to Exhibit A of that
6 instrument which sets forth the interest of the various
7 parties within the unit area and tell him the current status
8 of the joinder or lack of joinder of these parties.

9 A Exhibit A to this operating agreement
10 lists all the parties, their percentages under the unit, and
11 under the initial test well.

12 100 percent of the unit has been verbally
13 committed with approximately 33 percent of the ratifications
14 and joinders actually executed and received.

15 Accordingly, the initial test well will
16 be paid for by all these parties.

17 Q And Yates anticipates having enough
18 joinder to insure its reasonably effective control over unit
19 operations?

20 A Yes, we will.

21 Q Identify what we've submitted as Exhibit
22 Number Seven, Ms. Colbert, for us, please.

23 A Exhibit Number Seven is a copy of the
24 Commissioner of Public Lands letter that grants preliminary
25 approval of our proposed Cactus Flower Unit as outlined.

1 Q And were Exhibits Five, Six, and Seven
2 prepared or compiled by you or under your direction and
3 supervision?

4 A Yes, they were.

5 MR. DICKERSON: Mr. Stogner,
6 move admission of Yates Exhibits Five, Six, and Seven at
7 this time and I have no further questions of Ms. Colbert.

8 MR. STOGNER: Exhibits Five,
9 Six, and Seven will be admitted into evidence.

10

11 CROSS EXAMINATION

12 BY MR. STOGNER:

13 Q Ms. Colbert, what substances and what
14 formations are being unitized by this proposed unit?

15 A All of them. We intend to drill
16 approximately TD 6600 foot in the Penn.

17 Q Are there any split between shallow
18 formations and deep formations in this particular unit?

19 A None in this area.

20 MR. STOGNER: I have no further
21 questions of Ms. Colbert.

22 Are there any other questions
23 of this witness?

24 If not, she may be excused.

25 Mr. Dickerson, do you have

1 anything further in this case?

2 MR. DICKERSON: No, Mr. Exam-
3 iner.

4 MR. STOGNER: Case Number 9245
5 will be taken under advisement.

6
7 (Hearing concluded.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 9245.
heard by me on 4 November 1987.

Michael J. Stewart

Examiner

Oil Conservation Division