

STATE OF NEW MEXICO
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

4 November 1987

EXAMINER HEARING

IN THE MATTER OF:

Application of Yates Petroleum Cor- CASE
poration for a ~~unit agreement~~ *unit agreement* 9249
Eddy County, New Mexico. *Gas Well location*

M.S.

12/22/87

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Jeff Taylor
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

Chad Dickerson
Attorney at Law
DICKERSON, FISK, & VANDIVER
Seventh and Mahone/Suite E
Artesia, New Mexico 88210

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

RAY BECK

Direct Examination by Mr. Dickerson	4
Cross Examination by Mr. Stogner	10

E X H I B I T S

Yates Exhibit One, Land Plat	6
Yates Exhibit Two, Structure Map	6
Yates Exhibit Three, Cross Section	7
Yates Exhibit Four, Isolith	8
Yates Exhibit Five, Cross Section	8
Yates Exhibit Six, Affidavit	9

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: Call Case Number
8249.

MR. TAYLOR: 9249?

MR. STOGNER: Yes, 9249.

MR. TAYLOR: The application of
Yates Petroleum Corporation for an unorthodox gas well
location, Eddy County, New Mexico.

MR. STOGNER: Call for
appearances.

MR. DICKERSON: Mr. Examiner,
I'm Chad Dickerson of Artesia, New Mexico, on behalf of the
applicant and I have one witness.

MR. STOGNER: Are there any
other appearances in this matter?

There being none, will the
witness please stand to be sworn?

(Witness sworn.)

RAY BECK,
being called as a witness and being duly sworn upon his
oath, testified as follows, to-wit:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DIRECT EXAMINATION

BY MR. DICKERSON:

Q Will you state your name, your occupation and by whom you're employed and in what capacity, please?

A My name is Ray Beck. I'm a petroleum geologist with Yates Petroleum in Artesia.

Q Mr. Beck, you have previously qualified and testified before this Division as a geologist, have you not?

A Yes, I have.

Q And have you made a study of the available geological data within the spacing unit and the area of the proposed unorthodox well location?

A Yes, I have.

MR. DICKERSON: Tender Mr. Beck as an expert petroleum geologist, Mr. Examiner.

MR. STOGNER: Mr. Beck is so qualified.

Q Mr. Beck, will you state the purpose of Yates' application in Case 9249?

A In Case 9249 Yates Petroleum Corporation respectfully requests approval of the unorthodox gas well location of its proposed Eastern Shores "QW" Federal No. 2, to be drilled 2310 feet from the south line and 660 feet

1 from the west line of Section 8, Township 19 South, Range 27
2 East, Eddy County, New Mexico.

3 The south half of Section 8 would be
4 dedicated to the well.

5 Q Will you summarize for us the necessity
6 for this unorthodox location?

7 A The necessity for this nonstandard
8 location is based on geologic conditions prevailing in both
9 the primary objective McMillan Upper Penn carbonate
10 reservoir and in the secondary objective Morrow Clastics
11 interval.

12 Drilling plans are as follows: Option 1.
13 If severe lost circulation problems are not encountered in
14 the McMillan Upper Penn reservoir, the well will be drilled
15 through the Morrow Clastics to an approximate depth of
16 10,150 feet; however, the well will be initially completed
17 in the McMillan Upper Penn reservoir as the sole producer
18 from that reservoir in the south half of Section 8.

19 Option 2. If severe lost circulation
20 problems are encountered in the Upper penn, the well will be
21 drilled only through the base of the Upper Penn at an appro-
22 ximate depth of 8100 feet and again would be the only
23 producer from that reservoir in the south half of Section 8.

24 Q So regardless of whether or not Yates
25 actually takes the well to the base of the Morrow it is

1 seeking approval of this proposed unorthodox location in all
2 zones from the top of the Wolfcamp to the base of the Mor-
3 row.

4 A That's true.

5 Q Mr. Beck, will you identify what we've
6 submitted as Exhibit Number One and tell the Examiner what
7 that shows?

8 A Exhibit Number One is a land plat showing
9 the proposed location as a red dot and its relationship to
10 the surrounding situation. Yellow denotes acreage in which
11 Yates has full or partial interest in the operating rights,
12 and the proration unit is outlined in red.

13 Q Identify Exhibit Number Two and tell us
14 what that map shows.

15 A Exhibit Number Two is a structure map
16 contoured on the top of the McMillan Upper Penn dolomite
17 reservoir. Contour interval is 100 feet. Large well spots
18 colored in blue indicate completions in the McMillan Upper
19 Penn reservoir. Red spots indicate Morrow completions and
20 yellow indicates Atoka completions. Wells which are cur-
21 rently producing in the McMillan Upper Penn reservoir are
22 the Yates well in the south half of Section 5; the Enfield
23 well in the south half of Section 7; the Yates well in the
24 north half of Section 8; and the Enfield well in Section 18.

25 Enfield is currently drilling an unortho-

1 dox north half Upper Penn gas well location in Section 7,
2 which is shown on the map.

3 The proposed nonstandard location shown
4 on the map is near the axis of a northeast to southwest
5 trending structure mapped on the top of the Upper Penn dolo-
6 mite, and this location essentially maximizes the potential
7 pay section above the water contact for the south half pro-
8 ration unit.

9 The original gas/water contact was deter-
10 mined by drill stem test and production pipe recovery infor-
11 mation of wells in and near the existng gas field.

12 Also shown on the map is a trace of the
13 cross section which is the next exhibit.

14 MR. DICKERSON: Mr. Stogner, I
15 might mention that that unorthodox location for the Enfield
16 well which Mr. Beck described was recently approved adminis-
17 tratively by your office.

18 Q Mr. Beck, identify Exhibit Number Three
19 and tell us what you show on that instrument.

20 A I've got Exhibit Number Three on the wall
21 here. You can see it a little better. Exhibit Number Three
22 is a southwest to northeast structural cross section hung on
23 the original gas/water contact of -4616 feet subsea. This
24 cross section shows the pertinent correlations and the rela-
25 tionships of the Upper Penn dolomite, base of the dolomite,

1 to the original -- shows the Upper Penn dolomite reservoir
2 in relationship to the original gas/water contact.

3 The proposed location here should encoun-
4 ter 216 feet of pay section above the agas/water contact,
5 which is essentially a maximum for the south half proration
6 unit.

7 Q Mr. Beck, identify Exhibit Number Four
8 and tell us what it is.

9 A Exhibit Number Four is a combined
10 structure and sand isolith map. Dotted lines, dashed lines,
11 actually, are structural contours on top of the Lower
12 Morrow for the majority of the map, and on the top of the
13 Morrow Clastics for the well in Seciton 4 and the well in
14 the northeast northeast of Section 5.

15 Solid lines are isolith contours showing
16 the varying thicknesses of total, clean, Morrow sand in the
17 area of these nine contiguous sections. Clean is defined as
18 sand with less than 50 gamma ray API units on the neutron
19 density log. Contour interval is 20 feet.

20 The proposed location, if drilled through
21 the Morrow, should encounter the m aximum amount of sand
22 deposited in the south half proration unit.

23 Q Mr. Beck, identify Exhibit Number Five
24 and tell us what it shows.

25 A Exhibit Number Five on the wall is a west

1 to east stratigraphic cross section hung on the Lower Morrow
2 marker. The cross section shows the pertinent correlations
3 and the yellow colored on the left side of the neutron
4 density shows how the clean sand was counted.

5 In addition, the proposed location drilled
6 through the Morrow should penetrate the Lower Morrow to
7 Mississippian "thick" interval, which improves the chances
8 for encountering Lower Morrow sands.

9 Q Mr. Beck, please refer to what we submit
10 as Exhibit Number Six and identify that instrument for the
11 Examiner.

12 Before we do that, would you summarize
13 the geological necessity for this unorthodox location?

14 A In summary, the proposed location is
15 geologically the best allowable location in the south half
16 of Section 8, regardless of whether drilling events permit
17 drilling of both the main objective Upper Penn dolomite and
18 the Morrow or only the Upper Penn dolomite.

19 Q So in your opinion the proposed unorthodox
20 location is the best location anywhere within the south half
21 of Section 8?

22 A Yes, sir.

23 Q Now would you identify and describe what
24 Exhibit S consists of?

25 A Exhibit Six is an affidavit assuring that

1 all parties entitled to receive notice of this case were
2 notified and include receipts of notice from these intrested
3 parties.

4 MR. DICKERSON: The originals
5 are included in your top copy, Mr. Examiner.

6 Q Mr. Beck, were Exhibits One through Five
7 compiled by you or under your direction and supervision?

8 A Yes, they were.

9 MR. DICKERSON: Move admission
10 of Yates Exhibits One through Six, Mr. Examiner, and I have
11 no further questions.

12 MR. STOGNER: Exhibits One
13 through Six will be admitted into evidence.

14
15 CROSS EXAMINATION

16 BY MR. STOGNER:

17 Q Mr. Beck whenever I look at your Exhibit
18 Number One there, let me ask about the surface location in
19 this well, seems like McMillan Reservoir is somewhere around
20 this vicinity.

21 Q Yes, sir. it is. The map is misleading,
22 the land map here. It -- the well is actually on the west
23 side of the Pecos River channel, as it is now, and actually
24 both wells in Section 8 currently drilled on the west side
25 of that -- of the river. It's in the swamp flood plain

1 there but it's -- it's very accessible.

2 Q It's not even within the high water mark
3 of the McMillan --

4 A No, it's not. It's --

5 Q -- reservoir?

6 A I think the ground level elevation is
7 3275 and the elevation that's usually high water mark is
8 3270.

9 Q Okay. Now you show your -- in several of
10 your exhibits here, the other well in the south half of this
11 section, that Well No. 1. Is that presently producing?

12 A Yes, sir, it is.

13 Q And could you give me a brief rundown on
14 that well, its history, its spud date, first complete, and
15 any other formations it might be producing from?

16 A Well, the well was drilled some years
17 back. I'm not exactly sure. It was completed in the Morrow
18 and that's where it's currently completed. It's -- I be-
19 lieve I can tell you a little more about it here. Over 2.2
20 BCF, it's down to about 650 MCF per day.

21 Q I'm sorry, what was that again?

22 A It's already produced 2.2 BCF. It's down
23 to 650 MCF per day. It probably has a few more years left
24 in the Morrow.

25 On the way down we drill stem tested the

1 Upper Penn dolomite reservoir and it produced gas and sur-
2 ging water. We suspect that the water problem would be too
3 much to make a well out of it so we're not going to attempt
4 completing in that zone, another reason why we want to drill
5 another well in the south half here, to get a better pay
6 section in that reservoir.

7 We don't anticipate ever producing out of
8 it.

9 Q Other than letting it go its course in
10 the Morrow.

11 A That's right.

12 Q And do you anticipate testing or have
13 tested the Wolfcamp formation in that No. 1 Well?

14 A Yes, I believe we might have to test the
15 Wolfcamp in that. I'm not positive about that.

16 Q Do you anticipate this well to be com-
17 pleted eventually in the Wolfcamp or --

18 A The proposed location?

19 Q No, the new location. I mean --

20 A The new location?

21 Q -- the Well No. 1.

22 A The old location?

23 Q Right.

24 A I'm not aware of any other zones right
25 now that we would be producing out of. We would probably

1 just go ahead and drain the complee -- all we can get out of
2 the Morrow and then the south half would be held by the
3 Pennsylvanian well.

4 Q In the Well No. 1 again, what is the --
5 what kind of water production are you getting out of that
6 now?

7 A One barrel of water per month.

8 Q Does it look -- it appears, according to
9 your Exhibit Number Two, that that water/oil contact or that
10 water contact line is approaching pretty close to it, is
11 that correct?

12 Q Yes, sir, that's right. The water con-
13 tact is -4616. Given tolerance of maybe 5 feet on either
14 side because of pipe measurements, we've got at the top of
15 the Penn dolomite at -4602. We did DST it on the way down,
16 got gas to surface but it surged water, so we went on down
17 to the Morrow and made the well there. We don't anticipate
18 producing out of the Upper Penn dolomite in this well, at
19 least that's what I've been told by our reservoir engineer
20 (unclear.)

21 Q Okay. As far as your Well No. 1, again,
22 what is the -- that Morrow production is dedicated to what
23 pool?

24 A That is the Eddy Undesignated Morrow.

25 Q And this well's been producing for how

1 long?

2 A For a number of years now.

3 Q And it's still undesignated?

4 A Well, they have a listing in the -- they
5 put some of these in the undesignated and they just leave
6 them there and they never change them. There's -- it's in
7 the regular production book in the back.

8 If you can't find it in the regular field
9 names, that's one place you always look to find it, and
10 there are about, I would guess, a couple of dozen wells in
11 that designation, undesignated.

12 Q Well, let me look at the wells in No. 9,
13 in Section No. 9 and Section No. 17. You show those are
14 Morrow producers.

15 A They are potential Morrow producers. The
16 No. 9 is completed in the Morrow but it is shut in waiting
17 on a pipeline connection.

18 Q Okay, the -- you're referring to the well
19 in the south -- I mean, I'm sorry, in the northwest quarter
20 of Section 9?

21 A Yes, sir.

22 Q And how about the one in the northeast
23 a quarter of Section 17?

24 A Okay, that well there, too, is a Morrow
25 well and it's also listed in the New Mexico engineering book

1 as Eddy Undesignated Morrow.

2 Q Okay. And you know of no objections to
3 -- to your letter sent out of October 13th covered in
4 Exhibit Number Six?

5 A Insofar as I've been able to determine. I
6 haven't heard of any objection.

7 Q Okay. I -- in -- I'm sorry. Bob Enfield
8 has applied for -- I'm sorry -- was -- has an unorthodox lo-
9 cation up in Section 7. Were you in contact with them on
10 their proposed well?

11 A Yes, sir. He made a proposal to us that
12 we not protest each other's unorthodox location and we
13 agreed to that.

14 Q All right.

15 MR. STOGNER: I have no further
16 questions of this witness.

17 Are there any other questions
18 of Mr. Beck?

19 MR. DICKERSON: No.

20 MR. STOGNER: He may be ex-
21 cused.

22 Mr. Dickerson, do you have any-
23 thing further in Case Number 29 -- I'm sorry, 9249?

24 MR. DICKERSON: No, sir, we
25 don't.

MR. STOGNER: The case will be
taken under advisement.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a correct record of the proceedings in the said hearing of Case No. 9249, heard by me on 4th September 1987.

Michael E. Stagner Examiner
Oil Conservation Division *M.S.*