

STATE OF NEW MEXICO
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

18 November 1987

EXAMINER HEARING

IN THE MATTER OF:

Application of BTA Oil Producers for CASE
an unorthodox gas well location, 9258
Lea County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Jeff Taylor
 Attorney at Law
 Legal Counsel to the Division
 State Land Office Bldg.
 Santa Fe, New Mexico 87501

For the Applicant: W. Thomas Kellahin
 Attorney at Law
 KELLAHIN, KELLAHIN & AUBREY
 P. O. Box 2265
 Santa Fe, New Mexico 87504

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

MARVIN L. ZOLLER

Direct Examination by Mr. Kellahin	4
Cross Examination by Mr. Catanach	12

E X H I B I T S

BTA Exhibit One, Structure Map	4
BTA Exhibit Two, Cross Section	5
BTA Exhibit Three, Waiver	11
BTA Exhibit Four, Waiver	11
BTA Exhibit Five, Waiver	11

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CATANACH: Call next Case
Number 9258.

MR. TAYLOR: The application of
BTA Oil Producers for an unorthodox gas well location, Lea
County, New Mexico.

MR. CATANACH: Are there
appearances in this case?

MR. KELLAHIN: If the Examiner
please, I'm Tom Kellahin of the Santa Fe law firm of
Kellahin, Kellahin, and Aubrey, appearing on behalf of the
applicant, and I have one witness to be sworn.

MR. CATANACH: Are there any
other appearances in this case?

Will the witness please stand
and be sworn?

(Witness sworn.)

MARVIN L. ZOLLER,
being called as a witness and being duly sworn upon his
oath, testified as follows, to-wit:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q Mr. Zoller, for the record would you please state your name?

A Marvin Zoller.

Q Mr. Zoller, by whom are you employed and in what capacity?

A I'm representing BTA Oil Producers in a consulting capacity.

Q Have you previously testified before the Oil Conservation Division of New Mexico as a petroleum geologist?

A Yes, I'm sure I have.

Q And have you prepared certain geologic exhibits, evaluations, and have you reached certain geologic opinions with regards to this application?

A Yes, sir, I have.

MR. KELLAHIN: Mr. Examiner, we tender Mr. Zoller as an expert petroleum geologist.

MR. CATANACH: He is so qualified.

Q Mr. Zoller, let me refer you to both Exhibit Number One, which is your Antelope Ridge Atoka structure map; Exhibit Number Two is your structural cross sec

1 tion map; were both these exhibits prepared by you?

2 A Yes, sir.

3 Q Let me turn first to Exhibit Number Two,
4 if you will, and let's start with the cross section. There
5 is a location plat on the righthand side of the cross sec-
6 tion. Would you take a moment and give the Examiner some of
7 the background with regards to the proposed well? For exam-
8 ple, what is the acreage dedication for the well?

9 A It would be the north half of Section 35,
10 22 South, 34 East.

11 Q And approximately where is this? We are
12 in what field?

13 A Lea -- Lea County. It's the Antelope
14 Ridge Field, Antelope Ridge Atoka Field.

15 Q The proposed well location is for the 2-B
16 Well in the red circle?

17 A Yes, sir.

18 Q And that footage location is 660 from the
19 west boundary of the section and 1980 from the north bound-
20 ary?

21 A Yes, sir.

22 Q What is identified as the gas well 1-B on
23 that same north half spacing unit? What is that?

24 A That is a Morrow producer.

25 Q The proposed formation that you will test

1 is the Atoka formation?

2 A Yes, sir.

3 Q Would you take a moment and identify on
4 this exhibit using this plat, the other wells that you've
5 used for geologic control?

6 A Well, the northeasternmost well is a
7 Phillips Petroleum Company dry hole. I think it would be
8 beneficial just to glance across the exhibit for a moment
9 and see, I have colored blue the Atoka limestone and you
10 will see that the Phillips Petroleum Company well had vir-
11 tually no Atoka limestone.

12 As you move southwest to the next well,
13 which I identified as a Morrow producer, you can see on the
14 left side that it had sufficient Atoka limestone but on the
15 righthand side of the log you see that it had virtually no
16 porosity.

17 As you move on southwest, I projected in
18 our No. 1 Maddox Federal, which is a very good Atoka produ-
19 cer, and again on the righthand side you will see colored in
20 red is the gas effect on the neutron curve and the purple is
21 the remainder of the porosity.

22 I will skip the next well and go to the
23 well on the left end of the cross section.

24 You'll see that it is also an Atoka pro-
25 ducer but it produces from an upper limestone bank, has vir-

1 tually no porosity in the lower limestone bank.

2 Now, moving back to the log that we
3 skipped, you see it has a great amount of limestone. It
4 mainly produces from the lower member; however, it seems to
5 have some perforations in the upper member.

6 What we're going to see as we move on to
7 the next exhibit is that these two limestone banks are very
8 distinct and separate things and we are trying to see if we
9 can develop the lower limestone bank, which is represented
10 by the well in the middle of the cross section.

11 Q While we have the display, Exhibit Number
12 Two before us, can you identify for us the ownership of the
13 various offsetting spacing units, starting first with the
14 south half of Section 35?

15 A The south half of Section 35 is owned and
16 operated by BTA Oil Producers.

17 Q If we go to the east half of 34, who's
18 the operator --

19 A That is --

20 Q -- of that property?

21 A That is Maxus, formerly Diamond Shamrock.

22 Q And as we go into Section 27 and Section
23 26, who's the ownership there?

24 A That is now Apache. It recently has
25 been, oh, MGF, I believe.

1 Q Okay, and who are the other operators?

2 A Well, northeast in the southwest quarter
3 of Section 25 is a lease owned by Amerada Hess and in Sec-
4 tion 36, since I prepared these exhibits, Maxus has also an-
5 nounced a location for that section, so they own that now.

6 Q All right, let's turn to Exhibit Number
7 One now and look at the structural map that you have pre-
8 pared.

9 Would you identify and describe that Ex-
10 hibit Number One for us?

11 A Yes. This is a structure map made on the
12 base of this Atoka limestone that I -- you saw on Exhibit
13 Number Two. You can see by the build-up in the different
14 wells that a map contoured on the top of the limestone would
15 be a very false map. So the base is a relatively good
16 structure point.

17 In Section 3 you will notice two wells
18 that are circles in red. Those two wells produce only from
19 the upper limestone bank.

20 Moving over to the east in Section 35 and
21 Section 2 there are three wells colored solid red. Those
22 three wells produce only from the lower limestone bank.

23 Now, there are six or seven other wells
24 that you will see that are half colored and half circled.
25 Those wells produce from both limestone banks.

1 I think what the exhibit tends to show is
2 that the upper limestone bank runs almost right down the
3 crest of the structure, whereas the lower limestone bank
4 seems to mainly form on the east flank of the structure.

5 What the cross section would tend to rep-
6 resent to us is that the BTA No. 1-B Maddox Federal had very
7 little porosity in the limestone bank.

8 Going southwest to the Maxus No. 2 Fed-
9 eral, that is a recent well. It has just been completed for
10 about a million and a half a day. It had to be acidized
11 twice and fraced once in order to make the million and a
12 half a day; whereas, the BTA No. 1 Maddox Federal flowed
13 over 7-million cubic feet of gas per day on completion and
14 has already made about 3-1/2 billion cubic feet of gas.

15 The indication from the exhibits is that
16 the better part of the porosity runs west of the BTA 1-B and
17 east of the Maddox No. 2 Federal.

18 Q Within that area how did you determine
19 what in your opinion was the optimum location for which to
20 test for Atoka production?

21 A Well, all you can do with this thing,
22 I've tried to Ispace it and you can't make any sense out of
23 it, what is says to me is this Atoka trend starts about a
24 mile south of this mapped area but for five miles the Atoka
25 production in the lower zone seems to have pretty well have

1 stayed on the flank, east flank, of this structure, and
2 we're trying to see if we can push it one more location
3 north.

4 Up at the north end of the map you'll see
5 four wells, two dry holes, two former producers, and none of
6 those have any limestone build-up in them. They look very
7 much like the Phillips well on the northeast end of the
8 cross section.

9 Q The Well 1-B, that's the Morrow well,
10 that's at a standard location 1980 from the west line and
11 660 from the south line of that spacing unit?

12 A Yes, sir.

13 Q In your opinion, then, you need to have a
14 location that's closer to the west boundary, still staying
15 to the south side of that proration unit, in order to have
16 the optimum location from which to test for Atoka production
17 in the spacing unit.

18 A That's the way I feel about it.

19 Q In your opinion is the closest standard
20 locations for wells in this spacing unit represent an un-
21 reasonable risk to the operator?

22 A No, I don't think so. The standard has
23 been broken on a number of occasions. In fact, I believe we
24 have two of them just west of us that are not drilled on
25 standard.

1 Q Which ones are not on standard locations?

2 A The Maxus No. 2, which has just been com-
3 pleted, and west of there, the Maxus No. 3, which is probab-
4 ly about to the pay zone today.

5 Q Okay. So this is a --

6 A Now, as I see it, the Maxus No. 3, if my
7 geology has got any value at all, is trying to develop the
8 upper limestone bank, not the lower.

9 Q Okay. When looking at the Upper Atoka
10 limestone bank, then, within the north half of 35, in your
11 opinion there is not an acceptable standard location within
12 that spacing unit that represents a reasonable risk to the
13 operator.

14 A I don't think there will be any upper
15 limestone bank in the north half of 35 and I think that is
16 the only location that you could possibly drill for the low-
17 er limestone.

18 MR. KELLAHIN: Mr. Examiner,
19 Exhibits Three, Four, and Five represent executed waivers by
20 the various offset operators.

21 Exhibit Three is a waiver from
22 Amerada Hess. Exhibit Four is a waiver from Maxus Explora-
23 tion Company. Exhibit Five is a waiver from Apache Corpora-
24 tion.

25 At this time we would move the

1 introduction of Exhibits One through Five and that concludes
2 my direct examination of Mr. Zoller.

3 MR. CATANACH: Exhibits One
4 through Five will be admitted into evidence.

5

6 CROSS EXAMINATION

7 BY MR. CATANACH:

8 Q Mr. Zoller, have the wells in Section 3
9 been tested in the upper -- upper limestone bank or is it
10 present?

11 A In wells -- in wells in Section 3?

12 Q In Section 3?

13 A They produce from the upper limestone
14 bank.

15 I have copies of the logs colored up just
16 like these on the cross section on every well on this map if
17 there's anything important.

18 Q The wells in Section 2, have those -- do
19 you know anything about those?

20 A The wells in Section 2 both produced only
21 from the lower limestone bank.

22 MR. KELLAHIN: There's a color
23 coded legend at the very bottom of the display that identi-
24 fies the wells.

25 A The BTA No. 1 Antelope in the north half

1 of Section 2 has no limestone in the Upper Atoka.

2 The BTA No. 1 State in the south half of
3 Section 2 has no limestone available in the upper part of
4 the Atoka. Only the lower member exists.

5 Q Was the Well No. 1-B in Section 35, was
6 that tested in the lower part or was that just --

7 A No, sir, it was not, but, as you know,
8 drill stem tests are not too often performed, particularly
9 in the Atoka.

10 The only drill stem test, you'll notice
11 the Phillips well on the cross section ran two drill stem
12 tests and there's not another drill stem test on any of the
13 wells on the cross section.

14 Q But according to the log information from
15 the 1-B, that zone wouldn't be worth testing?

16 A Oh, I think you might make a well out of
17 it but I don't think you'd make any money on it.

18 As you can see on the righthand side of
19 the log, oh, three or four little zones of 3 to 5 feet, may-
20 be, and the south offset has 50 feet of porosity.

21 MR. CATANACH: I think that's
22 all I have of the witness. He may be excused.

23 Is there anything further in
24 this case?

25 MR. KELLAHIN: No, sir.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CATANACH: If not, it will
be taken under advisement.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing was
reported by me; that the said transcript is a full, true,
and correct record of the hearing, prepared by me to the
best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a copy of the record of the proceedings in
the said hearing of Case No. 9258,
heard by me on November 18 1987.
David R. Catant, Examiner
Oil Conservation Division