

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASE 9922

EXAMINER HEARING

IN THE MATTER OF:

Application of Heafitz Energy Management, Inc.,
for Downhole Commingling, Lea County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

May 2, 1990

ORIGINAL

A P P E A R A N C E S

FOR THE APPLICANT:

MONTGOMERY & ANDREWS, P.A.

Attorneys at Law

By: W. PERRY PEARCE

325 Paseo de Peralta

P.O. Box 2307

Santa Fe, New Mexico 87504-2307

* * *

I N D E X

	Page Number
Appearances	2
Exhibits	2
JOHN BARRIOS	
Examination by Mr. Pearce	3
Examination by Examiner Catanach	10
Certificate of Reporter	16

E X H I B I T S

APPLICANT'S EXHIBITS:

Exhibit 1	5
Exhibit 2	5

* * *

1 WHEREUPON, the following proceedings were had
2 at 8:55 a.m.:

3 EXAMINER CATANACH: Okay, at this time we'll
4 call -- go back and call Case 9922, the Application of
5 Heafitz Energy Management, Inc., for downhole
6 commingling, Lea County, New Mexico.

7 Appearances in this case?

8 MR. PEARCE: May it please the Examiner, I'm
9 W. Perry Pearce of the Santa Fe law firm of Montgomery
10 and Andrews, appearing in this matter on behalf of
11 Heafitz Energy Management.

12 I have one witness who needs to be sworn.

13 EXAMINER CATANACH: Are there any other
14 appearances in this case?

15 Would the witness please stand to be sworn
16 in?

17 (Thereupon, the witness was sworn.)

18 MR. PEARCE: Thank you, sir.

19 JOHN BARRIOS,
20 the witness herein, after having been first duly sworn
21 upon his oath, was examined and testified as follows:

22 EXAMINATION

23 BY MR. PEARCE:

24 Q. For the record, would you please state your
25 name and the city of residence?

1 A. John Barrios, Oklahoma City.

2 Q. And how do you spell your last name, sir?

3 A. B-a-r-r-i-o-s.

4 Q. And what is your profession?

5 A. Petroleum engineering.

6 Q. By whom are you employed, sir?

7 A. Falcon Engineering Company.

8 Q. The Applicant in this case is Heafitz Energy
9 Management. What is the relationship between Falcon
10 and Heafitz?

11 A. Falcon Engineering is agent-operator for the
12 Heafitz Energy Management Company in regards to the
13 well of this hearing.

14 Q. Have you appeared before the New Mexico Oil
15 Conservation Division or one of its examiners
16 previously?

17 A. No, sir.

18 Q. Would you please summarize for us your
19 educational and work experience as it relates to
20 petroleum matters?

21 A. I'm a 1962 graduate of Louisiana State
22 University, having obtained a BS in petroleum
23 engineering. And since that time I've been involved
24 primarily in analysis, design and execution of deep-
25 well drilling, completion and production matters.

1 Q. I don't recall if I asked, are you familiar
2 with the Application of Heafitz in this matter?

3 A. Yes, sir.

4 MR. PEARCE: Mr. Examiner, I would tender Mr.
5 Barrios as an expert in the field of petroleum
6 engineering.

7 EXAMINER CATANACH: He is so qualified.

8 Q. (By Mr. Pearce) Mr. Barrios, at this time I
9 would like for you to please approach the diagram, if
10 that's easier, that I've hung on the wall -- and it may
11 not be; I see you have another one in front of you --
12 and discuss what's shown. I've marked that Exhibit
13 Number 1 to this proceeding. What is shown on that
14 exhibit, please?

15 A. This exhibit is the mechanical schematic of
16 the original wellbore as drilled and put together in
17 1968 by Skelly Oil, plus the additional mechanical
18 arrangement of the commingled completion for the
19 Devonian, Silurian and Atoka.

20 Q. Okay, I'd ask you at this time to look at
21 what I've marked as Exhibit Number 2 to this proceeding
22 and describe that for the Examiner.

23 A. Exhibit Number 2 is a discussion of the
24 production and pressure data for the Atoka and the
25 Devonian-Silurian discovery.

1 Heafitz Energy Management purchased this
2 property from Texaco in August of 1989. At that time,
3 the well was producing only from the Atoka interval
4 through perforations at 15,565 to 15,616, and daily
5 production was 200 MCF a day at about 1650 p.s.i.g.
6 flowing tubing pressure, 10 to 15 barrels of water per
7 day, plus some small amount of condensate, plus some
8 H₂S concentration was also attendant with the gas flow.

9 Q. Let me interrupt for a moment. The
10 perforations that you mentioned, the Atoka -- initial
11 Atoka perforations, are they reflected on your Exhibit
12 Number 1?

13 A. Yes, sir, they are.

14 Q. And which perforations are those?

15 A. They are on the left track of the schematic
16 between the depth 15,000 and 16,000 feet.

17 Q. All right, sir. Go ahead, please.

18 A. The intent of the property owner was to re-
19 enter the well, rework the Atoka and possibly
20 additional Strawn or Morrow zones behind the 7-5/8
21 liner, plus evaluate the Devonian-Silurian interval,
22 located below 19,000 feet.

23 We re-entered the well, squeezing off the
24 Atoka perforations, and drilled out below a 7-5/8
25 drilling liner that was set at 18,605 feet into open

1 hole, opened the open hole up to a depth of
2 approximately 19,550 feet, drill-stem tested to
3 Devonian-Silurian intervals with a Hopewell packer
4 test, and at that time had enough positive indication
5 to proceed with a completion, running a production
6 liner in and cementing that liner in place and
7 perforating the Devonian-Silurian.

8 We did so perforating -- After running the
9 production liner, we perforated the Devonian-Silurian
10 at 19,214 to -225 and 19,382 to -398, as indicated on
11 the schematic, lower right side, acidized and
12 stimulated the Devonian-Silurian interval and float-
13 tested for an average of about a hundred -- about 1.25
14 million cubic feet a day at flowing tubing pressures
15 ranging from line pressure in the area of about 850
16 p.s.i.g. up to 1500 p.s.i.g.

17 After testing the Devonian-Silurian, we
18 isolated away from the Devonian and reperforated the
19 Atoka to test it. Those new perforations are the ones
20 listed on the left track of the schematic.

21 We acid frac'd the Atoka line interval that
22 the well was originally completed in, flow-tested for a
23 million and a half a day at flowing tubing pressures
24 ranging from 2500 to 3000 p.s.i.g.

25 Realizing that a commingled completion would

1 provide better economics for the owner of the property,
2 we discussed the issue with those engineers and
3 commissioners here in Santa Fe and also in Hobbs and
4 requested that we be allowed to commingle production
5 from the Devonian discovery and the re-worked Atoka
6 interval.

7 As part of Exhibit 2, I have a pressure
8 analysis --

9 Q. That's the third page of that exhibit?

10 A. Third page of that document. -- that
11 indicates the pressures existing in the Devonian and
12 the Atoka in its drawn-down condition are compatible,
13 so much so that the difference in shut-in surface
14 pressures from either zone would only be about 20, 25
15 p.s.i. different.

16 Specifically, the Devonian midpoint perfs,
17 19,306, has a P-star of 8375 p.s.i., as obtained from
18 drill-stem test data. The Atoka mid-perfs at 15,591
19 has a measured 7900 p.s.i. And if you employ a .131
20 p.s.i.-per-foot gas gradient for column analysis on
21 both zones, either from the zone to the surface or from
22 the upper zone down to the lower zone, you can
23 ascertain that the pressure systems are almost equal.

24 Realizing that the economics would favor a
25 commingled completion style and that the pressure

1 systems were very equal and should not provide us any
2 problems with cross-flow between the zones, we obtained
3 verbal approval to proceed with a commingled producing
4 arrangement. That is shown in the center track of the
5 wellbore schematic.

6 Above the Atoka is a 7-5/8-by-3-3/4 permanent
7 packer with 2-7/8 tubing and seal assembly, proceeding
8 down the hole into the liner top, the five-inch liner
9 top that is set across the Devonian-Silurian interval.

10 In the 2-7/8 tubing strain is a side-pocket
11 mandrel with check valve, and that is located
12 immediately above the seal assembly at about 17,800
13 feet. That is a one-way flow-valve arrangement. It
14 requires minimum p.s.i. differential to establish flow
15 from the Atoka into the 2-7/8 tubing. And of course
16 the well is tied back to the surface with a full-strain
17 2-7/8 tubing from that packer that is set at about
18 15,140 feet.

19 Below the top of the 5-inch production liner
20 on the Devonian is set -- We have set a second one-way
21 flow ball-and-see check valve that will permit flow
22 from the Devonian into the 2-7/8 tubing, but prohibits
23 any flow from the tubing to the Devonian.

24 Regardless of the pressure system existing at
25 the Atoka or in the Devonian-Silurian perms, neither

1 will be able to communicate with the other.

2 The next page of the Exhibit 2 is a cost
3 comparison of what a dual completion versus a
4 commingled-style completion would have cost the
5 operator, and that's approximately \$242,000 difference,
6 the dual completion being more costly than the
7 commingled approach.

8 Nearly all of the equipment was owned by the
9 operator for the commingled-style completion.

10 Q. Mr. Barrios, you've outlined your proposal,
11 the savings expected to result from that. Do you
12 believe that commingling of the Atoka and Silurian-
13 Devonian zones in this well will result in the
14 prevention of waste by increasing ultimate recovery
15 from this well?

16 A. Yes, sir.

17 Q. And do you believe that the proposal
18 adequately protects the correlative rights of interest
19 owners?

20 A. Yes, sir, interest owners --

21 MR. PEARCE: Mr. Examiner, I have nothing
22 further of this witness at this time.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. Mr. Barrios, you've said the interest was

1 common in both of these zones?

2 A. Yes, sir.

3 Q. Has the well been actually set up for
4 commingling at this point?

5 A. Yes, sir.

6 Q. And is it producing?

7 A. At this point, we are completing installation
8 of surface production equipment, anticipate sometime in
9 the next week, ten days, to begin production. We have
10 tested through the commingled-style completion.

11 MR. PEARCE: Mr. Examiner, at this time it's
12 reflected in the Application that's on file in this
13 matter, we request permission to work with the Division
14 Office to establish an allocation formula. That is why
15 we have not done all the testing yet, and therefore we
16 have not presented evidence at this hearing of the
17 proper allocation formula.

18 However, we believe those tests are
19 continuing and that if we are allowed to do so we can
20 work with the District Office to establish that
21 allocation formula.

22 Q. (By Examiner Catanach) Mr. Barrios, do you
23 think it's possible to get a good allocation on this
24 well?

25 A. Yes, sir. I should -- I will be able to

1 isolate the Devonian completely and flow test the Atoka
2 specifically, and then by commingling those two streams
3 and a process of differential would be one method of
4 allocation.

5 Another method would be that the Atoka
6 production through gas analysis is sweet gas, and the
7 Devonian-Silurian is, of course, sour gas, containing
8 as much as 5000 p.p.m. H₂S, and that would be a direct
9 mathematical relationship as to being to allocate
10 between the two zones, the H₂S concentration ultimately
11 produced in the commingled flowstream.

12 Q. Now, does the difference in the gas
13 composition present any -- Do you lose any revenue as a
14 result of commingling the two different gas streams?

15 A. No, sir. Actually, the commingling of the
16 gas streams brings the -- Well, it's an average BTU
17 content. The Atoka BTU content is higher than -- The
18 Atoka gas BTU content is higher than the Devonian, the
19 Devonian being something slightly less than 960 BTU's.
20 The commingled stream actually comes in at something
21 over 1040 BTU's content.

22 So there's really no loss of BTU value.

23 Q. There is some water production from the
24 Atoka; is that correct?

25 A. Originally the Atoka did produce water, but

1 if you'll look at the first page of Exhibit 2, the
2 early completion efficiency on the Atoka was very low,
3 based on evaluation or analysis of cement bond logs.
4 The Atoka set of perforations were actually
5 communicating with more than one zone of porosity,
6 permeability and hydrocarbon content behind the 7-5/8
7 liner, originally.

8 At this point, after having squeezed off
9 those original perforations, we have totally isolated
10 the Atoka zone to the perforations. The Strawn and/or
11 the Morrow are no longer contributory. So the
12 completion efficiency is much greater. The gas flowing
13 through those perforations in the 15,500 to 15,600
14 interval is Atoka gas, and at this time no formation
15 water.

16 So we've lost the water, we've lost the
17 condensate and the slight concentrations of H₂S
18 produced under the initial or original completion
19 during Texaco's operation. That's from completely
20 isolating this zone.

21 Q. Approximately what is the well capable of
22 producing at this point?

23 A. Testing through the commingled-style hookup,
24 we've flowed the well at 3 1/2 million a day at 3200
25 p.s.i.g. flowing tubing pressure. This will be the

1 deepest production in the State of New Mexico, as was
2 the well the deepest well.

3 Q. Is it your opinion, Mr. Barrios, that the
4 dual completion for this particular well is uneconomic?

5 A. Based on the amount of cost of the rework, we
6 would have been required to spend approximately an
7 additional 15 percent for a dual completion, 15 percent
8 more funds than have been spent already, versus, as the
9 numbers indicate, something like 3-1/2 to 4 percent
10 additional funds.

11 The conditions of this well were such that it
12 was -- it was made for a commingled completion because
13 of the pressure systems. The pressure of the Atoka,
14 the remaining pressure in the Atoka, and the initial
15 bottom-hole pressure of the Devonian-Silurian are so
16 near constant on a relative basis that we would not
17 have had any of the cross-flow problems and really
18 allocation problems.

19 Q. So economics wasn't really a major issue in
20 this -- deciding to commingle this well?

21 A. Yes, sir, economics were a major issue.

22 Q. They were?

23 A. Yes, sir.

24 Q. Has the BLM consented on this proposed
25 commingling, Mr. Barrios?

1 A. Yes, sir, we have the same verbal
2 communication with them that we've had with you.

3 Q. Are there any offset operators to this well
4 that were notified or should have been notified?

5 MR. PEARCE: If I may, Mr. Examiner, the only
6 offset operator required to be notified under Rule 1207
7 was the Bureau of Land Management. If your file does
8 not show an affidavit from my office, it's in the mail
9 to you. My office sent that notice as required to the
10 BLM.

11 EXAMINER CATANACH: Okay, I believe that's
12 all the questions I have of the witness.

13 Anything further in this case?

14 MR. PEARCE: Nothing.

15 EXAMINER CATANACH: Case 9922 will be taken
16 under advisement.

17 MR. PEARCE: Thank you, Mr. Examiner.

18 EXAMINER CATANACH: Thank you, sir.

19 (Thereupon, these proceedings were concluded
20 at 9:18 a.m.)

21

22

23

24

25

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date MAY 2, 1990 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
W. Perry Pearce Jerry Hoover	Montgomery & Andrews, PA Conoco	Santa Fe Hobbs
HUGH INGRAM	Conoco	HOBBS
W. T. Kellerkin	Kellerkin Kellerkin and Sons	Santa Fe
Dorice Rimmer	Byram Statehouse Report	-
Robert Lee	Site Oil & Gas	Roswell
Gene Skumate	"	"
XXXXXXXXXX	XXXXXXXXXX	Midland
Perry L. Hughes	Socorro	MIDLAND
Ralph Williams, Jr.	Williamson Petroleum CONSULTANTS FOR SOCORRO	MIDLAND
William L. Taylor	Campbell and Clark, P.A.	Santa Fe
James Bruce	Hinkle Law Firm	Albuquerque

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICOHearing Date MAY 2, 1990 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
Cedric Lopez	Bill Hinkle Law Firm	Santa Fe
Bill Selzer	Amerind	Midland
R.L. Leibrock	Amerind Oil Co.	Midland
HANS SHELINE	CONOCO	HOBBS
F. Chavez	OCD	AZTEC
Bonnie Wilson	ORYX	MIDLAND
Tommy Thompson	ANADARKO Petr.	MIDLAND
Charles A. Gray	Dryx Energy Co.	Dallas, Tx.
CLIFF MURRAY	ORYX	MIDLAND, TX
Ray T. Stokes	Heyco	Roswell NM
Robert N. Bell	HEYCO	Roswell NM
Tom Hobbs	ORYX	MIDLAND, TX
Robert Kite	CONOCO	Midland TX
Sam Brooks	HEYCO	Roswell