

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
DIVISION FOR THE PURPOSE OF )  
CONSIDERING: ) CASE NO. 10847

APPLICATION OF MITCHELL ENERGY CORPORATION  
-----

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: David R. Catanach, Hearing Examiner

October 7, 1993

Santa Fe, New Mexico

This matter came on for hearing before the  
Oil Conservation Division on October 7, 1993, at  
Morgan Hall, State Land Office Building, 310 Old Santa  
Fe Trail, Santa Fe, New Mexico, before Deborah O'Bine,  
RPR, Certified Court Reporter No. 63, for the State of  
New Mexico.

**ORIGINAL**



## I N D E X

October 7, 1993  
 Examiner Hearing  
 CASE NO. 10847

APPEARANCES PAGE  
3

## MITCHELL ENERGY CORPORATION'S WITNESSES:

DAVID F. ALDERKS

Examination by Mr. Kellahin 6  
 Examination by Examiner Catanach 24

CARL RICHARD

Examination by Mr. Kellahin 29  
 Examination by Examiner Catanach 40

DON McCLUNG

Examination by Mr. Kellahin 45  
 Examination by Examiner Catanach 47

REPORTER'S CERTIFICATE 51

## E X H I B I T S

	ID	ADMTD
Exhibit 1	7	24
Exhibit 2	11	24
Exhibit 3	12	24
Exhibit 4		24
Exhibit 5	19	24
Exhibit 6	21	24
Exhibit 7	23	24
Exhibit 8	33	40
Exhibit 9	34	40
Exhibit 10	38	40
Exhibit 11	46	



## A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.  
General Counsel  
Oil Conservation Commission  
State Land Office Building  
310 Old Santa Fe Trail  
Santa Fe, New Mexico 87501

FOR THE APPLICANT: KELLAHIN AND KELLAHIN  
117 N. Guadalupe  
Santa Fe, New Mexico  
BY: W. THOMAS KELLAHIN, ESQ.

FOR NEARBURG  
PRODUCING COMPANY: CAMPBELL, CARR, BERGE &  
SHERIDAN, P.A.  
P.O. Box 2208  
Santa Fe, New Mexico 87504  
BY: WILLIAM F. CARR, ESQ.



1 EXAMINER CATANACH: Let's call the hearing  
2 back to order at this time. At this time we'll call  
3 Case 10847.

4 MR. STOVALL: Application of Mitchell  
5 Energy Corporation for an exception to Rule (2) of the  
6 Special Rules and Regulations for the North  
7 Osudo-Morrow Gas Pool to allow a second well on a  
8 proration unit, or in the alternative, to establish  
9 infill drilling procedures for said pool, Lea County,  
10 New Mexico.

11 EXAMINER CATANACH: Are there appearances  
12 in this case?

13 MR. KELLAHIN: Mr. Examiner, I'm Tom  
14 Kellahin of the Santa Fe law firm of Kellahin and  
15 Kellahin appearing on behalf of the applicant. I have  
16 three witnesses to be sworn.

17 MR. CARR: May it please the Examiner, my  
18 name is William F. Carr with the Santa Fe law firm  
19 Campbell, Carr, Berge & Sheridan. We represent  
20 Nearburg Producing Company. I do not intend to call a  
21 witness.

22 EXAMINER CATANACH: Any additional  
23 appearances? Will the three witnesses please stand to  
24 be sworn in.

25 (Witnesses sworn.)



1 MR. KELLAHIN: Mr. Examiner, Mitchell  
2 Energy is seeking a rule change for the North  
3 Osudo-Morrow Gas Pool. The pool was originally  
4 established in 1965 with a special rule provision for  
5 640-acre gas spacing. The temporary rules for that  
6 pool were made permanent in August of 1968 under Order  
7 No. R-3305A. The operation in the pool has been such  
8 that there are a number of sections that have multiple  
9 wells on the section.

10 We believe that not having an infill  
11 drilling option or the opportunity for a second well  
12 on a section has limited development in the pool, is a  
13 wasteful limitation, and we're seeking to have the  
14 flexibility introduced into the rules where the  
15 operators would have the opportunity but not the  
16 obligation to drill a second well.

17 In the event the Division determines it is  
18 not appropriate to make a poolwide change, we would  
19 ask for special relief for our Section 30, which is at  
20 the south end of the pool, so that Mitchell could have  
21 a second well on that section which could be produced  
22 concurrently with an existing well.

23 I have three witnesses. My first witness  
24 is a geologic expert in this area. The second is an  
25 engineering witness. And then finally the land



1 testimony concerning notification to the operators and  
2 interest owners in the pool.

3 At this time I'd like to call my geologic  
4 witness, Mr. Dave Alderks.

5 DAVID F. ALDERKS,  
6 the witness herein, after having been first duly sworn  
7 upon his oath, was examined and testified as follows:

8 EXAMINATION

9 BY MR. KELLAHIN:

10 Q. Would you please state your name and  
11 occupation.

12 A. My name is David F. Alderks. I'm a  
13 geologist.

14 Q. On prior occasions, Mr. Alderks, have you  
15 testified before this Division?

16 A. No, I have not.

17 Q. Give us a summary of your education and  
18 employment background as a petroleum geologist.

19 A. I received a bachelor's in geology from  
20 Brigham Young University in Provo, Utah, in 1977.  
21 Received a master's degree from the University of  
22 Wisconsin in Milwaukee, Wisconsin, in 1979.

23 I initially went to work for Unocal in  
24 Midland, Texas, with responsibilities in Texas. I  
25 then moved on to Union Texas Petroleum with



1 responsibilities in Texas, New Mexico, North Dakota,  
2 Montoya, Wyoming, and Michigan. I then went to work  
3 with a small independent, Barbara Fasken in Midland,  
4 Texas, with responsibilities in New Mexico, primarily,  
5 and also North Dakota and Michigan.

6 I then also have for the last two and a  
7 half years been working with Mitchell Energy,  
8 primarily in New Mexico.

9 Q. Do you have experience as a geologist in  
10 mapping, identifying and locating wells for Morrow  
11 sand channel production in the Permian Basin?

12 A. Yes, sir.

13 MR. KELLAHIN: We tender Mr. Alderks as an  
14 expert petroleum geologist.

15 EXAMINER CATANACH: He is so qualified.

16 Q. (BY MR. KELLAHIN) Let me have you take the  
17 first display so we can simply orient the examiner to  
18 the area. It's marked as Mitchell Exhibit No. 1. And  
19 before we talk about your work, let's have you  
20 identify for the Division the current boundary of the  
21 pool and other information you've shown on Exhibit No.  
22 1.

23 A. On Exhibit 1, the current boundary of this  
24 pool is delineated with the green ink in Townships 19  
25 South and 36 East and 20 South, 36 East. Mitchell



1 Energy acreage is delineated in yellow. Full interest  
2 is colored solid, and partial interest is colored in  
3 the hachured area.

4 The wells on here are wells that have  
5 penetrated and produced from the Morrow. There are  
6 shallow wells that have been left off this display.

7 Q. Mr. Carr has entered an appearance for  
8 Nearburg Producing Company. Where is the well that  
9 they operate?

10 A. Their well is located in Section 30 at the  
11 extreme northern part of this unit.

12 Q. Build for us a picture if you will, give us  
13 a description of the geologic environment, the setting  
14 for this particular production of the Morrow pool.

15 A. The Morrow sands are channel type sands in  
16 this area are trending from north to south. These  
17 sands have been deposited along a bench associated  
18 with the central basin platform. The sands pinch out  
19 to the east along the central basin platform and then  
20 thicken to the west when they go across a fault, which  
21 we'll see on a subsequent display.

22 These sands meander through the area, and  
23 they are laterally and vertically discontinuous. And,  
24 as such, a well in any one location may encounter the  
25 same or different sands.



1 Q. Are you familiar with other Morrow pools in  
2 New Mexico that have a similar environment or sand  
3 deposition in a channel orientation?

4 A. Yes. Most of the pools that I have worked  
5 with do have a similar tendency.

6 Q. Do you see any unique geologic feature,  
7 function, or characteristic that would cause you to  
8 conclude that this somehow is different in this pool  
9 than you would find Morrow production in any other  
10 pool in southeastern New Mexico?

11 A. No, I do not.

12 Q. Is there any kind of correlation, a direct  
13 correlation between sand thickness and productivity of  
14 these gas wells?

15 A. Generally, if you have a good thick sand  
16 that is porous, you will get a better well than one  
17 that is thin and tight.

18 Q. What is the strategy employed by you and  
19 other operators in this type of exploration and  
20 production in order to optimize the opportunity to  
21 recover the greatest amount of gas from the pool?

22 A. We construct cross-sections, and we  
23 construct our isopachs, trying to devise where the  
24 reservoir-quality rock is located. We do that by  
25 determining the cleanliness of the sand from the gamma



1 ray curve, as well as looking at the porosity from  
2 density logs.

3 Q. Do you have a geologic opinion as to  
4 whether or not there is sufficient geologic data for  
5 the pool from which you can construct and interpret  
6 such maps?

7 A. Yes, especially in the southern part of  
8 this pool. There's sufficient well density that we  
9 can -- we feel confident that we can put these  
10 channels through there.

11 Q. Based upon that data and those  
12 interpretations, were you able to reach any geologic  
13 conclusions about the appropriate number of wells per  
14 section in order to create the greatest opportunity to  
15 recover the most volume of ultimate gas?

16 A. Yes. We've determined that these channels  
17 that are running through there, as I stated, are  
18 discontinuous. They look like they're about a quarter  
19 mile to a half mile wide, and they meander through  
20 this area such that one well may not actually recover  
21 all the gas that is in place because it may not  
22 encounter the sands that are in and moving from one  
23 part of the section to another part of the section.  
24 We are dealing with different sands. These sands are  
25 laterally discontinuous.



1           Q.     Let's turn to your displays and have you  
2     lead us through then the reasoning that you have  
3     undertaken to support the conclusions you've just  
4     made.

5           A.     Exhibit 2 is a structure map. We are  
6     concerning ourselves with the southern portion of this  
7     unit because that's where our acreage is. On this  
8     structure map you can see that there are some  
9     structurally high positions off to the east. We have  
10    a fault that runs down from Section 18 down across  
11    Township 20 South, 35 East, through Section 36, and  
12    then on down. It is isolating a block in Township 20  
13    South, 36.

14                The sands lie along a little bench there,  
15    situated right in between the structurally high  
16    positions, and then as the contours tighten up, these  
17    sands go over this edge. Production is located by the  
18    blue dots, which indicate Morrow production.

19                As you notice in Section 30, we have a  
20    structurally high position on the east side as well as  
21    an untested structural high position in the southwest  
22    quarter of that section. The proposed Union State No.  
23    3 is located in Unit K of Section 30 in the southwest  
24    part of that section and is designed to take  
25    structural advantage of this untested high where we



1 anticipate sands to be developed.

2 Q. When we look at this map and see the color  
3 code for Morrow producers in the pool, that simply  
4 reflects wells that have produced in the pool at any  
5 time in the pool life, history of the pool?

6 A. That is correct.

7 Q. Let's look at Section 30. Based upon  
8 structure, would a single well be appropriate for  
9 exploring for Morrow gas production within that  
10 section?

11 A. I do not think so.

12 Q. Why not?

13 A. Because you have two structural features  
14 there. You have multiple sands that are crossing that  
15 section that cannot be drained by one well.

16 Q. Let's look at the cross-sections you said  
17 you prepared.

18 A. Yes.

19 Q. Two cross-sections. Let's look at the  
20 first one. It's marked Exhibit No. 3. Describe for  
21 us the wells you've selected to show on the  
22 cross-section.

23 A. This is a north-south cross-section. We  
24 start on the south with a Texaco well located in  
25 Section 31 to the south of the acreage in question.



1 This well produced from a middle Morrow pay interval.  
2 Those pay intervals that I've mapped and you'll see in  
3 a minute are indicated on the right part of that  
4 cross-section with the red.

5 We then come up to our proposed location  
6 where we anticipate that middle Morrow pay sand to be  
7 found, as well as potentially upper Morrow sands and  
8 perhaps even some lower sands.

9 We then come over to the Jake Hamon Union  
10 State No. 1, which was drilled in 1966. This well was  
11 perfed in the upper pay sand and the middle pay sand,  
12 as well as some additional ones.

13 You can notice here the differing qualities  
14 of the sand and how these sands tend to be coming and  
15 going across this section.

16 We then come to the Union State No. 2,  
17 which Mitchell currently produces. This well is  
18 perfed in the upper sand interval, as well as in the  
19 lower sand interval. This well has currently made  
20 about 2.8 Bcf of gas.

21 Q. Let's stop with those two wells. These are  
22 both wells in your Section 30?

23 A. Yes, sir.

24 Q. The well in Unit letter H is the old Hamon  
25 well?



1 A. Yes, it is.

2 Q. It recovered 3.9 Bcf of gas?

3 A. Yes.

4 Q. You go 40 acres north, and you get to Unit  
5 letter A, and that's the Mitchell Union State 2?

6 A. Yes.

7 Q. Help us compare those two wells in terms of  
8 the opportunity to expose to production a single sand  
9 member in each of those two wells.

10 A. Yes. If you look in a 40-acre difference  
11 there, you can see, starting on the top in the Union  
12 State No. 2, we have a nice good clean sand that's  
13 approximately 14 or so feet thick, with some excellent  
14 porosity.

15 As you go 40 acres south, the next location  
16 in H, you can see that the correlative zone there has  
17 approximately two feet or so of sand in that same  
18 correlative interval. It has been perfed in that  
19 interval. These sands are thickening and thinning  
20 from one location to the next.

21 We then go to the Union State No. 1 which  
22 had some sands in the middle which are almost  
23 nonexistent immediately to the north.

24 Q. You're going to that large perforated  
25 interval that is the perforation second from the



1 bottom in series of perfs?

2 A. That is correct, yes. That sand, as you  
3 trace along, is two thin little stringers in the Union  
4 State No. 2, indicating the discontinuity and changes  
5 that are occurring there.

6 We then have some additional sand lenses  
7 that have produced in the Union State No. 1, perhaps  
8 could produce in the Union State No. 2, and would  
9 certainly be looked at for recompletion.

10 And then the Union State No. 1 was not  
11 drilled deep enough for the gamma ray to give a  
12 character of the sand, the cleanliness of the sand.  
13 It was not perforated. However, the Union State No. 2  
14 does have a good clean sand with porosity developed at  
15 the base.

16 So we are seeing a difference in the  
17 continuity of these sands north to south in this  
18 interval.

19 Q. What is the current status of the Mitchell  
20 Union State No. 2 well? Is it still a producing gas  
21 well?

22 A. It is producing approximately 50 Mcf a day.

23 Q. Compare the vintages of the two wells,  
24 starting with the Jake Hamon well. That's a 1966  
25 well?



1           A.     That was drilled in 1966. It had a casing  
2 problem or mechanical problem in about 1979, at which  
3 point the Union State No. 2 was drilled. The Union  
4 State No. 1 was abandoned and plugged in 1983 but did  
5 not produce from 1979 to 1983. The Union State has  
6 been producing since 1979.

7           Q.     Do you happen to recall from memory the  
8 producing abilities of the Hamon Union State 1 well  
9 in, what, '79, you said? When did it last stop  
10 producing?

11          A.     It was in 1979. No, sir, I do not.

12          Q.     That well was then abandoned after almost 6  
13 Bcf of gas?

14          A.     That is true.

15          Q.     You can go 40 acres north and recover  
16 another Bcf?

17          A.     That is true.

18          Q.     What's the explanation for that?

19          A.     We have lateral discontinuity between the  
20 sands.

21          Q.     Let's take the other orientation, and let's  
22 go east-west and see what happens.

23          A.     Okay.

24          Q.     Describe for us why you've chosen these  
25 three wells to depict the east-west orientation of the



1 reservoir.

2 A. I began with the Union State No. 2, which  
3 is currently producing in our acreage. I then went  
4 over to the Texas Oil & Gas, now Marathon, Osudo State  
5 No. 1, which is 40 acres to the east of the Union  
6 State No. 2. Then down to the Alpha 21 production in  
7 Unit letter J of Section 29. The two wells in Section  
8 29 are currently producing from the Morrow sands.

9 Q. We're back on the Mitchell Union State No.  
10 2 well. Let's compare that well to its 40-acre offset  
11 to the east, which is now, what, the Marathon-operated  
12 Osudo State No. 1?

13 A. Yes. That well has some good upper Morrow  
14 sand developed in both of those wells, but as you  
15 look, the sand quality diminishes to the east in the  
16 Osudo State No. 1 in the rest of the sands.

17 We do have some sand developed down at the  
18 very bottom of the lower pay sand in the Osudo State  
19 No. 1, but that has not produced at all.

20 Q. What's the vintage of Marathon's Osudo  
21 State No. 1 well?

22 A. It was drilled approximately the same time  
23 as the Union State No. 2 well.

24 Q. Geologically, are these two wells competing  
25 for the same gas reserves?



1           A.     Perhaps in that upper pay zone they are but  
2 definitely not in the lower pay zone because that's  
3 not been produced in the Osudo State No. 1.

4           Q.     So, again, going east and west, you find  
5 the same relationship as you do north and south in  
6 this area, that you can move 40 acres away and break  
7 the continuity of a sand member of the pool?

8           A.     That is true.

9           Q.     Have you prepared isopachs on the principal  
10 sand members that have been productive in the pool?

11          A.     Yes, sir.

12          Q.     How have you identified them? What is the  
13 nomenclature we should use?

14          A.     I started with the Union State No. 2 well  
15 looking for the perfed intervals, because that's what  
16 we were looking for.

17          Q.     Let's follow one on a cross-section then so  
18 that I can see, when we turn to the isopach, the  
19 interval and the location of that interval that you're  
20 trying to map with the isopach.

21          A.     Yes. That's identified by the red tape or  
22 the red ink on your cross-section on the edge where it  
23 says either upper, middle, or lower Morrow pay  
24 interval. That will be on the left-hand side of that  
25 cross-section.



1           Q.    When you examine production out of the  
2 pool, do you find wells that will produce gas out of  
3 the pool that is located other than in one of these  
4 three members?

5           A.    Yes, sir.

6           Q.    So we haven't mapped it all?

7           A.    No, sir.

8           Q.    Why have you chosen these three?

9           A.    They're the three productive intervals that  
10 were on Mitchell acreage.

11          Q.    Let's turn to the first one, the upper  
12 one. What is the mapping criteria for the isopach?  
13 It's Exhibit No. 5.

14          A.    The first thing that we do is look for  
15 clean sand. And we've taken an arbitrary 50 API gamma  
16 unit cutoff and said that anything cleaner than 50  
17 units can be counted. And then we add to that the  
18 porosity in excess of 7 percent density porosity. And  
19 where we get both of them coming together, then we  
20 start counting sand. That gives us reservoir quality  
21 sand.

22          Q.    Why have you used those cutoffs to identify  
23 reservoir quality sand?

24          A.    Because we have to have reservoir quality  
25 in order to produce.



1 Q. Do you know that values at those levels, if  
2 you exceed them, will produce reservoir quality sand?

3 A. Yes, sir.

4 Q. You know that by experience for drilling  
5 successful wells with that kind of criteria?

6 A. Yes, sir.

7 Q. Let's look at the map for the upper  
8 Morrow. What does it show you?

9 A. This shows us a channel developed where we  
10 have -- where we anticipate up to 20 feet of good  
11 clean sand being deposited in this channel. We can  
12 see where we have wells that are drilled down where  
13 they encountered no sand, as indicated by the zeros.  
14 The zeros on the east side and west side delineate the  
15 boundaries of this channel sand.

16 We then have production indicated on the  
17 updip side of this sand in here. We believe that a  
18 good portion of this channel is as yet untested, and  
19 we believe that the Union State No. 3 location will  
20 test some more of this channel.

21 Q. Do you happen to know the names of the  
22 pools in the Morrow channel sand that are around your  
23 area?

24 A. There's the Osudo West, which is just to  
25 the west.



1 Q. What's the spacing for that pool?

2 A. I believe it's 320 acres, but I'm not sure.

3 Q. Do you know by name the other pools that  
4 may be around you that are Morrow gas pools?

5 A. Not off the top of my head.

6 Q. Do you see any relationship between the two  
7 pools that constitutes a geologic difference such that  
8 they should be spaced differently?

9 A. No, sir.

10 Q. Let's look at Section 30 with regards to  
11 this isopach. What does it tell you in terms of how  
12 to best exploit the gas reserves that are in Section  
13 30?

14 A. It tells us that we are on the edge where  
15 the Union State No. 1 and the Union State No. 2 were  
16 drilled. The main body of the sand appears to be  
17 located to the west of that.

18 In addition, as we refer to the structure  
19 map, the proposed location will be in a structurally  
20 positive position, which will hopefully encounter  
21 hydrocarbons that cannot be recovered by the existing  
22 wells.

23 Q. Turn now to Exhibit 6. Identify and  
24 describe what you've done when you have mapped the  
25 middle producing Morrow pay member of the pool.



1           A.    We map this the same way as we mapped the  
2   opposite one with the same parameters, with 70 percent  
3   clean sands and 7 percent or greater density  
4   porosity. In here we can see that we have two  
5   channels being developed, one on the west side and one  
6   on the east side. Most of the production has come  
7   from the eastern channel.

8           The only well that has produced in the  
9   western channel is the Union State No. 1, which had 13  
10   feet.

11           As you look at the discontinuity of those  
12   sands, we go from the Union State No. 1 with 13 feet  
13   to the Union State No. 2 that has two feet of sand.  
14   Then we go over to the Marathon well in Section 29  
15   that had no feet of sand meeting these criteria. This  
16   zero then extends north, indicating this lack of sand  
17   and the ability for us to contour to the channels  
18   running through here in this interval.

19           We also see that there are some other sands  
20   off to the west in Section 35 of the township to the  
21   west. These wells have produced in economic  
22   quantities but on the downthrown side of the fault  
23   that runs through there. So we believe that what we  
24   have here is a well that will recover essentially new  
25   hydrocarbons from this middle Morrow isopach interval.



1           Also, as we compare that with our structure  
2 map, we do have a ridge that seems to extend into the  
3 southern part of Section 30 and the northern part of  
4 Section 31, which tends to isolate our acreage from  
5 wells to the south.

6           Q.    Let's turn now to the mapping of the lower  
7 Morrow pay and the isopach which is depicted on  
8 Exhibit No. 7. Describe that for us.

9           A.    Again, we use the same criteria for  
10 depicting where this reservoir quality sand is. We  
11 see again the zero boundaries on the east and on the  
12 west. We have what we anticipate upwards to perhaps  
13 30 feet of sand in this lower interval. Again, this  
14 sand is shifting more to the west. Our location will  
15 encounter sands in a structurally positive position to  
16 the existing wells.

17          Q.    Based upon your geologic study, Mr.  
18 Alderks, do you have a recommendation to the examiner  
19 as to what to do in order to provide an opportunity to  
20 maximize ultimate gas recovery out of the pool?

21          A.    Yes, sir. We recommend that Mitchell be  
22 granted the ability to drill this well in Section 30  
23 to recover additional gas which is not recoverable by  
24 the existing wells.

25          Q.    Is this rate acceleration, or is it the



1 opportunity to recover gas that would not otherwise be  
2 recovered from the other well?

3 A. This is the opportunity to recover  
4 additional reserves.

5 Q. The request of Mitchell to the Division is  
6 to provide this same flexibility and opportunity to  
7 anyone in the pool and to do so by pool rule change  
8 that allows an operational second well in the pool for  
9 that section?

10 A. Yes, sir.

11 Q. In the alternative, you're seeking to have  
12 special relief for Section 30 so that you can go ahead  
13 and drill this specific location?

14 A. Yes, sir.

15 MR. KELLAHIN: That concludes my  
16 examination of Mr. Alderks. We move the introduction  
17 of his Exhibits 1 through 7.

18 EXAMINER CATANACH: Exhibits 1 through 7  
19 will be admitted into evidence.

20 EXAMINER CATANACH: Mr. Carr?

21 MR. CARR: I have no questions.

22 EXAMINATION

23 BY EXAMINER CATANACH:

24 Q. Mr. Alderks, the upper, middle, and lower  
25 sands appear to be present entirely within Section



1 30. The thickness just seems to vary within the  
2 section; is that correct?

3 A. The thickness varies, yes, it does.

4 Q. So they are pretty much continuous  
5 throughout the section?

6 A. They may be continuous. As you look at the  
7 cross-sections, however, there could be some  
8 indication that perhaps they are shifting somewhat  
9 from one area in a section to another area.

10 Q. Have you seen any kind of geologic evidence  
11 that there is any kind of lateral barrier to drainage  
12 in these sands?

13 A. No, I've not seen anything. However, you  
14 do have to have the correct structure in there, and we  
15 do think we might have a little saddle in there based  
16 on that structure map where we have an isolated  
17 structural high in the southern part of that section.

18 Q. Within the Union State No. 1 and No. 2, all  
19 the sands appear to be -- the same sands appear to be  
20 present in both wells. Is that a fair statement?

21 A. The sands appear to be present is correct.  
22 The quality of the sands differs from well to well.

23 Q. Do you have any evidence that shows that  
24 there's a sand present at your proposed location that  
25 may not have been encountered in the Union State No. 1



1 and 2?

2 A. Based on the well density in there, right  
3 now it looks like we have the ability to get any and  
4 all of those sands present there. There's always the  
5 possibility that you can get isolated sands showing up  
6 at any given spot. I refer to, in Section 19, the  
7 well on the east side there, there is no sand that is  
8 present there that does not appear to be present in  
9 other wells, just underneath the upper Morrow pay  
10 interval.

11 Q. The main focus of your presentation appears  
12 to be concentrated within Section 30. Do you feel  
13 like you have enough data poolwide to justify infill  
14 drilling?

15 A. In Section 29, to the east of us, there are  
16 two wells currently producing within the pool. As we  
17 look -- as we go back to Exhibit 1, Section 18, there  
18 were two wells that have produced out of that  
19 interval. Section 17, three wells have been drilled  
20 and produced out of that interval, and I believe all  
21 three of those wells have produced at the same time.

22 In Section 20, there are two wells that  
23 have produced within that section in economic  
24 quantities, and also the Union State No. 1 and the  
25 Union State No. 2 both produced in economic



1 quantities. There are many instances in the  
2 surrounding area where we have wells that produce in  
3 economic quantities, more than one well per 640-acre  
4 proration unit.

5 As we go south of this unit, we encounter  
6 in Section 5 down there, the British American Oil,  
7 that well has produced in excess of 25 billion cubic  
8 feet. One location to the north, the well has  
9 produced in excess of 8 billion cubic feet. So we  
10 have some massive gas potential in this area that does  
11 not appear to be limited by close proximity to another  
12 producing well. So we think that at least in the  
13 southern part of this unit, we have inadequate spacing  
14 right now or inadequate ability to produce the gas  
15 that may be there.

16 Q. Did you say that in Section 29 there are  
17 currently two wells producing?

18 A. Yes, sir, I did.

19 Q. And in what other section does that  
20 situation exist?

21 A. In Section 17 in the past, there have been  
22 three wells that produced simultaneously. They're not  
23 currently all producing.

24 Q. Section 18 you said --

25 A. There have been two wells that produced in



1 Section 18.

2 Q. That's not currently?

3 A. We have indication that one of those wells  
4 is currently plugged right now, but also indicating  
5 that one well was insufficient to drain that acreage.

6 Q. In Section 20?

7 A. Section 20, there were two wells that have  
8 produced, both of which are currently not producing.  
9 The Hamon well in the northwest-northwest was plugged  
10 in 1986. The Hamon well in the northeast of the  
11 southwest last produced in 1987.

12 Q. You mentioned that the -- let's see, the  
13 Union State No. 1 is currently plugged?

14 A. Yes, sir.

15 Q. And recovered some 5.9 Bcf. You mentioned  
16 that it had some mechanical difficulties?

17 A. Yes. There was some casing collapse or  
18 something in there that necessitated no reentry  
19 possibility. I'm not completely familiar with all the  
20 engineering aspects of that well.

21 Q. Was the Union State No. 2 well drilled  
22 subsequent to the plugging of the No. 1?

23 A. No. The Union State No. 2 was drilled  
24 prior to the plugging but after last production of the  
25 well, of the Union State No. 1.



1           Q.    This is probably getting into the  
2 engineering, but do you have an opinion whether or not  
3 the Union State No. 1 would have recovered additional  
4 reserves that may have been recovered by the No. 2?

5           A.    I'd really like to defer that to the  
6 engineers.

7                   EXAMINER CATANACH:   Okay.   In that case, I  
8 don't have anything further of the witness.   He may be  
9 excused.

10                   MR. KELLAHIN:   Call at this time Carl  
11 Richard.   Mr. Richard is the petroleum engineer for  
12 this application.

13                               CARL RICHARD,  
14 the witness herein, after having been first duly sworn  
15 upon his oath, was examined and testified as follows:

16                               EXAMINATION

17 BY MR. KELLAHIN:

18           Q.    Please state your name and occupation.

19           A.    My name is Carl Richard.   I'm a senior  
20 reservoir engineer for Mitchell Energy in The  
21 Woodlands, Texas.

22           Q.    Mr. Richard, have you testified as a  
23 petroleum engineer before the Division on prior  
24 occasions?

25           A.    Yes, I have.



1 Q. Have you prepared an engineering  
2 investigation to determine whether or not you could  
3 reach engineering conclusions about the  
4 appropriateness of having an infill option for the  
5 North Osudo-Morrow Gas Pool?

6 A. Yes, I have.

7 Q. What conclusion have you reached?

8 A. After reviewing the geology, the production  
9 information, performing a reserve analysis, I conclude  
10 through my review that there should be sufficient  
11 reserves to economically justify drilling a Morrow  
12 well in the southwest quarter of Section 30.

13 MR. KELLAHIN: We tender Mr. Richard as an  
14 expert petroleum engineer.

15 EXAMINER CATANACH: He is so qualified.

16 Q. (BY MR. KELLAHIN) Does that analysis also  
17 tell you anything about the appropriate spacing for  
18 the pool?

19 A. Well, as Mr. Alderks mentioned, the Osudo  
20 West field due west of our acreage and the Osudo field  
21 to the south are both on statewide 320-acre spacing.  
22 My experience has been in the Morrow, the lateral  
23 discontinuities that we see in the Morrow in general,  
24 that 320 acres sometimes is not drained. I think that  
25 applies in this particular area as well.



1           Q.    What would you recommend the examiner do  
2 with regards to any pool rule change in order to solve  
3 that problem?

4           A.    I would recommend an exception be granted  
5 to drill a 320-acre proration unit in the west half of  
6 Section 30.

7           Q.    In addition, do your engineering  
8 conclusions support providing an infill option rule,  
9 an infill drilling option for the entire pool so that  
10 any operator in the pool would have the same  
11 opportunity you're seeking to exercise?

12          A.    Yes.

13          Q.    Mr. Alderks' mapping of the three primary  
14 pay zones of the pool for your section shows that at  
15 least when you look at an isopach, you can find that  
16 there are portions of the section where all three sand  
17 packages are going to be in place so that a single  
18 well might encounter all three. If that circumstance  
19 should exist in Section 30, would that allow a single  
20 well, in your opinion, to deplete the entire remaining  
21 gas reserves for the section?

22          A.    No, sir.

23          Q.    Have you done any engineering calculations  
24 to determine the effective drainage areas of some of  
25 these wells that have already been producing for some



1 period of time?

2 A. Yes, sir, I have.

3 Q. Before we talk about the details of the  
4 map, describe the method. What methodology did you  
5 employ as a reservoir engineer to examine that issue?

6 A. Well, what I did first is I went through  
7 and I examined logs that I had available to me  
8 primarily in the southern part of this pool area,  
9 determined a number of petrophysical parameters.  
10 Using those petrophysical parameters and a 75 percent  
11 recovery efficiency, I calculated recoverable gas in  
12 place.

13 Then taking the production from each one of  
14 these wells that have ceased producing and then those  
15 wells that were still producing, calculating estimated  
16 ultimates, I went through and determined, using that  
17 recoverable gas in place, an estimated drainage area  
18 for each one of these wells.

19 Q. Have you reduced that information to a  
20 summary display?

21 A. I sure have. That's Exhibit 7.

22 Q. 8?

23 A. 8.

24 Q. I think so.

25 A. I'm sorry.



1 Q. 8? Okay. The method used was the same for  
2 each of the calculations?

3 A. Yes, sir, using the differing petrophysical  
4 parameters, coming up with a different gas in place,  
5 but using a common recovery efficiency of 75 percent.

6 Q. Let's go through the spreadsheet and look  
7 at some examples. All right?

8 A. Yes, sir.

9 Q. If you'll look on the exhibit and find the  
10 drainage area that you calculated, which is the second  
11 to right column?

12 A. Right.

13 Q. It says Area Drained in Acres. For these  
14 wells, regardless of the zone drained, you have  
15 drainage areas calculated in acres to range between  
16 what number and what number?

17 A. I have 11 acres all the way up to 418  
18 acres.

19 Q. Did you find any example in the pool of any  
20 well that had the capacity or ability to drain 640  
21 acres?

22 A. No, sir, I did not.

23 Q. Is the largest single example of a drainage  
24 area for a well the Jake Hamon State E 1 well that had  
25 418 acres?



1           A.    Yes, sir. That is the best producer or  
2 best well in the pool.

3           Q.    Let's look at Exhibit 9, as well as Exhibit  
4 8, so it will help us locate the wells. I'm  
5 interested in the relationship what is now the  
6 Marathon well to the two wells that were produced in  
7 Section 30. There's a three-well area.

8           A.    Right.

9           Q.    Okay? When we look at Mr. Alderks'  
10 geologic displays, we find that the Marathon well was  
11 perforated and produced from the upper Morrow pay  
12 interval. We look at his upper pay interval net  
13 isopach, it gives him ten feet. Okay?

14          A.    Yes, sir.

15          Q.    It cum'd 5.8 Bcf of gas out of that zone.  
16 What do you calculate that zone to have drained, if  
17 you will, under the assumptions of the drainage  
18 calculation that you made?

19          A.    Well, that well has cum'd 5.7 Bcf. Based  
20 on decline curve analysis, I've come up with estimated  
21 ultimate of about 7.3 Bcf. Using that 7.3 Bcf, I  
22 calculated an estimated drainage area of 368 acres.

23          Q.    Let's go 40-acre offset to the west and  
24 pick up the Mitchell Energy Union State well. Okay?  
25 You find that well, and it has been produced out of



1 both the upper and the lower pay on the isopachs, you  
2 get 16 feet out of the upper, you get 18 feet out of  
3 the lower, what do you show for its cum and ultimate  
4 gas recovery?

5 A. That well is still currently producing.  
6 Based on decline curve analysis, I have an estimated  
7 ultimate of 2.9 Bcf. That results in an area drained  
8 of about 109 acres.

9 Q. Do your calculations separate out the two  
10 sand members, one from another, in that wellbore?  
11 That won't do it, will it?

12 A. Well, normally, if I was to do drainage or  
13 circular drainage calculations, if I was producing out  
14 of a common member, I would combine the cum's and  
15 probably draw a circular drainage radius from a common  
16 point.

17 In this case, because I do have  
18 combinations of them, I chose to represent them on  
19 this map as individual drainage areas.

20 Q. When we look at the volume of gas that you  
21 have projected for the ultimate gas recovery for the  
22 Mitchell well, it's the No. 2 well, row 2 of Exhibit 8  
23 spreadsheet?

24 A. Yes, sir.

25 Q. That ultimate gas recovery is just short of



1 3 Bcf?

2 A. Yes, sir.

3 Q. That is done from decline curve analysis?

4 A. Yes, sir.

5 Q. Based upon current perforations in that  
6 wellbore?

7 A. Yes.

8 Q. You have by methodology, at least, combined  
9 the effect of both the upper and the lower pay  
10 contributions in that wellbore?

11 A. That's correct.

12 Q. So the drainage calculation is not going to  
13 tell you what each individual sand member effectively  
14 has drained?

15 A. That's correct.

16 Q. All right. When we look at the circle map,  
17 the bubble map?

18 A. Yes, sir.

19 Q. Obviously, you're not going to have a  
20 wellbore that's going to have overlapping drainage  
21 circles with its offsetting wellbore?

22 A. Technically.

23 Q. Yes. What are you trying to represent with  
24 the drainage circles?

25 A. Just the area drained by the specific



1 intervals that are perforated in that particular  
2 wellbore.

3 Q. Can we draw the engineering conclusion from  
4 the relationship between the Marathon well and your  
5 Union State 2 that as those wells compete with each  
6 other in the reservoir, they're competing, to some  
7 extent, for different sand members' contribution of  
8 gas?

9 A. Yes, we can.

10 Q. You know that as a fact, don't you?

11 A. Yes, sir, based on the perforated  
12 intervals.

13 Q. What does that example tell you about  
14 appropriate spacing for wells in the pool?

15 A. Well, at current spacing, 640 acres is  
16 inadequate in draining the south or the western half  
17 of Section 30.

18 Q. Can you also conclude that in the absence  
19 of the Mitchell Union State well, that the Marathon  
20 well would not have recovered all the gas that is now  
21 being produced in part by the Mitchell Energy well?

22 A. Yes, sir.

23 Q. Those wells are competing for slightly  
24 different sources of supply?

25 A. Yes, sir.



1 Q. Let's look at what's happened to gas  
2 reserves in Section 30. Have you prepared a  
3 volumetric analysis of the gas reserves that underlies  
4 that section?

5 A. Yes, sir, I have.

6 Q. That's Exhibit No. 10?

7 A. Yes, sir.

8 Q. Describe for us what you've done.

9 A. Ideally what I've done is taken the  
10 isopachs for each one of the members that Mr. Alderks  
11 has mapped and assumed that I would be able to  
12 encounter the net footage that he's got isopached  
13 there.

14 What I've done is planimetered Section 30  
15 and determined that the total volume for the upper,  
16 middle, and lower members, applied a recoverable gas  
17 in place, again using 75 percent recovery efficiency,  
18 and estimated the recoverable gas in place for Section  
19 30. That figure on Exhibit 10 is 31.5 Bcf.

20 Q. Make sure I've got it figured out. That is  
21 estimated recoverable gas for the area contained based  
22 upon isopach analysis underlying Section 30?

23 A. Yes, sir.

24 Q. To get recoverable gas for the section,  
25 have you assumed a percentage recovery?



1           A.    In the gas in place calculation, that  
2   recovery efficiency was 75 percent, if I understood  
3   your question correct.

4           Q.    Yes, sir.  So the 31.5 Bcf of gas is  
5   recoverable of gas assuming a 75 percent efficiency of  
6   recovery?

7           A.    That's correct.

8           Q.    Of the 31.5 Bcf of gas, how much of the gas  
9   has been recovered by the combination of the existing  
10  two wells in that section?

11          A.    That's the next line.  8.7 Bcf has been  
12  recovered to date.

13          Q.    Can you extrapolate or forecast for us what  
14  is to be the ultimate recovery from those two wells of  
15  the recoverable gas?

16          A.    The Union State No. 2 is the only well  
17  producing currently in Section 30, and it is estimated  
18  to have about 165 million, which will increase this  
19  8.7 by that amount, roughly 8.9 Bcf.

20          Q.    So despite the fact that the Mitchell Union  
21  State 2 well encountered two of the three sand  
22  members, it's got a tiny bit of show, two feet in the  
23  middle member, but predominantly from two of the sand  
24  members, it's going to get 8.8 Bcf of gas, combination  
25  of those two wells, leaving in the reservoir left to



1 be recovered 22.5 Bcf of gas?

2 A. Yes, sir, ideally.

3 Q. How do you get the rest of it?

4 A. I would propose by drilling a second well.

5 Q. If you don't drill a second well, what  
6 happens?

7 A. I would assume that we would not be able to  
8 recover a significant amount of reserves in Section  
9 30.

10 Q. Is that the way we ought to be operating  
11 this reservoir?

12 A. No, sir.

13 MR. KELLAHIN: No further questions.

14 Move the introduction of Mr. Richard's  
15 Exhibits 8, 9, and 10.

16 EXAMINER CATANACH: Exhibits 8, 9, and 10  
17 will be admitted as evidence.

18 MR. CARR: I have no questions of this  
19 witness.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Mr. Richard, what is the remaining life of  
23 the No. 2 well?

24 A. I've got down to an economic limit of about  
25 1.1 million a month, I've probably got about six years



1 remaining life is what I've projected.

2 Q. Do you know what the current rate is on  
3 that well?

4 A. Yes, sir, about 58 Mcf a day.

5 Q. Fifty-eight Mcf?

6 A. Yes, sir.

7 Q. I don't suppose Mitchell was present when  
8 this pool was established or the rules were  
9 established?

10 A. No, sir. This acreage was acquired under  
11 an Amoco purchase in, I think, 1990.

12 Q. Do you know anything about why the initial  
13 pool rules were established at 640 acres?

14 A. No, I do not.

15 Q. Do you know what the discovery well or the  
16 wells that were present early in the life of the field  
17 were?

18 A. I think the earliest well I have production  
19 from, production information from, is the Jake L.  
20 Hamon Union State No. 1. It was drilled in '66. I  
21 don't see anything -- I was thinking I might have had  
22 -- up in Section 17, Unit letter N, I also have a  
23 well that was drilled in 1966, but I don't see any  
24 that were prior to that date from a production history  
25 standpoint.



1           Q.    Your Exhibit No. 8, is this an analysis of  
2 all the wells that produced in the pool?

3           A.    No, sir, it is not. I was rather limited  
4 as to the amount of log information I could get my  
5 hands on in a short period of time. As you can see,  
6 I've had to make some assumptions, say, those wells  
7 that I did not have resistivity logs on, I assumed  
8 saturations, and those wells I didn't have porosity  
9 logs on, the very last well, No. 7, I had to assume an  
10 average porosity to come up with a drainage  
11 calculation for it.

12                   I guess I was concentrating more on the  
13 southern part of the pool.

14           Q.    Were any of the geologic parameters,  
15 porosity, permeability, were any of them significantly  
16 different in each of the respective producing  
17 intervals such that one might drain 640 while the  
18 other one might drain substantially less than that?

19           A.    What I've done in this summary, the height  
20 calculation or the footage calculation that I've used  
21 basically is not using the same porosity cutoff as our  
22 geologic isopachs for the prime reason is, I chose to  
23 upgrade, if you will, the productive interval, not  
24 just the reservoir quality interval but the probable  
25 productive interval.



1           If I was to take his net maps with less, I  
2 guess, stringent porosity cutoffs, I probably could  
3 have had a lot smaller drainage areas, but what I've  
4 done here is assume probably the worst case scenario  
5 for drainage, if you will.

6           I don't think I've answered your question  
7 specifically whether or not I see the same quality  
8 across. If you look at the cross-sections, the upper  
9 member is present. It varies in quality somewhat, but  
10 I can't say whether or not that upper member will  
11 extend down in the southwest quarter.

12           Q. There may have been some wells that have  
13 been drilled and produced in this pool whose drainage  
14 area may have exceeded anything you've got on this.  
15 Is that your opinion? Is that a safe assumption, or  
16 is that not a safe assumption?

17           A. I guess in my calculations -- yes, that is  
18 possible. It's possible but, in my opinion, not  
19 probable. I think the No. 6 that I have there with  
20 the 418 acres drainage area calculation, I'm  
21 perforated at a very small interval, 17 feet.

22           In some of these wells I'm perforated in  
23 tremendously large intervals. It's reported as a  
24 gross interval. I think that well having the highest  
25 cum and probably the smallest number of feet



1 perforated and produced from probably has one of the  
2 larger drainage areas to be calculated in this pool.  
3 I don't see anything with significantly higher  
4 cumulative production. Therefore, I would assume that  
5 nothing has exceeded that drainage.

6 Q. On your estimate of recoverable remaining  
7 reserves in Section 30, that's just based upon the  
8 geologic interpretation and the assumption in fact  
9 that the sands are present and are that thick and are  
10 as thick as the geologist has mapped them?

11 A. Yes, sir, that's correct. So the two are  
12 different.

13 Q. In your opinion, is there any correlative  
14 rights issue if you've got two wells, or is Marathon  
15 the operator of Section 29?

16 A. Yes, sir, they are.

17 Q. Having two wells and producing two wells,  
18 do you feel that's -- is there a correlative rights  
19 issue at work here, too, in that you think you need  
20 two wells to compete with them, or is that not an  
21 issue?

22 A. I don't think it's an issue.

23 EXAMINER CATANACH: I think that's all I  
24 have, Mr. Kellahin. The witness may be excused.

25 DON R. McCLUNG,



1 the witness herein, after having been first duly sworn  
2 upon his oath, was examined and testified as follows:

3 EXAMINATION

4 BY MR. KELLAHIN:

5 Q. Would you please state your name and  
6 occupation.

7 A. My name is Don R. McClung. I'm a senior  
8 landman for Mitchell Energy Corporation in Midland,  
9 Texas.

10 Q. Mr. McClung, on prior occasions have you  
11 testified before the Division Examiner?

12 A. Yes, sir, I have.

13 Q. Mr. McClung, were you asked to attempt to  
14 tabulate a list of parties that might have an interest  
15 which would be affected by the outcome of a decision  
16 made in this particular case?

17 A. Yes, I was.

18 Q. Have you caused to be generated a list that  
19 includes all the operators of current production in  
20 the pool, as well as, to the best of your ability,  
21 interest owners that might be affected by the infill  
22 drilling option?

23 A. Yes, sir. That information shows up as our  
24 service list, which I believe is part of Exhibit 11.

25 MR. KELLAHIN: We tender Mr. McClung as an



1 expert petroleum landman.

2 EXAMINER CATANACH: He is so qualified.

3 Q. (BY MR. KELLAHIN) This is marked as  
4 Exhibit No. 11, Mr. McClung. Describe for us the  
5 method that was employed to generate the notice list.

6 A. I was asked to conduct a search of the  
7 records to determine the ownership of those sections  
8 contiguous to our section, being Mitchell Energy  
9 Corporation there in Section 30. The eight sections  
10 surrounding Section 30, of the eight, seven of them  
11 were state-owned minerals. And in that case what we  
12 did is order run sheets from Federal Abstract.

13 And the remaining section was fee acreage,  
14 and I checked that section at Cap Rock Abstract there  
15 in Midland, Texas.

16 Q. In addition, do your notice efforts include  
17 all operators of current producing wells in the pool?

18 A. Yes, sir.

19 Q. As a result of that effort, how many  
20 notices did you cause to be sent out of Mitchell's  
21 office concerning this application?

22 A. I believe approximately 121.

23 Q. As a result of that notification effort,  
24 have you received any inquiries from any of those  
25 parties for which notice was attempted?



1 A. No, sir.

2 Q. The Section 30 that is the specific topic  
3 of your company's concern, what is the acreage  
4 arrangement within Section 30?

5 A. It's covered by an operating agreement,  
6 1965 vintage, January of 1965, and there's  
7 approximately seven different interest owners right  
8 now in Section 30.

9 Q. So the interest is currently consolidated  
10 for purposes of a 640 spacing unit?

11 A. Yes, sir.

12 Q. And it's currently dedicated to production  
13 from that existing well that's still productive?

14 A. Yes, sir.

15 MR. KELLAHIN: That concludes my  
16 examination of Mr. McClung.

17 We'd move the introduction of the  
18 Certificate of Notice which is marked as Mitchell  
19 Exhibit No. 11. It has been attested to by Mark  
20 Stephenson. He's present in the hearing room, and he  
21 can verify his certificate if the Division desires.  
22 But with the introduction of that exhibit, that  
23 concludes our presentation of witnesses and evidence.

24 EXAMINATION

25 BY EXAMINER CATANACH:



1 Q. Mr. McClung, does your list of interest  
2 owners represent all interest owners within the pool?

3 A. No, sir, just the sections contiguous to  
4 Section 30, as well as the operators in the pools.

5 Q. The operators in the pool. Not necessarily  
6 all the interest owners in the pool?

7 A. No, sir.

8 Q. Anybody outside the pool?

9 A. No.

10 Q. I'm a little bit confused here. You've got  
11 121 different entities?

12 A. Yes, sir.

13 Q. Those aren't all operators?

14 A. No, sir. What we did is took all working  
15 interest owners. In the event there were unleased  
16 minerals, we were going to put those, but everything  
17 was leased around Section 30. So what you see  
18 represented on the list there basically is all working  
19 interest owners, owners of operating rights, and also  
20 record title there in the state-owned minerals.

21 Q. Within Section 30 and all the sections  
22 around it?

23 A. Yes.

24 EXAMINER CATANACH: I don't have anything  
25 further, Mr. Kellahin. Mr. Carr?



1 MR. KELLAHIN: I may have some comments  
2 about it. I'm anxiously waiting to see what Mr. Carr  
3 has to say.

4 EXAMINER CATANACH: Okay, Mr. Carr, what do  
5 you have to say?

6 MR. CARR: May it please the Examiner,  
7 Nearburg Producing Company is an operator in the North  
8 Osudo-Morrow Gas Pool, which could be affected by this  
9 application. Nearburg has no objection to Mitchell  
10 Energy Corporation's request for an exception to Rule  
11 (2) of the Special Rules and Regulations to allow a  
12 second well to be drilled on the existing 640- acre  
13 spacing and proration unit comprised of Section 30,  
14 Township 20 South, Range 36 East.

15 Nearburg Producing Company, however, would  
16 oppose amendment of the pool rules to establish infill  
17 drilling procedures throughout the entire pool.

18 EXAMINER CATANACH: Mr. Kellahin?

19 MR. KELLAHIN: Mr. Catanach, we've got a  
20 dinosaur on our hands here. You can see as a  
21 practical matter, Mitchell has got offsetting  
22 operators that are currently producing more than a  
23 single gas well in this pool. You can see as a  
24 practical matter, the historical development has  
25 required more than a single gas well.



1           We think the time has come to upgrade the  
2 flexibility of these pool rules. The North  
3 Osudo-Morrow Gas Pool on 640 spacing is one of just  
4 two or three, I think, that are left on 640 spacing.

5           The original rules were adopted at the  
6 request of Pan-American Petroleum Corporation in 1967  
7 by Examiner Elvis Utz. They apparently have stayed in  
8 place all this period of time. As a practical matter,  
9 people are ignoring the spacing rules and drilling  
10 additional wells.

11           We think the flexibility does no harm.  
12 It's the opportunity for unique reserves. It provides  
13 to Nearburg and all the rest the option but not the  
14 obligation to have a second well. The impact of  
15 granting this application will do nothing other than  
16 increase ultimate gas recovery from this pool, and we  
17 recommend that you grant approval of the pool rule  
18 change that Mitchell has sought to have adopted by the  
19 Division.

20           EXAMINER CATANACH: Thank you, Mr.  
21 Kellahin? Anything further in this case?

22           MR. KELLAHIN: No, sir.

23           EXAMINER CATANACH: There being nothing  
24 further, this case, 10847, will be taken under  
25 advisement.



CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )

) ss.

COUNTY OF SANTA FE )


I, Deborah O'Bine, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that I caused my notes to be transcribed under my personal supervision, and that the foregoing transcript is a true and accurate record of the proceedings of said hearing.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL, October 16, 1993.

*Deborah O'Bine*

DEBORAH O'BINE  
CCR No. 63



10847  
93  
October 7  
*David R. Calam*  
Oil Conservation Division