

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 10,853

Application of Matador Petroleum
Corporation


ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: Michael E. Stogner, Hearing Examiner

October 21, 1993
Santa Fe, New Mexico



This matter came on for hearing before the Oil
Conservation Division on Thursday, October 21, 1993, at
Morgan Hall, State Land Office Building, 310 Old Santa Fe
Trail, Santa Fe, New Mexico, before Steven T. Brenner,
Certified Court Reporter No. 7 for the State of New Mexico.

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

October 21, 1993
Examiner Hearing
CASE NO. 10,853

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>ROGER TOWNSEND</u>	
Direct Examination by Mr. Carr	6
Examination by Examiner Stogner	18
REPORTER'S CERTIFICATE	23

* * *

E X H I B I T S

	Identified	Admitted
Exhibit 1	7	17
Exhibit 2	9	17
Exhibit 3	12	17
Exhibit 4	14	17
Exhibit 5	15	17
Exhibit 6	16	17
Exhibit 7	17	17

* * *

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
Attorneys at Law
By: W. THOMAS KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265

* * *

1 WHEREUPON, the following proceedings were had at
2 8:54 a.m.:

3 EXAMINER STOGNER: I'll call the next case,
4 Number 10,853, which is the Application of Matador
5 Petroleum Corporation for an unorthodox gas well location,
6 Chaves County, New Mexico.

7 At this time I'll call for appearances.

8 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
9 the Santa Fe law firm of Kellahin and Kellahin, appearing
10 on behalf of the Applicant, and I have one witness to be
11 sworn.

12 EXAMINER STOGNER: Are there any other
13 appearances in this matter?

14 (Thereupon, the witness was sworn.)

15 EXAMINER STOGNER: You may be seated.

16 Mr. Kellahin?

17 Before we get started, Mr. Kellahin, I received a
18 phone call yesterday, and I think the man's name was Dave
19 Stout -- I'm not sure on that -- with the BLM in Roswell,
20 asking about the unorthodox gas well location, and I
21 understand there may be a possible relocation.

22 Were you made aware of that?

23 MR. KELLAHIN: Yes, Mr. Examiner, that's --

24 EXAMINER STOGNER: We will cover it?

25 MR. KELLAHIN: Yes, sir, we will.

1 EXAMINER STOGNER: Thank you.

2 MR. KELLAHIN: By way of background, Mr.
3 Examiner, Matador has an acreage position in a Morrow play
4 in Chaves County, New Mexico. It is looking to offset its
5 other spacing units with the north-half spacing unit for
6 this well, which they originally proposed to drill 660 out
7 of the north and east corner of Section 30.

8 An examination of the topographical information
9 and our preliminary belief was that that location was
10 approvable by the BLM.

11 It is the optimum location, geologically, in an
12 attempt to locate the thickest point in a Morrow channel
13 that runs north-south. So moving east in the north half is
14 preferable geologically.

15 The field inspections and conclusions by the BLM,
16 confirmed by a letter to us yesterday, was that they desire
17 us to move 200 feet to the west of the current location.

18 While that is not our preferable geologic
19 location, it is still an acceptable choice for Mr.
20 Townsend, who is the witness and the exploration geologist
21 that's done the work, and so his presentation will be
22 pointed to the fact that he will like your permission to go
23 to a less unorthodox location than advertised.

24 His amended plan, based upon the BLM's request,
25 is that he will be 660 from the north line and 860 from the

1 east line of that section.

2 So that's where we're headed.

3 EXAMINER STOGNER: So your requested location, or
4 change is 660 from the north, 860 from the east?

5 MR. KELLAHIN: Yes, sir.

6 EXAMINER STOGNER: Moving to the west to a less
7 unorthodox location.

8 With that, such change would not necessitate a
9 readvertisement or a redocketing of this particular
10 Application, so we can move at this time.

11 MR. KELLAHIN: Yes, sir, that's our
12 understanding.

13 EXAMINER STOGNER: Okay.

14 ROGER TOWNSEND,

15 the witness herein, after having been first duly sworn upon
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Could you please state your name and occupation?

20 A. My name is Roger Townsend. I'm the chief
21 geologist with Matador Petroleum Corporation.

22 Q. Mr. Townsend, on prior occasions have you
23 testified before the Division as a petroleum geologist?

24 A. No, I have not.

25 Q. Summarize for us your education.

1 A. I got a bachelor's degree in geology from the
2 University of Southern Mississippi in 1983. I then got a
3 master's degree in geology from Northeast Louisiana
4 University in 1986.

5 Q. Summarize for us your employment experience as a
6 petroleum geologist.

7 A. I started work with TXO Production as a geologist
8 in June of 1985 and -- working the Permian Basin.

9 And then in June of 1990 I worked at Sage Energy,
10 again working the Permian Basin as a geologist.

11 And in January of 1992 I began with Matador
12 Petroleum, working the Permian Basin as a geologist.

13 Q. Is the Application proposed by your company based
14 upon geologic work and interpretations that you have made?

15 A. Yes, sir, it is.

16 MR. KELLAHIN: We tender Mr. Townsend as an
17 expert petroleum geologist.

18 EXAMINER STOGNER: Mr. Townsend is so qualified.

19 Q. (By Mr. Kellahin) Mr. Townsend, let me direct
20 your attention, sir, to Exhibit Number 1, have you identify
21 that for me, please.

22 A. Yes, sir. Exhibit Number 1 is a production map
23 of the Morrow production in the field around where we're
24 intending to drill.

25 Q. You know this to be the Diamond Mound area?

1 A. Yes, I do.

2 Q. When we're looking at the Morrow production in
3 this area, is there a particular portion of the Morrow that
4 is productive in these wells?

5 A. Yes, sir, the most productive zone in the Morrow
6 in this area is the interval between the Middle Morrow down
7 to the top of the Chester, normally called the Lower Morrow
8 zone.

9 Q. All the Morrow gas wells shown on the display
10 with the red dot, are those wells capable of lower Morrow
11 gas production?

12 A. Yes, sir, they are.

13 Q. On this display, Mr. Townsend, looking at the
14 proposed spacing unit -- which is the north half of Section
15 30 South, is it?

16 A. That's correct.

17 Q. -- there is an area shaded or stippled in which
18 it includes the north half of 30 and other adjoining
19 spacing units.

20 What is your understanding of the purpose of that
21 area contained within the stippled outline?

22 A. I understand that that area is the area that
23 Matador has an interest and intends to further develop this
24 productive trend.

25 Q. With this interest position in here, describe for

1 us the geologic setting for Lower Morrow production as you
2 have interpreted it.

3 A. The Lower Morrow in this area is a distributory
4 channel system and a delta depositional environment where
5 the distributory channels trend roughly north-south and are
6 deposited in a fingering or lenticular manner.

7 Q. As a result of the deposition of the Morrow
8 channel in this area, is it possible for you as an
9 exploration geologist to provide for the four spacing units
10 that are contained within the stippled area, well locations
11 for each of those spacing units by which the wells would be
12 located at standard locations?

13 A. No, sir, geologically if I had to drill wells at
14 standard locations, we would not be able to drill them due
15 to the risk involved.

16 Q. Let's turn now to Exhibit Number 2. Identify
17 that for me.

18 A. Exhibit Number 2 is a net Morrow sand isopach,
19 and it's an isopach mapped on the net sand with an eight-
20 percent porosity cutoff within a 50-API gamma ray cutoff.

21 Q. Again, this is your work?

22 A. Yes, sir.

23 Q. Let's find the north half of Section 30, the
24 spacing unit. You have an open circle at the approximation
25 of the original unorthodox location, 660 out of the north

1 and east sides of the spacing unit?

2 A. Yes, sir.

3 Q. Do you see that?

4 A. Yes, sir.

5 Q. It's just above the "t" in "et al.", out of
6 "Central Resources, et al." Do you see that?

7 A. Yes, sir.

8 Q. And then just to the west of that, along the 20-
9 foot contour line, there's a red dot. What does that
10 represent?

11 A. That red dot represents moving 200 feet west from
12 the 660 from the east line. Now the red dot is 860 from
13 the east line.

14 Q. Summarize for us the conclusion from the display,
15 Mr. Townsend.

16 A. Okay. In a summary, what I've done here is, I've
17 taken the Lower Morrow sand trend and given it a 50-API
18 gamma ray cutoff in order to find the general trend of the
19 sand.

20 And then within that 50-API cutoff, I identified
21 the eight-percent porosity cutoff for the pay sand. And in
22 doing that, I came up with this net sand map which should
23 most readily represent the net pay in the Morrow interval.

24 But I did have to add up lenticular zones, sand
25 packages, rather than a single individual sand for every

1 well.

2 Q. When we look at the net pay map, then, we are not
3 looking at a single individual sand member but a multitude
4 of sand members?

5 A. Yes, sir, that's correct.

6 Q. Describe for us what has caused you to want to
7 move to the east side of the spacing unit, rather than be
8 at the closest standard location, which would be 1980 from
9 the east end of that spacing unit.

10 A. Yes, sir. Whenever I mapped this sand, I could
11 see that to the north there's a good thick sand with good
12 production.

13 And then down in Section 30 I've got a very thin
14 sand, only four feet thick, that has pretty good production
15 and appears to be in communication with a better, thicker,
16 reservoir.

17 And then south of there in Section 31, the
18 southeast quarter, there's another well with 14 feet with
19 good sand.

20 And in mapping this sand, it appears, the way
21 I've interpreted it, that the sand trend, the thicker sand
22 trend, is located on the east side of Section 30 and west
23 side of Section 29 trending roughly north-south.

24 If I were to put my location at a standard
25 location in Section 30, I would either be 1980 from the

1 east line or 1980 from the west line. And in both cases, I
2 believe that I would be in a very thin or -- well, a very
3 thin sand that would increase my risk of not having an
4 economic well.

5 Q. What is your conclusion, then, based upon this
6 display, as where to locate the well?

7 A. My conclusion is that the locations 660 from the
8 north and 660 from the east would be the best location to
9 drill, and moving 200 feet further west is acceptable.

10 Q. Okay. Let's go to the cross-section so that we
11 can see the interfingering of the different sand members
12 within the channel. I believe you've marked your exhibits
13 such that --

14 A. Yes, that would be exhibit 3. It's the A-A'
15 cross-section to the north.

16 Q. All right, sir, let's take a moment and unfold
17 that.

18 For reference, show us on the cross-section,
19 Exhibit 3, the vertical interval that was isopach'd in
20 Exhibit 2.

21 A. Okay, the vertical interval was the net sand
22 between the Middle Morrow marker and the bop of the Barnett
23 Shale, and they are colored in red.

24 Q. You then applied a gamma ray cutoff and a
25 porosity cutoff and --

1 A. Yes, sir, on --

2 Q. -- came to a net value to use for the isopach?

3 A. Yes, sir, I did.

4 Q. Okay. Show us the interpretation as you
5 illustrate and describe these three wells.

6 A. Okay, these three wells go across the top half of
7 Section 19 into the northwest quarter of Section 20. And
8 in this cross-section you can see the well to the left, the
9 first well at A, had a sand in the very lowermost part of
10 the Middle Morrow.

11 And then as you move to the well in the center of
12 the cross-section, you have that sand as well as two or
13 three other sands above it.

14 And then when you move further to the east, to
15 the A' side of the cross-section, you have -- we have lost
16 the lower sand and gained other sands up above it,
17 indicating a very lenticular interfingering of sands as you
18 move from the west to the east, and also a thickening of
19 the net sand as you move from the west to the east.

20 Q. In finding well locations for developing this
21 four-spacing-unit area, what is your strategy, then?

22 A. My strategy is to take these gamma ray cutoffs
23 and net porosity cutoffs and add up the thicknesses and try
24 to find the area where I will get the greatest thickness of
25 porous sand.

1 Q. Let's go to Exhibit 4, which is your east-west
2 cross-section on the southern side of your project area.

3 What's the conclusion from Exhibit 4?

4 A. The conclusion from Exhibit 4 indicates the same
5 thing that we saw in Exhibit 3. Again, there are
6 interfingering sands that are discontinuous from the west
7 to the east, but in a general sense thickening to the east.

8 And I would note on the last well, the one on the
9 right-hand side, that my gross interval has thinned
10 drastically, indicating that if I moved further east I'm
11 close to the pinchout of the entire trend.

12 Q. How does this information help you decide where
13 to put your well locations for this spacing unit, as well
14 as to begin to plan where to locate the other three spacing
15 units' wells?

16 A. Okay, the -- What this did for me is, it helped
17 me to understand why the well in Section 30 appears to
18 overproduce itself, with only four feet of sand.

19 I believe that it is connected to a thicker sand
20 close by. And when I look to the north I can see that the
21 greater thickness is east. And also when I look to the
22 south, I get a greater thickness to the east.

23 And that helps me to put the north-south trend of
24 this sand package with the well in Section 30 on the
25 western edge of that trend. Therefore, I want to move east

1 of the well in Section 30 in order to get the thicker sand
2 package.

3 Q. Let's go back to Exhibit Number 2, the isopach.
4 You've described for us the reasons for the positioning of
5 this well in the north half of 30.

6 Show us what is your strategy, then, for figuring
7 out where to space the other three wells for the remaining
8 three spacing units so that you create the best opportunity
9 for each of those spacing units to have an effective well.

10 A. Okay. What we would intend to do upon success of
11 a well in the northeast quarter of Section 30 would be to
12 move down into the southwest quarter of Section 29 and
13 develop a well there, as well as the northwest quarter of
14 the southwest quarter of Section 20, to put a well there.
15 We would intend to develop these other units approximately
16 3000 feet between wells.

17 Q. Is your company the proposed operator for each of
18 these spacing units?

19 A. Yes, sir, we are.

20 Q. And are interest owners involved in your proposed
21 spacing unit also interest owners in common with the
22 remaining three spacing units?

23 A. Yes, sir, as far as I know, they are.

24 Q. Let's turn now to the surface issue. Let me have
25 you identify for us Exhibit Number 5. What is that?

1 A. Yes, sir, Exhibit Number 5 is a location and
2 elevation verification map. It has the topo photocopy, and
3 also the originally proposed location at the A location of
4 Section 30.

5 Q. Initial examination of surface information led to
6 what conclusion, Mr. Townsend?

7 A. The original examination led to the conclusion
8 that there didn't appear to be any major surface problems,
9 neither cliffs nor sinks nor anything of that matter.

10 Q. After filing the request with the Division for
11 your optimum geologic location 660 from the north and east,
12 what has occurred that has caused you to request that that
13 location be moved to the west?

14 A. We received notification yesterday through a
15 letter that the BLM -- I don't know who does the karsting,
16 but whoever examines the karsting or sinkholes had gone out
17 and identified the probability of a sinkhole, and they
18 requested that we move our location either 600 -- I mean
19 either 200 feet to the north or 200 feet to the west of the
20 original location.

21 Q. Have you been involved in those discussions in
22 the last day or received information based upon those
23 discussions?

24 A. Only the letter that the BLM sent me, and I have
25 talked with John --

1 Q. -- Crane, is it?

2 A. Crane, yes, sir. I talked with John Crane. And
3 in discussion with him my concern was that we would not
4 have to move further than 200 feet, and he said that we
5 would not.

6 Q. As you now understand it today, do you believe
7 that a location 860 from the east and 660 from the north is
8 going to be approvable by the Bureau of Land Management for
9 the use of the surface at that location?

10 A. That's exactly what they indicated to me, yes,
11 sir.

12 MR. KELLAHIN: Okay. Mr. Examiner, the Exhibit
13 Number 7 is my certificate of mailing. We have not yet
14 received the green card back. The only party to notify in
15 this case -- Let me provide that to you.

16 The only party to notify in this case is Mountain
17 Petroleum, Mr. Paul Slayton. I know as a matter of fact
18 that he's involved in all four spacing units, and as a
19 matter of courtesy as well as information, we have provided
20 him notification.

21 But the parties involved in this spacing unit in
22 fact control all the offsets.

23 With that statement, Mr. Examiner, we move the
24 introduction of Matador's Exhibits 1 through 7.

25 EXAMINER STOGNER: Exhibits 1 through 7 will be

1 admitted into evidence at this time.

2 EXAMINATION

3 BY EXAMINER STOGNER:

4 Q. Referring to Exhibit 2, in your latter testimony
5 you have stated to Mr. Kellahin that you wish to keep 3000
6 feet between wells.

7 Is that your proposed plan of action, should this
8 well become producing?

9 A. In a general sense, yes, sir, that is, and I
10 guess what I mean is, we do not propose to crowd this
11 corner again.

12 Q. Now, did I hear right when he asked about a
13 proposed well in Section 20, the southwest, southwest
14 quarter?

15 A. No, sir, the northwest of the southwest quarter,
16 I'm sorry.

17 Q. I heard wrong. Okay, that brought me up. I
18 thought, How can you get 3000 feet away? Okay.

19 I don't believe I heard in particular a proposed
20 well in Section 19 or development in 19.

21 I see by this particular exhibit that that's
22 probably highly -- or a questionable completion at this
23 time and would probably be your fourth choice, but what is
24 your proposed for 19?

25 A. My proposal for 19 would be to not do anything

1 with that part of the acreage until we have gathered our
2 information from the other wells that we would drill first.
3 Hopefully, new information may indicate a better location.

4 Q. Now, referring to Exhibit Number 6 with your
5 actions with the BLM, this is somewhat new to us also, in
6 this type of -- How would you say? Topographic necessity
7 for unorthodox locations or potential of moving.

8 Have you been out there on the surface?

9 A. No, sir, I have not been on the surface.

10 Q. Has -- I assume that Matador personnel have?

11 A. Yes, sir.

12 Q. I'm a little confused. Their mark -- There is a
13 sinkhole or potential surface expression [sic]. Is there a
14 sinkhole or not on the surface that you can see, in talking
15 with your personnel?

16 A. In talking with my personnel, he indicated to
17 me -- He's our operations manager, and he indicated to me
18 that when they pointed to a depression and said there
19 appears to be a sinkhole or some type of karsting here,
20 that he could see what they were talking about, but it
21 seemed to be very small, and he jokingly thought it was a
22 buffalo wallow.

23 EXAMINER STOGNER: Which has the potential of
24 becoming an archeological resource.

25 Mr. Kellahin, the reason I'm asking this question

1 in particular, I've had several inquiries, and BLM is
2 starting to move locations around for this reason, and I'm
3 just as much in the dark as you guys are at this point of
4 what they're looking for.

5 I understand there's a meeting next week with the
6 BLM, but I haven't got authorization to go on that to learn
7 a little bit more about this. I will be inquiring from
8 them more on this.

9 And that's all I was asking at this point.

10 MR. KELLAHIN: Yes sir.

11 EXAMINER STOGNER: And I may even take this
12 exhibit and carry on a little bit further with the BLM and
13 ask them to educate me on what they're looking for and such
14 as that.

15 But I do not intend for that to be any stake or
16 -- how would you say? -- to reflect on this particular
17 Application at this time, other than the BLM has asked to
18 move it from the 660 to a less unorthodox location. That's
19 all I plan to do with it at this time.

20 MR. KELLAHIN: We appreciate that, Mr. Examiner.

21 All my clients know, and we try very hard to
22 bring to you a location that's approved by the BLM or the
23 State Land Office before we ask you to examine that
24 location.

25 And so we try hard not to have to change the

1 location after we've filed one with the Division.

2 But in this instance, having run all those
3 procedures at the last minute, we find that -- yet a new
4 requirement by the BLM that asks us to move it.

5 We quickly examined to see if we could
6 directionally drill it, what would happen if we moved
7 farther north.

8 The end result of the process was, we decided we
9 could live with a location that was farther west.

10 But it's not our preferred geologic location, and
11 it bothers us that reservoir choices are being dictated by
12 surface constraints, and it's been a problem for us for a
13 long time.

14 Q. (By Examiner Stogner) How about moving to the
15 south? How come that wasn't --

16 A. They indicated that we were on the northwest edge
17 of this possible sink; therefore, moving south or east was
18 not -- couldn't be done, was not acceptable.

19 EXAMINER STOGNER: Well, maybe there's some sort
20 of relationship between sinkholes and the Morrow trend.
21 You might want to look at that in the future.

22 I have no other questions of Mr. Townsend at this
23 time.

24 MR. KELLAHIN: All right, sir, that's all we
25 have.

1 EXAMINER STOGNER: Does anybody else have
2 anything further in Case Number 10,853?

3 This case will be taken under advisement.

4 (Thereupon, these proceedings were concluded at
5 9:21 a.m.)

6 * * *

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

