

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 10953

APPLICATION OF AMOCO PRODUCTION COMPANY

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: David Catanach, Hearing Examiner

April 14, 1994

Santa Fe, New Mexico

This matter came on for hearing before the
Oil Conservation Division on April 14, 1994, at
Morgan Hall, State Land Office Building, 310 Old
Santa Fe Trail, Santa Fe, New Mexico, before Deborah
O'Bine, RPR, Certified Court Reporter No. 63, for the
State of New Mexico.

ORIGINAL

MAY 27 1994

ORIGINAL

I N D E X

April 14, 1994
 Examiner Hearing
 CASE NO. 10953

PAGE

APPEARANCES

3

AMOCO'S WITNESSES:

GARY WEITZ

Examination by Mr. Carr

4

Examination by Examiner Catanach

8

IRA PASTERNAK

Examination by Mr. Carr

9

Examination by Examiner Catanach

14

JAMES WILLIAM HAWKINS

Examination by Mr. Carr

15

Examination by Examiner Catanach

20

BRAD BILYEU

Examination by Mr. Carr

25

Examination by Examiner Catanach

29

REPORTER'S CERTIFICATE

31

E X H I B I T S

ID ADMTD

Exhibit 1

7

8

Exhibit 2

11

14

Exhibit 3

12

14

Exhibit 4

17

20

Exhibit 5

18

20

Exhibit 6

19

20

CUMBRE COURT REPORTING

P.O. Box 9262

Santa Fe, New Mexico 85704-9262

(505) 984-2244 FAX: 984-2092

A P P E A R A N C E S

FOR THE DIVISION: RAND L. CARROLL, ESQ.
General Counsel
Oil Conservation Commission
State Land Office Building
310 Old Santa Fe Trail
Santa Fe, New Mexico 87501

FOR THE APPLICANT: CAMPBELL, CARR, BERGE &
SHERIDAN, P.A.
P.O. Box 2208
Santa Fe, New Mexico 87504
BY: WILLIAM F. CARR, ESQ.

CUMBRE COURT REPORTING

P.O. Box 9262

Santa Fe, New Mexico 85704-9262

(505) 984-2244 FAX: 984-2092

1 EXAMINER CATANACH: Call the hearing back
2 to order at this time. At this time I'll call Case
3 10953.

4 MR. CARROLL: Application of Amoco
5 Production Company for a high angle/horizontal
6 directional drilling pilot project, San Juan County,
7 New Mexico.

8 EXAMINER CATANACH: Are there appearances
9 in this case?

10 MR. CARR: May it please the examiner, my
11 name is William F. Carr with the Santa Fe law firm,
12 Campbell, Carr, Berge & Sheridan. We represent Amoco
13 Production Company in this case, and I have four
14 witnesses.

15 EXAMINER CATANACH: Any additional
16 appearances? Will the witnesses please stand to be
17 sworn in at this time?

18 (Witnesses sworn.)

19 MR. CARR: Mr. Examiner, our exhibits are
20 contained in the exhibit booklet that I think has
21 been passed out to everyone.

22 GARY WEITZ,
23 the witness herein, after having been first duly
24 sworn upon his oath, was examined and testified as
25 follows:

EXAMINATION

BY MR. CARR:

Q. Will you state your name for the record, please.

A. My name is Gary Weitz. Last name is spelled W-E-I-T-Z.

Q. Where do you reside?

A. Denver.

Q. By whom are you employed?

A. Amoco Production Company.

Q. What is your current position with Amoco?

A. A land negotiator.

Q. Have you previously testified before this Division?

A. Yes.

Q. At the time of that testimony, were your credentials as a landman accepted and made a matter of record?

A. Yes, they were.

Q. Are you familiar with the application filed in this case?

A. Yes, I am.

Q. Are you familiar with the status of the land surrounding this project area?

A. Yes, I am.

CUMBRE COURT REPORTING

P.O. Box 9262

Santa Fe, New Mexico 85704-9262

(505) 984-2244 FAX: 984-2092

1 MR. CARR: Are the witness's
2 qualifications acceptable?

3 EXAMINER CATANACH: They are.

4 Q. (BY MR. CARR) Mr. Weitz, would you
5 briefly state what Amoco seeks with this application?

6 A. Yes. Amoco seeks approval to drill a
7 directional drilling pilot project area or to
8 establish a directional drilling pilot project area,
9 Township 30 North, Range 8 West, in the east half of
10 Section 28.

11 We seek further authority to drill a high
12 angle/horizontal well on the project area. The well
13 will be the Gartner "A" Well No. 2-R, and it will be
14 in a standard location in the northeast quarter of
15 Section 28. Surface location will be 1,860 feet from
16 the east line and 790 feet from the north line.

17 We're also seeking special operating rules
18 to permit the traverse of quarter and quarter-quarter
19 section lines with a horizontal wellbore within the
20 project area and also to drill within 790 feet of the
21 outer boundary of the project area.

22 Q. In any event, the well will be at least a
23 790-foot setback from the outer boundary of the
24 dedicated acreage?

25 A. Yes, it will.

1 Q. Could you identify what has been marked as
2 Exhibit 1 in the exhibit booklet? It's right behind
3 copies of the application and the legal ad.

4 A. Yes. Exhibit 1 is a land plat indicating
5 the offset operators and also indicating the project
6 area, the project area is to the east half of Section
7 28, and it's the bold outline. Also indicated there
8 is the Gartner A2R well in the proposed surface
9 location.

10 Also not shown on here is also the Gartner
11 "A," which is located in the northeast quarter of
12 Section 28, and the Gartner 2A, which is located in
13 the southeast quarter of Section 28.

14 Q. Those are existing wells in the Blanco
15 Mesaverde?

16 A. Yes, they are.

17 Q. And this 320-acre tract is a standard
18 spacing unit in that particular pool?

19 A. Yes, it is.

20 Q. What is the ownership of the acreage which
21 will be dedicated to this horizontal well?

22 A. The ownership is Amoco production 50
23 percent, Conoco, Inc., 50 percent.

24 Q. And it's common throughout the acreage?

25 A. Yes, it is.

1 Q. Was notice of this application provided to
2 Meridian by certified mail?

3 A. Yes, it was.

4 Q. And that notice included a hearing date?

5 A. Yes, it did.

6 Q. Will Amoco also be calling geological and
7 engineering witnesses to review the technical
8 portions of this case?

9 A. Yes, we will.

10 MR. CARR: Mr. Examiner, at this time we'd
11 move the admission of Amoco Exhibit No. 1.

12 EXAMINER CATANACH: Amoco Exhibit No. 1
13 will be admitted as evidence.

14 MR. CARR: That concludes my examination
15 of Mr. Weitz.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Mr. Weitz, just a couple of things. Let
19 me confirm that surface location as being 1,860 feet
20 from the east line?

21 A. 1,850 feet from the east line.

22 Q. 1,850 feet?

23 A. Yes. And 790 from the north line.

24 Q. And is that a fee lease?

25 A. It's a federal lease.

1 Q. A federal lease.

2 Q. Is it a single federal lease?

3 A. Yes.

4 Q. Working interest ownership 50 percent
5 Conoco and 50 percent Amoco?

6 A. Yes, it is.

7 EXAMINER CATANACH: I have nothing
8 furthered.

9 MR. CARR: At this time, Mr. Catanach, we
10 call Ira Pasternack.

11 IRA PASTERNAK,
12 the witness herein, after having been first duly
13 sworn upon his oath, was examined and testified as
14 follows:

15 EXAMINATION

16 BY MR. CARR:

17 Q. Would you state your name and place of
18 residence?

19 A. My name is Ira Pasternack. I reside in
20 Denver, Colorado.

21 Q. By whom are you employed and in what
22 capacity?

23 A. I am employed by Amoco Production Company
24 as a geologist.

25 Q. Have you previously testified before this

1 Division?

2 A. Yes, I have.

3 Q. At the time of that testimony, were your
4 credentials as a geologist accepted and made a matter
5 of record?

6 A. Yes, they were.

7 Q. Are you familiar with the application
8 filed in this case on behalf of Amoco?

9 A. Yes, I am.

10 Q. Have you made a geological study of the
11 area that is involved in this case?

12 A. Yes, I have.

13 MR. CARR: Are the witness's
14 qualifications acceptable?

15 EXAMINER CATANACH: They are.

16 Q. (BY MR. CARR) Initially, could you tell
17 us what the current development status is of the
18 acreage to be dedicated to this well?

19 A. Yes, there are currently two wells, the
20 Gartner A-2 and the Gartner 2-A.

21 Q. And the 2-A is located where?

22 A. In the southeast corner of Section 28.

23 Q. That is the direction towards which you're
24 proposing to drill the proposed wells?

25 A. Yes, that's correct.

1 Q. Can you initially describe for Mr.
2 Catanach the general characteristics of the Mesaverde
3 formation in the area?

4 A. I've studied the reservoir development in
5 this area and compared it to the production data and
6 found that there's significant variations in the
7 production that cannot be accounted for by simple
8 variations in the reservoir development. Therefore,
9 I attribute, at least in part, those production
10 differences to be related to natural fracture systems
11 that have locally enhanced the permeability.

12 Q. Let's go to what has been marked Amoco
13 Exhibit No. 2. Would you identify this exhibit and
14 then review the geological portion of it for the
15 examiner?

16 A. Exhibit 2 is a cross-section and drilling
17 plat for the horizontal well. On it are two logs
18 located -- from wells that are located in the
19 northwest quarter of the section and the southeast
20 quarter of the section.

21 We've identified the Cliff House interval
22 on this cross-section as the one that we're
23 specifically targeting with a horizontal borehole
24 with the yellow shading. That interval is
25 approximately 60 to 70 feet in this area. As you can

1 see on the cross-section, and as I've mapped
2 throughout some additional exhibits, that interval is
3 present.

4 Q. If we look at the exhibit, there is a
5 block in the sort of upper right-hand portion of it
6 that is a schematic looking down on the tract?

7 A. That's correct.

8 Q. Generally, the dark-shaded area is the
9 general azimuth for the horizontal portion of the
10 well?

11 A. That's correct. That's our proposed
12 target area.

13 Q. You're hoping then to intersect the
14 fracture system with this wellbore?

15 A. That's correct.

16 Q. What information do you have on the
17 fracture orientation in the area?

18 A. Well, if we go to the next exhibit, No. 3,
19 we've constructed a structure map of the area.
20 Again, this map is on the top of that Cliff House
21 interval that was shaded yellow in the previous
22 exhibit. And first of all, regional dip in this area
23 is towards the northeast, but that dip is broken up
24 by a series of northeast-trending anticlinal and
25 synclinal noses. I believe that the fractures that

1 are present are related to these anticlinal and
2 synclinal noses, that by orienting our horizontal
3 borehole at the trajectory we're proposing, we should
4 be able to cross one of the synclinal axes and
5 hopefully encounter natural fractures that we believe
6 are developed in association with that nose.

7 Q. Anything else to present in conjunction
8 with Exhibit No. 3?

9 A. No.

10 Q. Could you just generally summarize your
11 geologic conclusions for the examiner?

12 A. Again, the Cliff House interval that we've
13 proposed to target in our horizontal well laterally
14 continues through the area, and that we believe there
15 are local enhancements and permeability attributed to
16 natural fracture development and that the horizontal
17 borehole would significantly improve the probability
18 of encountering those natural fractures over
19 conventional vertical completions. And that by
20 orienting our trajectory as such, we hope to
21 encounter those fractures and hopefully improve
22 recovery in the area.

23 Q. Mr. Pasternack, did you prepare Exhibit 3?

24 A. Yes, I did.

25 Q. Did you prepare the geological portions of

1 Exhibit No. 2?

2 A. Yes, sir.

3 MR. CARR: At this time, Mr. Examiner, we
4 would move the admission of those Exhibits 2 and 3.

5 EXAMINER CATANACH: Exhibits 2 and 3 will
6 be admitted as evidence.

7 MR. CARR: That concludes my direct
8 examination of this witness.

9 EXAMINATION

10 BY EXAMINER CATANACH:

11 Q. Mr. Pasternack, your fracture orientation
12 would be in the northeast direction, wouldn't it?

13 A. That's correct.

14 Q. Along with the same line as the dip?

15 A. Yes. And parallel to the anticlinal and
16 synclinal axes that we've mapped in the area.

17 Q. How did you determine that that was the
18 case, that that was the direction of the fractures?

19 A. Additional pieces of evidence that we had
20 in the area. Amoco drilled in 1993 a well in the
21 northwest quarter of Section 27. It's not on this
22 map. It's currently a Dakota producer.

23 In that well we did run a fracture
24 identification log that indicated the orientation of
25 fractures as the northeast.

1 Q. Is the Cliff House, is that the main
2 producing interval in this area?

3 A. It is one of the producing intervals. The
4 Point Lookout is also typically completed in this
5 area.

6 Q. Why are you guys just targeting the Cliff
7 House?

8 A. I can't say that there's a specific reason
9 other than in this area, it is well-developed and
10 continuous.

11 EXAMINER CATANACH: That's all I have of
12 the witness, Mr. Carr.

13 MR. CARR: At this time, Mr. Catanach, we
14 would call Bill Hawkins.

15 JAMES WILLIAM HAWKINS,
16 the witness herein, after having been first duly
17 sworn upon his oath, was examined and testified as
18 follows:

19 EXAMINATION

20 BY MR. CARR:

21 Q. State your name and place of residence.

22 A. James William Hawkins, Denver, Colorado.

23 Q. By whom are you employed and in what
24 capacity?

25 A. Amoco Production Company as petroleum

1 engineer.

2 Q. Have you previously testified before this
3 Division?

4 A. Yes, I have.

5 Q. At the time of that testimony, were your
6 credentials as a petroleum engineer accepted and made
7 a matter of record?

8 A. Yes.

9 Q. Are you familiar with the application
10 filed in this case?

11 A. Yes, I am.

12 Q. And are you familiar with the proposed
13 Gartner A Well No. 2R?

14 A. Yes, I am.

15 MR. CARR: Are the witness's
16 qualifications acceptable?

17 EXAMINER CATANACH: They are.

18 Q. (BY MR. CARR) Has horizontal drilling in
19 the area of this project been previously approved by
20 the Division?

21 A. Not in this spacing unit, no, but in the
22 general area it has previously been approved. Down
23 in Section 34, there is a horizontal well in the
24 Mesaverde.

25 Q. What is the reason for this particular

1 application?

2 A. The reason for this application is to
3 hopefully help us encounter some fracture intensity
4 in this area that will improve the ultimate recovery
5 of the wellbores in the Mesaverde within this spacing
6 unit.

7 Q. Is this a relatively low-pressured portion
8 of the pool?

9 A. Yes, it is.

10 Q. Let's go to what has been marked as Amoco
11 Exhibit No. 4. Would you identify this and review it
12 for Mr. Catanach?

13 A. Yes. Exhibit No. 4 is a nine-section plat
14 that shows the Mesaverde wells in the area. It also
15 identifies the spacing unit for the Gartner A-2 and
16 2-A that we'll be drilling the horizontal well in,
17 and it shows the cumulative productions through
18 October of '93 for the wells in this area.

19 And as you can see, the majority of these
20 wells are -- the older wells are probably 6 Bcf, 5 to
21 6 Bcf-type wells. The infill wells are about 2 Bcf
22 type cumulative recovery, but there are a couple of
23 notable exceptions.

24 Specifically, up in Section 22, the Howell
25 K 2-A well is a 25.8 Bcf cum recovery well to date.

1 We believe that is evidence that there is some
2 fracture intensity in this area that would lead to
3 increased ultimate recoveries. And that's the type
4 of improvement in production that we are seeking to
5 find with our horizontal well.

6 Q. Do you believe under this acreage in fact
7 there are hydrocarbons to be recovered and then to be
8 developed with the horizontal wellbore?

9 A. Yes, we do.

10 Q. Do you expect there will be any drainage
11 from the offsetting tracts if your proposal is
12 granted and the well drilled?

13 A. I would anticipate that there would not be
14 substantial drainage. As you can see, the wells
15 surrounding the Howell K 2-A appear to be fairly
16 indicative of the rest of the wells in the area. So
17 I would say that they're not being adversely affected
18 by that high cum production well.

19 Q. The well will, in any event, be at least a
20 standard setback from the outer boundary of the
21 spacing?

22 A. That's correct.

23 Q. Let's go to Exhibit No. 5. Would you
24 identify and review that, please.

25 A. Yes. Exhibit 5 is a similar Exhibit to

1 the one in 4. What we're showing there are some
2 expected ultimate recoveries from these wells just
3 based on decline curve analysis.

4 And, again, you can see up in Section 22
5 the Howell K 2-A well is expected to have an ultimate
6 recovery of about 44 Bcf, further indicating that
7 there's good probability of fractures in this area.

8 Q. Let's go on now to Exhibit No. 6, your
9 economic information. Would you review that?

10 A. Yes. Exhibit 6 is just an economic
11 analysis for this horizontal well. We have a
12 projected cost of about \$725,000 for the horizontal
13 well, expected recovery of 3 Bcf, with an initial
14 potential of 1.4 million cubic feet per day, and this
15 gives a present value of 0 of \$1.3 million and a PW
16 15 of \$297,000; rate of return, 34 percent.

17 And these are just some, I would say,
18 reasonable expectations. We would hope that we would
19 come out with something even substantially greater
20 than this.

21 Q. In your opinion, will approval of this
22 application be in the best interest of conservation,
23 the prevention of waste, and the protection of
24 correlative rights?

25 A. Yes.

1 Q. Were Exhibits 4 through 6 prepared by you
2 or under your direction?

3 A. Yes, they were.

4 MR. CARR: At this time, Mr. Catanach, I
5 move the admission of Amoco Exhibits 4 through 6.

6 EXAMINER CATANACH: Exhibits 4 through 6
7 will be admitted as evidence.

8 Q. (BY MR. CARR) And, Mr. Hawkins, Amoco
9 will be calling the drilling engineer to review the
10 actual drilling proposal; is that correct?

11 A. That's correct.

12 MR. CARR: That's all I have of this
13 witness.

14 EXAMINATION

15 BY EXAMINER CATANACH:

16 Q. Mr. Hawkins, do you know what the A-2 is
17 currently producing?

18 A. I think I have some information on that.
19 Let me take a quick look. It looks like the average
20 rate over the last year has been almost 3 million
21 cubic feet per day.

22 Q. Do you know if the A-2 is perforated in
23 all three of the producing zones?

24 A. I believe it's perforated in the Lewis
25 Shale or the Chacra interval, somewhat above the

1 Cliff House, and I believe that was based on some
2 shows that when it was drilled, they indicated they
3 encountered some fractures and went in and completed
4 in that interval. It's considered the Mesaverde, but
5 it's not in the Cliff House or the Point Lookout.

6 Q. So there's probably a lot of potential for
7 that northeast quarter for Mesaverde production?

8 A. In our spacing unit, you mean? We think
9 there is, and we think that just the fact that
10 there's a well so close in this proximity that has
11 that kind of potential and expected recovery would
12 indicate that we should be trying to evaluate our
13 property for the same kind of a wellbore.

14 Q. Did Amoco drill that horizontal well in
15 Section 34?

16 A. No. I believe that's a Meridian well.

17 Q. Do you know how that well turned out?

18 A. Right offhand, I don't, but I might have
19 some information on that in my notes.

20 It's Section 34. I can't really tell if
21 that's the No. 5, how No. 5 appears. It says that
22 it's making about 350 Mcfd on average, but it may
23 have had some improvement since that time.

24 Q. Mr. Hawkins, do you really know why the
25 horizontal portion is just going to be limited to the

1 Cliff House?

2 A. Well, I think the reason we're higher up
3 in the Mesaverde in this case is because of the
4 production from the Howell K 2-A being up in the
5 Lewis Shale above the Mesaverde interval, we felt
6 like it was a better opportunity to encounter that
7 fracture intensity in this area up in the upper
8 portions of the Mesaverde, and that we're hoping to
9 find some fractures in that vicinity; and if we still
10 feel like we want to keep it into one of the main
11 sand intervals in the event we don't encounter some
12 of the fractures. So the Cliff House was the best
13 resolution for those objectives.

14 Q. What are you guys going to do with the
15 A-2?

16 A. Well, at this point, that well is
17 producing only on compressor. It does not produce
18 without that additional help. When we filed the
19 application, we originally were planning to just
20 replace that well with this horizontal well, but we
21 may want to keep our options open a little bit and
22 consider trying to produce that well also.

23 I think what we'll have to do is take a
24 look at how the horizontal well turns out, and then
25 come back to the Division on what our plans will be

1 with the A-2 well.

2 The A-2 well, from my understanding,
3 produces about 200 Mcfd under compression and has not
4 really produced during the last year. It will only
5 produce with the current compression.

6 Q. I'm sorry, that's the A-2 well?

7 A. Yes.

8 Q. I thought you had testified -- earlier
9 when I had asked you about the A-2, were you
10 referring to the 2-A that was actually producing 3
11 million a day?

12 A. No, I'm sorry. That was the Howell K
13 2-A. I thought you were asking about the high
14 productivity well. Our A-2 well has not been
15 producing hardly anything at all.

16 Q. 200 Mcf per day?

17 A. Yes.

18 Q. Are you at this time asking for any
19 special allowable considerations, or how do you
20 propose to do the allowable for this unit?

21 A. Well, my understanding on these horizontal
22 wells is that we are treating them as the well in the
23 northeast quarter which has the highest
24 deliverability would be used as the well from that
25 quarter for its allowable calculation.

1 We would anticipate that the new
2 horizontal well will be the well that contributes its
3 deliverability to the allowable. But, as I said, we
4 may want to keep that A-2 well, even though it's a
5 very small producer, if there's no other alternatives
6 for using that wellbore, we may want to try to
7 continue, if it's economic, to produce it as a third
8 well in the spacing unit but certainly not exceed the
9 allowable for the spacing unit.

10 Q. I don't recall how we did it last time, or
11 in previous cases we've used -- is it we've used the
12 deliverability generally of the horizontal well?

13 A. Well, it's usually the higher
14 deliverability. So that would be one of the wells in
15 the spacing unit. And then you take the well from
16 the other quarter section, I believe, for the other
17 deliverability.

18 Q. And add them?

19 A. And add them.

20 Q. Do you know what the 2-A well is producing
21 on the southeast quarter?

22 A. About 500 Mcfd.

23 EXAMINER CATANACH: I have nothing
24 further, Mr. Carr.

25 MR. CARR: That's all we have of this

1 witness.

2 BRAD BILYEU,
3 the witness herein, after having been first duly
4 sworn upon his oath, was examined and testified as
5 follows:

6 EXAMINATION

7 BY CARR:

8 Q. Will you state your name for the record,
9 please.

10 A. Brad Bilyeu, B-I-L-Y-E-U.

11 Q. Where do you reside?

12 A. Denver, Colorado.

13 Q. By whom are you employed?

14 A. By Amoco Production Company as a contract
15 drilling engineer for the San Juan Basin.

16 Q. Mr. Bilyeu, have you previously testified
17 before this Division?

18 A. No, sir.

19 Q. Would you briefly review your educational
20 background and work experience for Mr. Catanach?

21 A. I have a B.S. Degree from the Montana
22 School of Mines in 1963. I spent five years with
23 major oil companies in Illinois and Wyoming, seven
24 years with an independent in Wyoming and Colorado,
25 primarily working in Wyoming, Utah, and Colorado.

1 And then in the last 20 years I've been an
2 independent consultant for various oil companies,
3 independents and majors, approximately 50 percent of
4 the time was working with Amoco in the oversize area
5 in the Four Corners.

6 Q. This work with Amoco has been as a
7 drilling engineer?

8 A. Drilling engineer and supervisor and
9 supervision, primarily.

10 Q. Have you testified in other states before
11 regulatory agencies?

12 A. Yes, sir, in Wyoming and Colorado.

13 Q. Are you familiar with the application
14 filed in this case on behalf of Amoco?

15 A. Yes.

16 Q. Are you familiar with the Gartner A-2R
17 proposed well?

18 A. Yes.

19 MR. CARR: We would tender Mr. Bilyeu as
20 an expert witness and drilling engineer.

21 EXAMINER CATANACH: Mr. Bilyeu is so
22 qualified.

23 Q. (BY MR. CARR) Why don't we go, Mr.
24 Bilyeu, to the portion of Exhibit No. 2 that contains
25 the schematic for the horizontal wellbore. I would

1 ask you to refer to this exhibit, and using this
2 exhibit, review Mr. Catanach exactly how Amoco
3 proposes to drill this well?

4 A. We propose to drill a new well from grass
5 roots as the existing A-2 well is mechanically
6 unusable. We would set surface casing at
7 approximately 300 to 400 feet, 11-3/34 inch.

8 We would then drill with mud to
9 approximately 3,175 or 150 feet into the Lewis Shale
10 and set 8-5/8's intermediate casing. A 7-7/8 inch
11 vertical hole would then be drilled to approximately
12 4,300 feet. We don't have a plat on the new
13 location; so I don't know exactly the tops.

14 At any rate, at approximately 4,300 feet
15 we would begin a 14 degree per 100 medium radius
16 build with downhole motor and MWD equipment. We
17 would be drilling with air and a nitrogen membrane
18 unit at this time to prevent downhole combustion.

19 We would continue that radius to
20 approximately 4,700 feet or 15 or 20 feet into the
21 top of the Cliff House, a member of the Mesaverde, at
22 which time we would have a horizontal displacement of
23 approximately 400 feet from the vertical, and
24 continue that in an approximate 135 to 145 degree
25 azimuth throughout to stay within the legal drilling

1 window.

2 And we would carry that hole approximately
3 1,100 feet horizontally, giving a total displacement
4 of approximately 1,500 feet in the hopes of
5 encountering the anticipated fracture system.

6 If possible, we would probably direct it
7 more towards the 149 degree azimuth, giving us
8 additional legal window to drill in. At the end of
9 the drilling, we would determine what type of
10 completion production casing we would want to run,
11 probably 5-1/2 inch liner or a 5-1/2 inch long string
12 with a slotted bottom.

13 I am in the process of researching
14 Meridian's horizontal wells, and we may wish to
15 increase the size of the casing to 13-3/8, 9-5/8,
16 such that we could set a 7 inch liner at the top of
17 the Cliff House.

18 And our costs are predicated on this
19 scenario. It would be an additional \$100,000 or so
20 to run the larger casing, but it may be necessary.
21 We will determine that at a later date, I guess.

22 Q. At the conclusion of the drilling of this
23 well, will Amoco run the directional survey on the
24 well and provide a copy of that survey to the Oil
25 Conservation Division?

1 A. Yes, sir.

2 Q. Was this portion of Exhibit No. 2 prepared
3 by you?

4 A. Yes.

5 Q. How soon is Amoco hoping to commence this
6 project?

7 A. Approximately 30 to 60 days after
8 receiving approval from the Commission?

9 A. Do you have anything further to add to
10 your testimony?

11 A. No.

12 MR. CARR: That concludes my direct
13 examination of this witness. Exhibit 2 has
14 previously been admitted into evidence.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Bilyeu, have you drilled a horizontal
18 well in the San Juan Basin?

19 A. No, sir, I have not.

20 Q. Have you drilled a horizontal well?

21 A. No, sir, I have not. I've drilled some
22 high angle wells, 50 degrees, thereabouts.

23 Q. Are you aware of any mechanical problems
24 that might be associated with drilling one of these
25 wells?

1 A. I've researched to the best of my ability,
2 and yes, there are -- can be mechanical problems, and
3 that's one reason we didn't want to try and intersect
4 the Point Lookout, I guess, in that we're afraid to
5 drop the -- change the angle because of the friction
6 involved there.

7 EXAMINER CATANACH: I have nothing
8 further, Mr. Carr.

9 MR. CARR: That concludes our presentation
10 in this case.

11 EXAMINER CATANACH: There being nothing
12 further, Case 10953 will be taken under advisement.

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)


I, Deborah O'Bine, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that I caused my notes to be transcribed under my personal supervision, and that the foregoing transcript is a true and accurate record of the proceedings of said hearing.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL, May 4, 1994.

Deborah O'Bine

DEBORAH O'BINE
 CCR No. 63



I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 10953, heard by me on April 14, 1994.

Daniel Catant, Examiner
 Oil Conservation Division