

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
COMMISSION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 10,960
APPLICATION OF MEWBOURNE OIL)
COMPANY)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS
COMMISSION HEARING

BEFORE: WILLIAM J. LEMAY, CHAIRMAN
WILLIAM WEISS, COMMISSIONER
JAMI BAILEY, COMMISSIONER - 2 1994

August 11, 1994
Santa Fe, New Mexico

This matter came on for hearing before the Oil
Conservation Commission on Thursday, August 11, 1994, at
Morgan Hall, State Land Office Building, 310 Old Santa Fe
Trail, Santa Fe, New Mexico, before Steven T. Brenner,
Certified Court Reporter No. 7 for the State of New Mexico.

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

August 11, 1994
Commission Hearing
CASE NO. 10,960

PAGE

APPEARANCES 3

APPLICANT'S WITNESSES:

KEVIN MAYES

Direct Examination by Mr. Bruce	6
Examination by Commissioner Bailey	19
Examination by Commissioner Weiss	21
Examination by Chairman LeMay	24
Further Examination by Commissioner Weiss	30
Further Examination by Commissioner Bailey	30
Further Examination by Commissioner Weiss	31

REPORTER'S CERTIFICATE 33

* * *

E X H I B I T S

Identified	Admitted
------------	----------

Exhibit 1	8	19
Exhibit 1A	13	19
Exhibit 2	14	19
Exhibit 3	15	19
Exhibit 4	16	19

* * *

A P P E A R A N C E S

FOR THE APPLICANT:

HINKLE, COX, EATON, COFFIELD & HENSLEY
218 Montezuma
P.O. Box 2068
Santa Fe, New Mexico 87504-2068
By: JAMES G. BRUCE

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 WHEREUPON, the following proceedings were had at
2 9:00 a.m.:

3 CHAIRMAN LEMAY: Good morning. This is the Oil
4 Conservation Commission and my name is Bill LeMay, and with
5 me is Commissioner Jami Bailey, representing the
6 Commissioner of Public Lands, and Commissioner Bill Weiss.

7 We shall call Case Number 10,960, which is the
8 Application of Mewbourne Oil Company for approval of a
9 waterflood project and qualification for the recovered oil
10 tax rate, Lea County, New Mexico.

11 Appearances in this case?

12 MR. BRUCE: Mr. Chairman, Jim Bruce from the
13 Hinkle law firm in Santa Fe, representing the Applicant.

14 I have one witness to be sworn.

15 CHAIRMAN LEMAY: Thank you, Mr. Bruce.

16 If the witness will please stand and raise his
17 right hand.

18 (Thereupon, the witness was sworn.)

19 CHAIRMAN LEMAY: You may continue -- Or you may
20 start, Mr. Bruce.

21 MR. BRUCE: Mr. Chairman, members of the
22 Commission, in a companion case at the Division level,
23 10,959, Mewbourne Oil Company statutorily unitized
24 approximately 1400 or 1500 acres of land for a Queen
25 formation waterflood.

1 In Case 10,960 -- and I've given each of you a
2 copy of the Order, R Number 10,151, issued in that case --
3 Mewbourne sought approval of its waterflood project for the
4 unit and also application for the recovered oil tax rate.

5 The order in front of you generally granted
6 Mewbourne's request, but it did deny three of Mewbourne's
7 specific requests.

8 Number one, Mewbourne had requested unlined
9 tubing. That was denied.

10 Item number two, Mewbourne had requested
11 injection pressures, initial injection pressures, in excess
12 of the standard .2 p.s.i. per foot, which the Division
13 normally imposes on injection wells.

14 And thirdly, Mewbourne had sought to limit
15 remedial work on certain wells in the area of review of the
16 injection wells.

17 Mewbourne no longer requests relief regarding the
18 injection pressures; it will abide by the Order. And it
19 has also agreed to do certain remedial work on the wells in
20 the area of review. So those two are no longer at issue.

21 Today we are only here seeking for approval for
22 unlined tubing for the injection program. And with your
23 permission I would only have Mr. Mayes, our witness,
24 testify as to the need for unlined tubing and limit
25 testimony to that issue.

1 Of course, if you have any other questions on the
2 waterflood itself, we'd be glad to have Mr. Mayes testify
3 on those issues.

4 CHAIRMAN LEMAY: Fine. It's my understanding and
5 that of the Commission that all aspects of the Order were
6 acceptable except for that one issue --

7 MR. BRUCE: One issue.

8 CHAIRMAN LEMAY: -- that we're here to re-hear,
9 which is the one requesting you to plastic-line the tubing
10 on injection well.

11 MR. BRUCE: That's correct.

12 CHAIRMAN LEMAY: Okay, please proceed.

13 KEVIN MAYES,

14 the witness herein, after having been first duly sworn upon
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. BRUCE:

18 Q. Mr. Mayes, would you please state your name and
19 city of residence for the record?

20 A. Yes, my name is Kevin Mayes, and I reside in
21 Tyler, Texas.

22 Q. And have you previously testified before the Oil
23 Conservation Division or the Commission as an expert
24 petroleum engineer?

25 A. Yes, I have.

1 Q. Are you the person who is in charge of
2 engineering matters related to the proposed waterflood
3 operation?

4 A. Yes, I am.

5 Q. And are you familiar with all matters related to
6 the issue today, the unlined tubing?

7 A. Yes, I am.

8 Q. And what is your position at Mewbourne Oil
9 Company?

10 A. I'm project manager for the Querecho Plains
11 waterflood installation.

12 Q. And do you also perform similar functions with
13 respect to other waterfloods for which Mewbourne is the
14 operator?

15 A. Yes, I do.

16 MR. BRUCE: Mr. Chairman, is the witness
17 considered acceptable?

18 CHAIRMAN LEMAY: His qualifications are
19 acceptable.

20 Q. (By Mr. Bruce) Mr. Mayes, would you first
21 identify Mewbourne's Exhibit 1 and discuss the corrosion
22 rates observed over the past nine months at the Querecho
23 Plains injection facility?

24 And to preface this, underlying the proposed
25 Queen waterflood there is a Bone Spring waterflood operated

1 by Mewbourne Oil Company. Approval for that waterflood was
2 granted about a year ago, and basically the same facilities
3 will be used for both waterfloods, and therefore Mewbourne
4 does have some experience, that nine months of experience
5 of injection already.

6 Go ahead, Mr. Mayes.

7 A. Does the Commission understand that these two
8 reservoirs underlie the same geographic area and the Queen
9 is a shallower area and the Bone Springs a deeper
10 formation?

11 CHAIRMAN LEMAY: (Nods)

12 THE WITNESS: But we have a waterflood that has
13 been in operation in the Bone Spring for nine months, and
14 we are about ready to start this Queen waterflood. The
15 injection facilities on the surface are going to supply
16 both of these waterfloods. Okay? All right.

17 Okay. Exhibit Number 1 is a letter with
18 attachments that I sent to Hearing Examiner Morrow on July
19 27th, 1994. Mr. Morrow was the Examiner of record for
20 Order Number 10,151. This letter was sent to document
21 three things:

22 One, that the subject water system will supply
23 both the ongoing Querecho Plains-Bone Spring waterflood and
24 the upcoming Queen waterflood, which is the topic of
25 today's hearing.

1 Number two, the system already contains a large
2 percentage of produced water that is supplying the Bone
3 Spring flood.

4 And three, the corrosion rates associated with
5 this system have been exceptionally low over the past nine
6 months.

7 Q. (By Mr. Bruce) Mr. Mayes, let me interrupt.

8 Now, the Bone Spring, the underlying Bone Spring
9 waterflood, that does have approval for unlined tubing; is
10 that correct?

11 A. That's correct.

12 Q. Go ahead.

13 A. We've numbered the pages of this exhibit so that
14 we might quickly go through them page by page.

15 Pages 1 and 2 are simply the text of the letter,
16 and I'll leave that to your reading enjoyment.

17 Pages 3 through 13 contain a copy of Order Number
18 R-10,151, and I'd like to refer the Commission to page 6,
19 if I could. Finding 13 on that page is the finding
20 associated with the --

21 Q. That's page -- ?

22 A. Is it page 6, Jim?

23 Q. It's page 4 of the Order itself.

24 A. Okay, page 6 of the letter with its attachment,
25 page 6 of the exhibit.

1 Finding Number 13, I believe, is at the bottom of
2 that page, and that's the finding that deals with whether
3 to coat the tubing or not to coat the tubing.

4 And the second sentence of that finding states or
5 infers that the produced water is going to be more
6 corrosive than the fresh water that is being supplied to
7 our flood by the City of Carlsbad.

8 As we go on through the attachments of this
9 letter, the last two attachments are going to be plots of
10 corrosion rate versus time, and we're going to see one
11 point on those plots that's significantly higher than the
12 other points. And what we hypothesize caused that higher
13 corrosion rate was actually dissolved oxygen in the fresh
14 water being supplied from the City of Carlsbad.

15 So I just bring this to the Commission's
16 attention because to make the statement that our produced
17 water was going to be more corrosive than our fresh water
18 is a little misleading, and it may be a little inaccurate.

19 Anyway, to continue, pages 14 through 16 of the
20 exhibit are excerpts from the transcript from our first
21 hearing in this case, which occurred on April 28th, 1994,
22 which discusses the merits of not coating the tubing and
23 was supplied for Mr. Morrow's convenience.

24 Now, to get on to more of the meat of the matter,
25 pages 17 through 22 of the exhibit are monthly injection

1 reports for the existing Querecho Plains-Bone Spring
2 waterflood. Again, this same water is going to supply the
3 Queen waterflood whenever it started up.

4 At the bottom of these reports are the sources of
5 the waters coming into the system. The Double Eagle water
6 is the source of fresh water supplied by the City of
7 Carlsbad, and the, quote, QPBSSU, is the Bone Spring-
8 produced water that's being recycled through the system.
9 All other waters are Delaware-produced waters that are
10 coming in from various other operations in the area.

11 As can be seen on page 17, during the month of
12 June, only 34 percent of the water going through the system
13 was fresh, and the corrosion rate associated with this
14 period was less than .5 mils per year, as will be shown in
15 the upcoming attachments.

16 Let me repeat that. That's a half of one mil per
17 year corrosion rate. That's exceptionally low.

18 If we can go on, page 23 is an analysis from
19 January, 1993, on the Government K Number 2 Well, showing a
20 corrosion rate of 1.68 mils per year. This was taken when
21 we were testing the injectivity of the Bone Spring. We
22 hadn't even unitized the Bone Spring yet. We were just
23 testing that reservoir for injectivity, and we were using
24 100-percent produced water to run that injectivity test
25 with.

1 Q. From what formation?

2 A. It's Delaware formation water, produced water.
3 And that's where we -- and that was -- The bulk of our
4 testimony at the Bone Spring hearing to obtain permission
5 for unlined tubing was obtained from this 1.6 mils per
6 year.

7 So the Division allowed us uncoated tubing based
8 on corrosion rates of 1.6 mils per year, and now we have
9 corrosion rates of .5 mils per year, and the Division is
10 requesting us to coat our tubing.

11 To move on to the final two attachments, pages 24
12 and 25 are the plots we've discussed of corrosion rates
13 versus time at two locations on the system. Again, note
14 that in June of 1994 we had less than .5 mils per year
15 corrosion rate.

16 And as stated in the text of the letter, if the
17 average corrosion rate from all these corrosion analyses is
18 extrapolated over the life of our Queen waterflood, the
19 tubing wall thickness is going to stay within API
20 specifications.

21 And I've brought along a little show-and-tell for
22 you guys to kind of let you visualize what you're talking
23 about here. Now, I might want to pass these around to you
24 guys, but I have some feeler gauges, and what I want to
25 show you is, this group of feeler gauges as a group

1 represents the tubing wall thickness of 2-3/8-inch tubing
2 as it's supposed to come out of the factory.

3 Q. How thick is it, approximately?

4 A. It is .20 inches.

5 And then the next exhibit that we have, Exhibit
6 1A, is a copy of the page from the API specification
7 booklet, and approximately two-thirds of the way down the
8 left-hand side, at the bottom of that column of text, is a
9 statement that the API will allow manufacturers to ship
10 tubing, even if the pipe wall thickness is missing 12.5
11 percent. Okay?

12 So this is the tubing wall thickness on 2-3/8-
13 inch tubing, and this is the accuracy that API will allow
14 them when they ship new pipe. And again, we probably want
15 to pass these around so you can get a better look at them.
16 Okay.

17 Now, if we extrapolate our corrosion rates over
18 the life of the Queen flood, we're talking about eight mils
19 of metal lost to the tubing, and that's this feeler gauge.
20 So here's what the API will allow manufacturers, and here's
21 the amount of corrosion we're expecting over the life of
22 our Queen waterflood.

23 Q. So it would still qualify as API new tubing?

24 A. New tubing, yes, sir, it would.

25 If you gentlemen want a closer look at these,

1 I'll be more than happy to pass them around to you, or if
2 not we can move on to the next set of exhibits.

3 MR. BRUCE: Okay --

4 CHAIRMAN LEMAY: They're going to be included in
5 the record, are we?

6 THE WITNESS: Well, we weren't going to --

7 MR. BRUCE: We can, but they're hard to mark, Mr.
8 LeMay.

9 THE WITNESS: If you would like, we certainly
10 can.

11 Q. (By Mr. Bruce) Mr. Mayes, why don't you move on
12 to Exhibit 2 and discuss the corrosion inhibition program
13 which you are using out there right now and which you
14 intend to continue to use.

15 A. All right. Exhibit Number 2 is an outline of the
16 corrosion inhibition company that Mewbourne Oil Company as
17 the operator of the subject facilities has in place.

18 The outline states Mewbourne is treating and has
19 been treating the water with from one to two gallons of
20 chemical per thousand barrels of water during the past nine
21 months. It is Mewbourne Oil Company's intention to
22 continue treating the water with concentrations of chemical
23 it deems necessary to keep corrosion rates at their current
24 low levels. The chemical being used is a water-soluble,
25 film-building amine-based product. This product actually

1 builds a film on the pipe wall that inhibits corrosion.

2 Q. Would you then move on to Exhibit 3 and discuss
3 the life of your proposed Queen waterflood?

4 A. Exhibit 3 is a plat of the Querecho Plains area.
5 The bold dashed line represents the unit boundary for the
6 Queen unit. And in order to keep the confusion at a
7 minimum concerning the short life of this flood, the
8 numbered arrows represent three locations where injection
9 has already occurred into the unitized formation.

10 The number 1 location is where a casing leak
11 caused dump-flooding of fluids into the Queen from
12 September of 1987 to July of 1990, i.e., three years of
13 injection.

14 Location number 2 was an inverted five-spot lease
15 flood where injection occurred only 330 feet south of the
16 unit boundary from November of 1976 to March of 1986, i.e.,
17 ten years of injection.

18 Location number 3, an existing pressure
19 maintenance project with injection occurring in the
20 southeast quarter, southeast quarter of Section 21 from
21 December of 1991 to the present, i.e., three and a half
22 years of injection.

23 As a result, our Querecho Plains-Queen waterflood
24 is designed merely to augment the injection which has
25 already occurred. And as noted before, our waterflood is

1 estimated to have a life of five and a half years.

2 Q. Fairly short life?

3 A. That's correct.

4 Q. Would you then move on to Exhibit 4 and discuss
5 the tubing failure rates in offsetting or surrounding Queen
6 injection projects?

7 A. Exhibit 4 is, again, a plat of the Querecho
8 Plains unit and the surrounding area. Numbers 1 through 5
9 are locations where injection has occurred.

10 Number 1 is the Pearsall-Queen waterflood,
11 installed by Anadarko and operated by Larue and Muncy since
12 1984. In talking to C.E. Larue, said waterflood has never
13 been plastic-coated, and they do not have excessive tubing
14 failure rates, and they do not treat with an excessive
15 amount of chemicals. And reviewing the NMOCD files since
16 1981 when records were kept, the Pearsall waterflood has
17 had injectors fail mechanical integrity tests seven times.

18 Location number 2 is the Young-Queen waterflood,
19 operated by Yates Petroleum since 1984. And per Yates
20 Petroleum, Newmont Oil, the initial operator, did plastic-
21 coat all the injectors. Yates does not experience
22 excessive failures and does not use excessive amount of
23 chemical. However, in reviewing the NMOCD files since 1981
24 again, their injectors have shown failure of mechanical
25 integrity tests on five occasions.

1 Location Number 3 is the Anadarko federal lease
2 flood, which was installed by and operated by Lewis
3 Burleson. And per conversation with Lewis Burleson
4 representatives, they injected through uncoated pipe for
5 ten years before they had a tubing leak. This is verified
6 in the NMOCD records again. And of note, the injection was
7 discontinued at that location at that time.

8 Location Number 4 is an abandoned Cinco de Mayo
9 lease flood, installed and operated again by Lewis
10 Burleson. Well, actually it's now operated by BTA, even
11 though the injector is plugged. This injector was plastic-
12 coated, and there were no failures of mechanical integrity
13 tests in the records.

14 Location Number 5 is the French 9004 JV-P Number
15 3 Well, operated by BTA as a water disposal well. This
16 well actually disposes of Wolfcamp-produced water. And I
17 have no conformation on this, but BTA suggests to me that
18 this water is more corrosive than Queen or Bone Spring or
19 Delaware waters. But it's interesting in that it was
20 installed in July of 1992, it was ceramic- -- the tubing
21 was ceramic-coated and the packer was nickel-coated, and
22 that well just had to be pulled recently, after two years
23 of operations, due to a tubing collar leak.

24 Q. So based on what you've seen, there's really no
25 correlation between failure rates and whether the tubing is

1 unlined or lined?

2 A. That's correct.

3 Q. Would you summarize Mewbourne's request?

4 A. Yes, in summary, Mewbourne requests that the
5 Commission reverse the portions of Order R-10,151,
6 requiring plastic-coated tubing, based on:

7 One, the waters used in the source system are
8 already composed of a significant amount of produced water.

9 Two, the corrosion rates associated with that
10 system over the last nine months are minimal, and the
11 tubing should stay within API specifications throughout the
12 life of the Queen waterflood.

13 Three, Mewbourne has and will continue to treat
14 the water with corrosion inhibitors.

15 And four, the offset operations suggest that
16 lining your tubing or not lining your tubing has a minimal
17 effect on tubing failures.

18 Q. Were Exhibits 1 through 4 prepared by you or
19 under your direction?

20 A. Yes, they were.

21 Q. And in your opinion, is the granting of
22 Mewbourne's request in the interests of conservation and
23 the prevention of waste?

24 A. Yes, it is.

25 MR. BRUCE: Mr. Chairman, I move the admission of

1 Exhibits 1 through 4.

2 CHAIRMAN LEMAY: Without objection, Exhibits
3 through 4 will be admitted into the record.

4 MR. BRUCE: And I have nothing further of Mr.
5 Mays at this time.

6 CHAIRMAN LEMAY: Questions? Commissioner Bailey?

7 EXAMINATION

8 BY COMMISSIONER BAILEY:

9 Q. One of your key points is that the Queen
10 waterflood has such low corrosion rates. Do you expect --
11 Has that injection volume stabilized, or was that still
12 during fill-up?

13 A. Okay, the Queen -- We have not injected anything
14 into the Queen yet. All the injection has occurred into
15 the Bone Springs.

16 Q. Okay, in the Bone Springs.

17 A. Yes. Yes, those rates, they started out at about
18 10,000 barrels per day, and have declined down to 2500
19 barrels per day at this point.

20 Q. So when these charts were done, were they in the
21 2500-barrel-per-day or were they still in the 10,000?

22 A. Well, they vary. As far as the dates on the plot
23 of corrosion rates versus time? Is that your question?

24 Q. My question is, is this a valid comparison
25 between what the Queen injection rates would be, as opposed

1 to the Bone Spring injection rates?

2 A. Yeah, the Queen injection is going to be lower
3 than the Bone Spring injection. In other words, the Bone
4 Spring, through 13 injection wells, started out at 10,000
5 barrels per day; and the Queen, through 10 injection wells,
6 is estimated to start out at 4000 barrels per day.

7 Q. Okay. The Bone Spring started out at 10,000.
8 During the period from May of 1994 to July of 1994, what
9 rate of injection was going on?

10 A. The May to June [sic], 1994, period I would
11 estimate we were injecting from 3000 to 3500 barrels of
12 water per day into the Bone Spring.

13 Q. And for the Queen you would expect it to go --
14 What did you say?

15 A. It should initiate at 4000 barrels per day and
16 decline down to 2000 barrels per day, probably in the first
17 year.

18 Q. So there is a significant difference.

19 The amine chemical that's used as the corrosion
20 inhibitor forms a film. Does this film plug up the perfs,
21 that you would have to go back in to clean out that film,
22 or --

23 A. No. No, it does not. What it does, it will coat
24 the sand grains to some degree after it gets through the
25 perfs and out into the reservoir, but it's not enough to

1 degrade injectivity.

2 COMMISSIONER BAILEY: I have no further
3 questions.

4 CHAIRMAN LEMAY: Thank you, Commissioner Bailey.
5 Commissioner Weiss?

6 EXAMINATION

7 BY COMMISSIONER WEISS:

8 Q. Yeah, I would just offer a comment here. I have
9 a couple questions too.

10 But on your -- The corrosion rates, they're based
11 on an average over an area; is that correct?

12 A. Well, they're based on corrosion coupons.

13 Q. And it's the weight loss over the entire area? I
14 guess you could have a hole right in the middle of it, of a
15 corrosion coupon, and still have a very low rate?

16 That's the famous story of the statistician,
17 drowned in the three-inch river.

18 A. I'm not a corrosion coupon expert, but I'll say
19 this: The way that is calculated, the mils per year is
20 based on the density of the material the corrosion coupon
21 is made out of and the weight loss of the coupon.

22 Q. Right, but it's over the entire coupon?

23 A. It's over the entire coupon.

24 Now, I've called up the contractor that handles
25 our corrosion coupons for us, and I've asked him, you know,

1 what does the physical appearance of the coupon look like
2 after you pull it out?

3 And he says that you can barely notice a
4 difference from the original coupon when you put it in.

5 So that's the statement I would offer.

6 Q. Okay. It wasn't clear to me: Is the fresh water
7 mixed with the salt water?

8 A. Yes, it is.

9 Q. And -- Okay. And then you had on Exhibit -- the
10 last one, Exhibit -- this one.

11 A. Uh-huh, 4.

12 Q. -- 4, yeah, you have these different casing
13 leaks. Was that -- What were the casing leaks due to? Was
14 that exterior to the casing or interior, or what causes the
15 casing to fail?

16 A. I don't believe I testified that they were casing
17 leaks.

18 Q. Oh, I thought I understood that.

19 A. No, what I --

20 Q. The dump flood business.

21 A. Oh, okay, I'm sorry, I apologize. That's Exhibit
22 3. That's location number 1 of Exhibit 3.

23 Q. Okay.

24 A. We do not operate that well, so I don't know
25 exactly the circumstances behind that casing leak. It

1 occurred at 760 feet, which is across from known salt
2 deposition.

3 Q. There's salt at 760 feet?

4 A. Yes, there is.

5 Q. Is it the same at the others, roughly?

6 A. Yes.

7 Q. Locations 1 and 2?

8 A. Yeah, you cut salt out at the Querecho Plains
9 location -- Oh, goodness, I'm not for sure. But you cut a
10 large amount of salt from 750 feet down to -- oh, I'll
11 throw out 1000 feet as a number. I'm not sure about that
12 number, but --

13 Q. But the dump floods that occurred at locations 1,
14 2 and 3 on Exhibit 3 were due to this salt corrosion or
15 something?

16 A. Okay, now the casing leak and the dump flooding
17 only occurred at location 1. Locations 2 and 3 were actual
18 injection operations.

19 Q. Ah. Was the casing leak repaired in number 1?

20 A. Yes, it was, in July of 1990.

21 Q. Is there any evidence of that casing leak
22 resulting in harm to the fresh water in the area?

23 Or, more importantly, is there any fresh water?

24 A. There is strata that is -- I believe it's
25 classified as containing possible potable water down to 700

1 We looked at some other floods, Caprock, Queen.
2 We've had lots of waterfloods in New Mexico.

3 A. Yes, sir.

4 Q. Do you know of any cases where we've not
5 authorized plastic-coated tubing?

6 A. Certainly, the Querecho Plains-Bone Spring.

7 Q. I said Queen floods.

8 A. Oh, Queen floods. Yes, sir, the -- Well, I have
9 the Division orders on the Pearsall flood, which we talked
10 about today. It was on -- It's Exhibit 4, location 1, and
11 there's -- Now, of course, these Division orders are
12 vintage 1965, and of course no mention is made of having
13 plastic-coated tubing at that time.

14 And like I say, they did not plastic-coat out
15 there, and there was, you know, similar failure rates to
16 Queen waterfloods that did plastic-coat.

17 Q. Have you looked at any other besides the Pearsall
18 Queen floods that have been authorized? Caprock Queen,
19 Mesa, Platform Queen, BK Queen? There's a whole bunch of
20 them that have been authorized.

21 A. Right. No, these are the only four that I really
22 -- or four or five that I really pursued, being that they
23 were in the immediate area.

24 One comment I would make is, is the Burluson
25 Anadarko federal Queen lease flood, which is on Exhibit 4

1 -- it's location 3, I believe, down south of our Queen unit
2 -- that was a single injection lease flood, single
3 injector.

4 And the way the Division order is phrased on that
5 injection is that as long as fresh water was being
6 injected, you would not require plastic coating. But
7 whenever produced Queen water was recirculated and
8 injected, at that time you would be required to plastic-
9 coat.

10 Q. Your source of water indicates it would be the
11 same source, I assume, as the Bone Spring flood?

12 A. That's correct.

13 Q. But what happens when you recirculate the Queen
14 water? Won't that change the composition so that you're
15 introducing Queen water into the injection composition?

16 A. Yes, we will. It is our belief, however, that --
17 The maximum amount of produced water we anticipate out of
18 our Queen flood is 500 barrels per day, and we feel like it
19 will be so diluted by the Bone Spring and Delaware produced
20 waters that the corrosion rates -- we will be able to keep
21 the corrosion rates low through chemical treating, even if
22 the Queen does prove to be corrosive, which, going back to
23 the Anadarko federal lease, they injected with uncoated
24 tubing for ten years before they had their first tubing
25 failure, and that was strictly -- you know, started out

1 with fresh water and then cycled Queen water over ten years
2 before they have a tubing failure.

3 So that would lead one to believe that this Queen
4 water is not that corrosive.

5 Q. You indicated your life of the flood was
6 something like five and a half years?

7 A. Five and a half years, yes, sir.

8 Q. That's not typical of all the Queen floods.
9 That's about a third the life of most floods I'm familiar
10 with.

11 A. That's correct, and that's why I wanted to pursue
12 Exhibit 3 with you where I talked about -- You know, we've
13 had so much energy pumped into this reservoir from the
14 three locations we talked about, where injection has
15 already occurred into the unitized formation.

16 The shortest period of injection was that dump
17 flood of water which occurred over three years. One could
18 almost extrapolate that onto the end of our five and a half
19 years and say we're talking about an eight-and-a-half-year
20 flood at least, if not more than that, due to the energy
21 that's already been pumped into the reservoir.

22 Q. How much would it cost you to plastic-coat
23 tubing? Buck and a half a foot?

24 A. A buck and a half a foot is a good estimate, yes,
25 sir.

1 Q. So it's a sizeable savings if you're --

2 A. Yes, sir. We're looking at ten injectors at 4000
3 feet, approximately, per injector. So yes, sir, it is a
4 sizeable savings.

5 Q. The Querecho Plains order, did the order
6 authorize you relief from plastic-coated tubing, or did it
7 leave that with the discretion of the district supervisor?

8 A. It released us from requiring plastic coating.

9 Q. In the event that you -- Is Mewbourne prepared to
10 shut her down after five and a half years because of
11 corrosion in the event you're still making pretty good oil
12 out there, or what? What happens in five and a half years?

13 A. I don't think I --

14 Q. Will you plastic-coat the tubing if you want to
15 go longer?

16 A. I think if the economics dictate that plastic
17 coating is the prudent thing to do at that point, we would
18 plastic coat, yes, sir.

19 Q. Economics or potential contamination? Economics
20 is a kind of a broad category. You might only get 10
21 percent on your money instead of 25 percent.

22 A. I guess I see those subjects as being pretty well
23 closely hand in hand. If we're going to get shut down for
24 potential contamination, then that's justification to
25 plastic-coat.

1 Q. What kind of safeguards could you offer the
2 Commission if we granted you relief from plastic coating?
3 What kind of testing or monitoring could you perform so we
4 could detect any leaks if and when they occur?

5 A. Well, that's -- And of course, that's also
6 stipulated in the Order. We will follow state rules, all
7 the 700 state rules, which require us to circulate an inert
8 fluid into the tubing casing annulus and inject under a
9 packer, to monitor that fluid that's in the tubing annulus,
10 and make sure it doesn't escape from that annulus, i.e., we
11 will monitor the pressure on the Bradenhead of that
12 annulus.

13 I'm trying to remember some of the other rules.

14 Basically, if -- And of course, we've got to go
15 and out and run mechanical integrity tests where we tie
16 into that tubing casing annulus at the Bradenhead and apply
17 -- I believe it's 500 p.s.i. of pressure to that annulus
18 and make sure the tubing casing and packer are not failing.

19 At any time if we see pressure on that
20 Bradenhead, due to a packer leak, tubing leak, casing leak,
21 we must immediately shut down injection, report to the
22 Hobbs Division Office and repair that leak before we
23 continue to inject.

24 Q. Do you really think you'll be out of there in
25 five and a half years?

1 A. We hope to be, I'll put it that way, yes, sir.

2 CHAIRMAN LEMAY: Additional questions of the
3 witness?

4 COMMISSIONER WEISS: Yeah, I have one.

5 Commissioner Weiss?

6 FURTHER EXAMINATION

7 BY COMMISSIONER WEISS:

8 Q. How often do you run the integrity test?

9 A. You run one when you first put the injection well
10 on, and then according to the regulations you run one every
11 five years after that.

12 COMMISSIONER WEISS: Okay. You'll be out of
13 there before you run your second test.

14 COMMISSIONER BAILEY: One more.

15 CHAIRMAN LEMAY: Commissioner Bailey?

16 FURTHER EXAMINATION

17 BY COMMISSIONER BAILEY:

18 Q. Have you located freshwater wells in the vicinity
19 of this unit so that we would know how far away any
20 freshwater wells are?

21 A. We were obligated to search the area two miles
22 around our unit boundary at our initial hearing, and we did
23 not find any freshwater wells in that two-mile area around
24 the unit boundary.

25 Q. Including windmills?

1 A. Yes, ma'am. Basically, I call the State
2 Engineer's Office and he gives me a report of every
3 freshwater well that has been attempted within that two-
4 mile area, and I go pull those records and review them.
5 And all of them have been dry and plugged and abandoned.

6 MR. BRUCE: Commissioner Bailey, the underlying
7 Bone Spring unit is a larger unit than the Queen unit, so
8 actually a larger area was searched even for that
9 application last year. So, you know, of greater areal
10 extent.

11 CHAIRMAN LEMAY: Commissioner Weiss?

12 FURTHER EXAMINATION

13 BY COMMISSIONER WEISS:

14 Q. Speaking of the Bone Springs unit, you put some
15 water in it for how long? Nine months now?

16 A. Nine months.

17 Q. Have you had an oil response?

18 A. No, actually we had a water breakthrough
19 response, which we're wrestling to reconcile at this point.
20 Apparently we have a small feed zone in the reservoir.

21 But no, we have not seen any oil response.

22 COMMISSIONER WEISS: No other questions. Thank
23 you.

24 CHAIRMAN LEMAY: Additional questions? If not,
25 the witness may be excused.

1 Thank you very much, Mr. Mayes, for your
2 testimony.

3 And thank you, Counsel, for a short, concise
4 hearing, short of even a coffee break here.

5 (Thereupon, these proceedings were concluded at
6 9:40 a.m.)

7 * * *

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF REPORTER

2


3 STATE OF NEW MEXICO)
) ss.
 4 COUNTY OF SANTA FE)

5

6 I, Steven T. Brenner, Certified Court Reporter
 7 and Notary Public, HEREBY CERTIFY that the foregoing
 8 transcript of proceedings before the Oil Conservation
 9 Commission was reported by me; that I transcribed my notes;
 10 and that the foregoing is a true and accurate record of the
 11 proceedings.

12 I FURTHER CERTIFY that I am not a relative or
 13 employee of any of the parties or attorneys involved in
 14 this matter and that I have no personal interest in the
 15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL August 15, 1994.

17 
 18 _____
 19 STEVEN T. BRENNER
 CCR No. 7

20

21 My commission expires: October 14, 1994

22

23

24

25

NEW MEXICO OIL CONSERVATION COMMISSION

COMMISSION HEARING

SANTA FE, NEW MEXICO

Hearing Date AUGUST 11, 1994 Time: 9:00 A.M.

NAME	REPRESENTING	LOCATION
Maurice Trimmer	R.W. Byram	SF
James Bruce	Hankle Law Firm	"
Kevin Wagner	Newbourne O.I.	Tyler, TX