

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
DIVISION FOR THE PURPOSE OF )  
CONSIDERING: ) CASE NO. 10748

APPLICATION OF YATES ENERGY CORPORATION  
-----

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING


BEFORE: David R. Catanach, Hearing Examiner

June 17, 1993

Santa Fe, New Mexico

This matter came on for hearing before the  
Oil Conservation Division on June 17, 1993, at the Oil  
Conservation Division Conference Room, State Land  
Office Building, 310 Old Santa Fe Trail, Santa Fe, New  
Mexico, before Deborah O'Bine, RPR, Certified Court  
Reporter No. 63, for the State of New Mexico.

**ORIGINAL**



## I N D E X

June 17, 1993  
Examiner Hearing  
CASE NO. 10748

## APPEARANCES

PAGE  
4

## YATES PETROLEUM CORPORATION'S WITNESSES:

BRENT MAY

Examination by Mr. Carr	7
Examination by Mr. Hall	19
Examination by Examiner Catanach	21
Examination by Mr. Bruce	24
Examination by Mr. Kellahin	25

DAVID F. BONEAU

Examination by Mr. Carr	26
Examination by Mr. Hall	36
Examination by Mr. Bruce	44
Examination by Examiner Catanach	45
Examination by Mr. Stovall	47
Further Examination by Examiner Catanach	49
Further Examination by Mr. Carr	50

## NEARBURG PRODUCING COMPANY'S WITNESSES:

JERRY ELGER

Examination by Mr. Hall	51
Examination by Mr. Carr	56
Further Examination by Mr. Hall	58
Examination by Examiner Catanach	58
Examination by Mr. Stovall	63

## REPORTER'S CERTIFICATE

69

## E X H I B I T S

## YATES PETROLEUM CORPORATION'S EXHIBITS:

	ID	ADMTD
Exhibit A	9	19
Exhibit 1	10	19
Exhibit 2	14	19
Exhibit 3	15	19
Exhibit 4	15	19
Exhibit 5	18	19
Exhibit 6	27	36
Exhibit 7	29	36

## NEARBURG PRODUCING COMPANY'S EXHIBITS:

Exhibit 1	52	56
-----------	----	----

## A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.  
General Counsel  
Oil Conservation Commission  
State Land Office Building  
310 Old Santa Fe Trail  
Santa Fe, New Mexico 87501

FOR THE APPLICANT: CAMPBELL, CARR, BERGE &  
SHERIDAN, P.A.  
P.O. Box 2208  
Santa Fe, New Mexico 87504  
BY: WILLIAM F. CARR, ESQ.

FOR NEARBURG  
PRODUCING COMPANY: MILLER, STRATVERT, TORGERSON  
& SCHLENKER, P.A.  
P.O. Box 1986  
Santa Fe, New Mexico 87504-1986  
BY: J. SCOTT HALL, ESQ.

FOR SANTA FE ENERGY  
OPERATING PARTNERS,  
L.P.: HINKLE, COX, EATON, COFFIELD  
& HENSLEY  
P.O. Box 2068  
Santa Fe, New Mexico 87504  
BY: JAMES G. BRUCE, ESQ.

FOR MARATHON OIL  
COMPANY: KELLAHIN AND KELLAHIN  
117 N. Guadalupe  
Santa Fe, New Mexico  
BY: W. THOMAS KELLAHIN, ESQ.

1 EXAMINER CATANACH: Call the hearing back  
2 to order, and please call Case 10748.

3 MR. STOVALL: Application of Yates Energy  
4 Corporation for pool creation, classification of the  
5 new pool as an associated pool and for special pool  
6 rules, Eddy County, New Mexico.

7 EXAMINER CATANACH: Are there appearances  
8 in this case?

9 MR. CARR: May it please the Examiner, my  
10 name is William F. Carr with the Santa Fe law firm  
11 Campbell, Carr, Berge & Sheridan. I represent Yates  
12 Petroleum Corporation in this case, and I have two  
13 witnesses.

14 I would note that the application was  
15 originally filed in the name of Yates Petroleum  
16 Corporation. And although the legal ad is in the name  
17 of Yates Energy Corporation, I don't believe that's  
18 significant, but the applicant in the case is Yates  
19 Petroleum Corporation.

20 EXAMINER CATANACH: You filed the  
21 application under Yates Petroleum Corporation?

22 MR. CARR: Yes.

23 EXAMINER CATANACH: And it was --

24 MR. CARR: -- Yates Energy only in the ad,  
25 as far as I can tell. I don't think that's a

1 substantive change that should require  
2 readvertisement, but I would note that change.

3 EXAMINER CATANACH: I'm just curious as to  
4 how that might have occurred. I'm sure you probably  
5 wouldn't have any knowledge of that.

6 MR. CARR: None that I would disclose.

7 EXAMINER CATANACH: Additional  
8 appearances?

9 MR. HALL: Mr. Examiner, Scott Hall from  
10 the Miller, Stratvert, Torgerson & Schlenker law firm  
11 on behalf of Nearburg Producing. We have one witness  
12 this afternoon.

13 MR. BRUCE: Mr. Examiner, Jim Bruce from  
14 the Hinkle law firm in Santa Fe representing Santa Fe  
15 Energy Operating Partners, L.P. We have no witnesses.

16 MR. KELLAHIN: Mr. Examiner, I'm Tom  
17 Kellahin of the Santa Fe law firm of Kellahin and  
18 Kellahin appearing on behalf of Marathon Oil Company.  
19 I do not have a witness.

20 EXAMINER CATANACH: Will the witnesses  
21 please stand and be sworn in?

22 (Witnesses sworn.)

23 MR. CARR: At this time we'd call Mr. Brent  
24 May.

25 BRENT MAY,

1 the witness herein, after having been first duly sworn  
2 upon his oath, was examined and testified as follows:

3 EXAMINATION

4 BY MR. CARR:

5 Q. Will you state your name for the record,  
6 please.

7 A. Brent May.

8 Q. Where do you reside?

9 A. Artesia, New Mexico.

10 Q. By whom are you employed and in what  
11 capacity?

12 A. Yates Petroleum, and I'm a geologist.

13 Q. Have you previously testified before this  
14 Division?

15 A. Yes, I have.

16 Q. At the time of that testimony, were your  
17 credentials as a geologist accepted and made a matter  
18 of record?

19 A. Yes, they were.

20 Q. Are you familiar with the application filed  
21 on behalf of Yates Petroleum Corporation in this  
22 matter?

23 A. Yes, I am.

24 Q. And have you made a geological study of the  
25 area that is involved in this case?

1 A. Yes, I have.

2 MR. CARR: Are the witness's qualifications  
3 acceptable?

4 EXAMINER CATANACH: They are.

5 Q. (BY MR. CARR) Would you briefly summarize  
6 what Yates seeks with this application?

7 A. We want to create a new pool in the Upper  
8 Penn formation in the west half of Section 17, of  
9 Township 22 South, 24 East. We request that this pool  
10 be classified as an associated oil and gas pool.

11 Q. Are you seeking special rules for this  
12 pool?

13 A. Yes, we are, and those include 320-acre  
14 spacing and proration units. Also, special well  
15 location requirements, providing for all wells to be  
16 located 660 feet from the outer boundary of a spacing  
17 or proration unit and 330 feet from a quarter section  
18 line. Also, a limit of no more than one well per  
19 quarter section, and a special depth bracket allowable  
20 for each well on a 320-acre spacing or proration unit  
21 of 1400 barrels of oil per day.

22 Q. Has Yates also recommended an  
23 administrative procedure be established for approval  
24 of unorthodox well locations and nonstandard proration  
25 units as they affect future development?



1 A. Yes, we do.

2 Q. Could you refer to initially what has been  
3 marked for identification Yates Petroleum Corporation  
4 Exhibit A?

5 A. Yes. This is a land map of the area around  
6 the Hickory ALV, Federal No. 1. The west half of  
7 Section 17 is outlined in a blue-green color. The  
8 leases colored in yellow are the Yates leases. The  
9 thick black line running basically northeast-southwest  
10 through this page, it shows the outline of the Indian  
11 Basin-Upper Penn Pool, and the smaller dark line on  
12 the southern edge of the page just shows the outline  
13 of a federal unit to the south.

14 Q. Who is the operator of Sections 7, 8, and  
15 16?

16 A. I believe Santa Fe Energy. In Section 7, I  
17 think this is showing Bill Finn, but from what I  
18 understand, Santa Fe Energy has acquired that lease,  
19 and they can correct me if I'm wrong.

20 Q. Are there any wells within a mile of the  
21 proposed pool boundary that are completed in this  
22 particular interval?

23 A. There are no operating wells within a mile  
24 of this boundary except for the Bandana Federal Unit  
25 No. 1, which is operated by Yates Petroleum.

1           There are two existing wells in Sections 7  
2 and 8, but those have been plugged.

3           Q.    All right.  Let's move now to Yates Exhibit  
4 No. 1.  This is your cross-section A-A'.  And I'd ask  
5 you first to identify this and then review it for the  
6 examiner.

7           A.    This is a cross-section A-A'.  It's  
8 basically a northwest-southeast structural  
9 cross-section with a datum of minus 4000 and showing  
10 the Upper Penn or what I call the Canyon interval.  
11 The Upper Penn or Canyon dolomite is colored in blue,  
12 and perforations are colored red.

13                I'd like to just start over on the left  
14 side with the first well, the Monsanto Low State No. 1  
15 in Section 36 of Township 21 South, 23 East.  This  
16 well was originally drilled from the Morrow.  It's  
17 currently plugged but has in the past produced gas out  
18 of the Upper Penn formation, and that was within the  
19 Indian Basin-Upper Penn Pool.

20                It IP'd originally in the Upper Penn for  
21 7.5 million cubic feet of gas a day.  It was  
22 originally dual completed in the Canyon, in the  
23 Morrow.  And the cumulative production as of the end  
24 of '92, I believe, was a little over 16 Bcf.  And I  
25 would also like to note that the -- you might note

1 that the perforations are in the upper part of the  
2 dolomite here.

3 The next well to the right, the Red Fern  
4 Winston No. 1 in Section 31 of Township 21 South, 24  
5 East, was again drilled to the Morrow and was also  
6 dually completed in the Canyon or Upper Penn and  
7 Morrow and again was perforated in the upper part of  
8 the dolomite.

9 It originally IP'd for a calculated open  
10 flow of 29 million cubic feet of gas a day, and  
11 cumulative from the Canyon or Upper Penn was  
12 approximately a little over 21 Bcf. Again, this well  
13 is currently plugged.

14 The next well to the right, the Trigg  
15 Federal IB No. 1-6 in Section 6 of 22 South, 24 East,  
16 was again drilled to the Morrow, but according to all  
17 the information I have, it was only perforated in the  
18 Canyon or Upper Penn. Again, the perforations are in  
19 the upper part of the dolomite. This well originally  
20 IP'd for a calculated open flow of a little over 151  
21 million cubic feet of gas a day and 39 barrels of  
22 condensate. Cumulative production out of the Canyon  
23 or Upper Penn was a little over 28 Bcf. And, again,  
24 this well is currently plugged.

25 The next well to the right is the Trigg

1 Federal IB No. 2 in Section 7, of Township 22 South,  
2 24 East. This well was just originally drilled into  
3 the Canyon or Upper Penn. Again, the perforations are  
4 in the upper part of the dolomite, and it originally  
5 IP'd for 11 million cubic feet of gas a day and cum'd  
6 a little over 14 Bcf.

7 The last well on the very far right is the  
8 Yates Hickory ALV Federal No. 1 in Section 17 of 22  
9 South, 24 East. This was originally Pan-American  
10 Hollow Well Federal No. 1. Yates reentered the well  
11 originally to the Morrow, made a Morrow completion.  
12 Within just a few months, the Morrow started producing  
13 water. So we came up and recompleted to the Canyon in  
14 the perforations shown. And the completion is  
15 currently in progress.

16 This well is currently making oil, water,  
17 and gas. Taking a general overlook of this  
18 cross-section, you'll notice that to the northwest or  
19 to the left side of the cross-section, the dolomite is  
20 thickening, and back to the southeast or to the right  
21 of the cross-section where the Hickory is located, the  
22 dolomite is starting to pinch out.

23 The wells shown on the cross-section except  
24 for the Hickory have produced gas from the Indian  
25 Basin-Upper Penn Pool. The Hickory, again, is

1 perforated within this same dolomite body and is  
2 producing oil, water, and gas at this time.

3 Q. Mr. May, the index map on this exhibit also  
4 shows the boundary of the Indian Basin Pool, does it  
5 not?

6 A. Yes. The yellow line shows the boundary of  
7 the Indian Basin-Upper Penn Pool, and then the blue  
8 line shows the west half of Section 17 which we are  
9 talking about here today.

10 Q. As you've indicated, all the wells on the  
11 cross-section except for the well in 17 are completed  
12 in the Indian Basin?

13 A. Were completed in the past and did produce  
14 out of the Indian Basin.

15 Q. The perforated intervals are shown, and the  
16 Hickory well is at a substantially lower datum than  
17 those wells?

18 A. Yes. These are several hundred feet in  
19 structure lower than these perforations in the gas  
20 wells back to the northwest and northwest. It's  
21 typically been known that in Indian Basin, there is an  
22 east to northeast tilted gas-water contact, and until  
23 the completion of the Hickory, oil production from  
24 this dolomite body in this area was unknown.

25 Q. That well is actually producing oil?

1 A. Yes, it is.

2 Q. How do the gravities of this oil compare to  
3 the gravities of the condensate produced or that had  
4 been produced from Indian Basin?

5 A. The gravity in the oil from the Hickory is  
6 approximately 42, while the gravity of condensate  
7 produced out of Indian Basin is anywhere from 58 to  
8 60.

9 Q. So you're actually producing a black oil in  
10 the Hickory well?

11 A. Yes, a true oil. And I might point out  
12 that 42-degree gravity is very similar to the oil  
13 produced out of Dagger Draw.

14 Q. How far are we from the Dagger Draw?

15 A. We're approximately, say, 8 to 10 miles  
16 south of South Dagger Draw Pool.

17 Q. Is there anything else you'd like to  
18 present using your cross-section?

19 A. No, I believe that's all.

20 Q. Let's move to Yates Exhibit No. 2. Would  
21 you identify that and review it for Mr. Catanach?

22 A. This is a structure map with the top of the  
23 Upper Penn or Canyon dolomite as a datum. It's  
24 showing a general structural dip to the southeast.

25 I might note the thick black line at the

1 base of the map represents the extent of the  
2 dolomite. South of that line there is no dolomite;  
3 it's all lime.

4 The wells back to the north, northwest, and  
5 west of the Hickory have produced gas from the Indian  
6 Basin-Upper Penn Pool and are structurally higher.  
7 The Hickory is producing oil structurally lower than  
8 these gas wells, and more oil should be found in a  
9 similar structural position within this dolomite. And  
10 I might add that this is a similar structural position  
11 that oil is found in the South Dagger Draw Pool.

12 Q. Let's go now to Exhibit No. 3, your isolith  
13 map, and review that for Mr. Catanach.

14 A. This isolith map represents the Upper Penn  
15 or Canyon dolomite. It shows its limits. You might  
16 note that some of the values have plusses beside  
17 them. That's to indicate when those wells were  
18 drilled, the dolomite had not been fully penetrated.  
19 Thus the true thickness is unknown. The map shows  
20 thicks to the northeast and northwest with the Hickory  
21 being located near the edge of the dolomite body.

22 Q. Let's now to go Exhibit No. 4. Would you  
23 identify this exhibit and then review it?

24 A. This is just a dolomite map which I'll  
25 loosely call a cartoon of the regional extent of the

1 Canyon or Upper Penn dolomite. And that is shown in  
2 the dark black lines within any colored areas, showing  
3 the extent of the Canyon or Upper Penn dolomite.

4 You might note the heavy purple lines  
5 indicate the approximate boundaries of the Indian  
6 Basin, South Dagger Draw, and North Dagger Draw-Upper  
7 Penn Pools. The yellow color shows the area of gas  
8 production. The green represents oil production up in  
9 South and North Dagger Draw. And the green down  
10 around the Hickory area represents an area of  
11 projected oil production. The blue represents area of  
12 water production.

13 The purpose of this map is to show the  
14 relationship between the Indian Basin area and Hickory  
15 area and Dagger Draw area and explain why Yates is  
16 asking for pool rules similar to South Dagger Draw.

17 The Upper Penn or Canyon dolomite is  
18 continuous from North Dagger Draw down to the Hickory  
19 area. Again, similar to Indian Basin, North and South  
20 Dagger Draws have tilted gas-oil and oil-water  
21 contacts that tilt down generally to the east. And  
22 these help separate out these different areas of gas  
23 production, oil production, and water production.

24 Until the Hickory was completed, it had  
25 originally been thought that Indian Basin area only



1 produced gas and/or water. Yates feels that the area  
2 east of Indian Basin-Upper Penn Pool, which is what we  
3 call the Hickory area, is very similar to the Dagger  
4 Draw Pools.

5           You might note up in sections,  
6 approximately in the area of Sections 5, 6, 7 and 8 of  
7 Township 21, 24 South, there is an absence of dolomite  
8 between these two green oil legs between South Dagger  
9 Draw and this Hickory area. I believe if the dolomite  
10 had been present there, this oil leg would be  
11 continuous from South and North Dagger Draw all the  
12 way down to the Hickory area.

13           Q. Mr. May, what conclusions have you been  
14 able to reach based on your geological study of this  
15 area?

16           A. First, the dolomite all the way from North  
17 Dagger Draw all the way down to the Hickory area is  
18 continuous. The Hickory is downdip of the Indian  
19 Basin gas production, which is similar to Dagger Draw,  
20 which has oil production downdip of gas.

21           The oil gravities are very similar to the  
22 Dagger Draw pools. The Hickory produces oil at a  
23 similar structural position as oil production in the  
24 Dagger Draw. This sequence of gas updip, then going  
25 downdip into oil, then water is very similar to Dagger

1 Draw. And if the dolomite was present in this one  
2 area I pointed out, it should be one continuous oil  
3 leg.

4 Q. Is Exhibit No. 5 an affidavit showing that  
5 notice of this application was provided to Santa Fe  
6 Energy Operating Partners, L.P.?

7 A. I believe it was.

8 Q. I believe earlier you indicated that there  
9 were no wells within a mile of the pool boundary in  
10 this formation?

11 A. That's true. We notified Santa Fe just out  
12 of courtesy because we knew they would be operating  
13 wells in the area in the near future.

14 Q. And those were the three sections that were  
15 shown on Yates Exhibit A?

16 A. Yes, 7, 8, and 16.

17 Q. Will Yates call an engineering witness to  
18 review the requested special pool rules?

19 A. Yes, we will.

20 Q. Were Exhibits A and Exhibits 1 through 5  
21 prepared by you or compiled at your direction?

22 A. Yes, they were.

23 MR. CARR: At this time, Mr. Catanach, we  
24 would offer into evidence Yates Exhibits A and 1  
25 through 5.

1 EXAMINER CATANACH: Exhibits A and 1  
2 through 5 will be admitted as evidence.

3 MR. CARR: That concludes my direct  
4 examination of Mr. May.

5 EXAMINER CATANACH: Mr. Hall?

6 EXAMINATION

7 BY MR. HALL:

8 Q. Mr. May, on your cartoon, Exhibit 4 --

9 A. Yes.

10 Q. In 24 East in the South Dagger Draw, I  
11 assume a lot of that is Yates production in 11, 14,  
12 23, on down to 26?

13 A. Yes, a big chunk of it is.

14 Q. Just a minute ago, you mentioned that the  
15 Hickory ALV was completed. Exhibit 1 shows that it's  
16 not yet completed. So which is it?

17 A. Let's see, Exhibit 1 -- okay. The  
18 completion -- I should clarify that completion is  
19 still in process. We have not officially through the  
20 sundry notices completed the well.

21 Q. No production results on that?

22 A. That's right. But we are in the process of  
23 evaluating it right now.

24 Q. You're confident it's an oil well?

25 A. Yes, we are.

1 Q. Just as the South Dagger Draw are oil  
2 wells?

3 A. Yes, we are.

4 Q. Geologically, you're showing by all of  
5 these exhibits that the reservoir dips downward as you  
6 get away from the Indian Basin gas field; is that  
7 correct?

8 A. Yes, that's true. Over on the east side of  
9 the Indian Basin area, it is dropping in structure.

10 Q. So the new area established by the Hickory  
11 ALV is essentially an oil leg off the gas field, as is  
12 the South Dagger Draw, North Dagger Draw?

13 A. Yes. It's very similar to South Dagger  
14 Draw.

15 Q. In fact, they're geologically identical?

16 A. Yes, in my opinion, yes.

17 Q. Are you familiar with any of the IP results  
18 on any of the infill wells in the South Dagger Draw?

19 A. I couldn't give you specifics. I don't  
20 have any specifics with me, but I do know that the  
21 Hickory is similar to some of the -- from what we're  
22 seeing on the Hickory so far, it's similar to some of  
23 the IP's in South Dagger Draw.

24 Q. In the South Dagger Draw, some of the IP's  
25 on the infill wells, did they differ much at all from

1 the original wells?

2 A. I'm not sure if I could answer that because  
3 I'm not really sure.

4 Q. Insofar as your area of expertise, is there  
5 any reason geologically to limit development in the  
6 Hickory ALV area to one well per 160?

7 A. Dr. Boneau, which is our engineer, would be  
8 better qualified to answer that question, I believe.

9 Q. So there's no geologic reason, anyway, to  
10 limit development that way?

11 A. It's mostly based on reservoir engineering.

12 MR. HALL: Okay. Nothing further.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Mr. May, what tests have been conducted on  
16 the well?

17 A. We are currently -- we have acidized, and  
18 we're currently pump testing. We put it on pump this  
19 last weekend. And as of June 14, which is Tuesday, it  
20 produced 408 barrels of oil, 1,197 barrels of water,  
21 511,000 cubic feet of gas.

22 Q. I'm sorry, the gas number again?

23 A. 511.

24 Q. How long a test is that?

25 A. It was put on pump this weekend; so just a

1 few days so far.

2 Q. Do you know what the bottom hole pressure  
3 of the zone is?

4 A. I believe when we first perforated this  
5 formation, the engineer shut it in for a pressure  
6 test, and it was approximately -- Mr. Boneau can  
7 probably give you an exact number, but it was  
8 approximately around 2,000 pounds.

9 Q. I'm sorry?

10 A. 2,000.

11 Q. In the area between the South Dagger Draw  
12 and the area which you propose as potentially oil  
13 productive, have there been wells drilled in that  
14 area?

15 A. Within this green area?

16 Q. Between the two green areas.

17 A. Oh, where there's lack of dolomite?

18 Q. Correct.

19 A. There are some Morrow wells in that area,  
20 and in those wells the Canyon or Upper Penn is all  
21 limestone. And further back to the west a little bit,  
22 I believe there's one dry hole in Section 13 of  
23 21-23. That did encounter some dolomite, but I  
24 believe it was very thin and nonproductive, and too,  
25 they were looking for gas there.

1 Q. Do you have enough data to conclude that  
2 this new area is not connected with the South Dagger  
3 Draw?

4 A. It could potentially be connected. Right  
5 now we have not a whole lot of data, and it could be  
6 connected up, possibly, yes.

7 Q. How did you define the potentially oil  
8 productive area on this map?

9 A. Originally how we decided to try the Canyon  
10 and the Hickory, there had been an old DST that had an  
11 oil show, and up in this, quote, "oil leg" or the  
12 green area around the Hickory area, there had been  
13 several other wells that had old DST's with oil  
14 shows. When we did start producing oil, I started  
15 looking at the structural position of it, and this leg  
16 around the Hickory is based off the structure in  
17 general, which is similar to the oil production in  
18 South Dagger Draw.

19 And I will admit, I have very little data.  
20 It could easily change when some wells are drilled.  
21 But that's my -- that was the best data I had to this  
22 point to define the boundaries of this oil leg.

23 Q. Are you confident with respect to the  
24 dolomite boundaries that you have mapped on this?

25 A. Fairly confident, but from what we've found

1 in Dagger Draw, they can sometimes be hard to predict.

2 EXAMINER CATANACH: I have nothing further  
3 of the witness. Oh, I'm sorry, Mr. Bruce?

4 EXAMINATION

5 BY MR. BRUCE:

6 Q. Just a couple questions. Looking at your  
7 Exhibit 4, Mr. May, what do you think based on geology  
8 the eventual extent of the pool will be if this is  
9 granted, if this application is granted?

10 A. We're just asking for the west half  
11 currently of Section 17.

12 Q. But based on geology, do you think it would  
13 include all that area that you have marked in green?

14 A. That's a possibility, yes.

15 Q. Anything beyond that?

16 A. Possibly. Like I said, this is my best  
17 guess at this point.

18 Q. Looking just at the area in green, does  
19 Yates have any plans, say, within the next year to  
20 drill or recomplete any additional wells?

21 A. Oh, yes.

22 Q. Do you have any rough number?

23 A. Well, we have -- within calendar date '93,  
24 we're currently working on one completion, one reentry  
25 and completion, and another reentry that we deepened,



1 and we're currently working on that. So that's two  
2 other current completions we're working on.

3 Just a rough guess besides those, we might  
4 drill an additional two or three wells possibly.  
5 Could be more.

6 MR. BRUCE: Thanks. Nothing further, Mr.  
7 Examiner.

8 EXAMINER CATANACH: Anything, Mr.  
9 Kellahin?

10 EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Point of clarification. Mr. May, help me  
13 in the area that's green hatched that looks like the  
14 oil productive --

15 A. Yes.

16 Q. -- area for the same, the well symbols in  
17 here, there's some gas well symbols. Are those gas  
18 wells in the Upper Pennsylvanian?

19 A. To my knowledge, most of them should be  
20 Morrow. To my knowledge, all the gas wells are within  
21 -- that are in the Canyon or Upper Penn are within  
22 the Indian Basin-Upper Penn Pool. And the gas wells  
23 outside of that purple line showing that should be  
24 Morrow wells.

25 Q. So we don't have gas wells in the Cisco

1 downstructure to this oil well?

2 A. No.

3 MR. KELLAHIN: Okay. Thanks.

4 EXAMINER CATANACH: Anything further? The  
5 witness may be excused.

6 MR. CARR: At this time we call Dr.  
7 Boneau.

8 DAVID F. BONEAU,  
9 the witness herein, after having been first duly sworn  
10 upon his oath, was examined and testified as follows:

11 EXAMINATION

12 BY MR. CARR:

13 Q. Would you state your name for the record,  
14 please.

15 A. David Francis Boneau.

16 Q. Where do you reside?

17 A. Artesia, New Mexico.

18 Q. By whom are you employed and in what  
19 capacity?

20 A. I work for Yates Petroleum Corporation as a  
21 reservoir engineering supervisor.

22 Q. And you have previously testified before  
23 this Division and had your credentials as a reservoir  
24 engineer accepted and made a matter of record?

25 A. Yes, sir.

1 Q. Are you familiar with the application of  
2 Yates Petroleum Corporation in this case?

3 A. Yes, sir.

4 Q. Have you made a study of the subject area?

5 A. Yes.

6 MR. CARR: Are the witness's qualifications  
7 acceptable.

8 EXAMINER CATANACH: Yes.

9 Q. (BY MR. CARR) Dr. Boneau, would you refer  
10 to what has been marked as Yates Exhibit No. 6,  
11 identify this exhibit, and then using it, review the  
12 history of the tip of the Hickory well for Mr.  
13 Catanach.

14 A. Exhibit No. 6 is a brief chronological for  
15 the Hickory well. I tried to emphasize what seemed to  
16 be the important things. As you've heard, the well  
17 was originally drilled in 1965 and plugged in 1965,  
18 and it went to 10,295 feet.

19 Our geologist figured out that this might  
20 be a place to find oil, and Yates reentered the well  
21 in October of '92, and I've listed various entries  
22 there, the important things. We took it to  
23 approximately the same depth it had been originally.  
24 In October, we perforated the Morrow and completed the  
25 Morrow for 3.8 million a day on December 1st, and we

1 produced the Morrow in January and February, produced  
2 a total of 88 million from the Morrow, approximately 2  
3 million a day.

4 We really were interested in studying the  
5 Canyon. Anyway, in February we went -- temporarily  
6 abandoned the Morrow and went to the Canyon, and we  
7 first perforated on February 20th a zone in the Canyon  
8 at 8839 to 8154, but a zone at the top of the Canyon  
9 at the top of the dolomite. And it flowed oil but no  
10 treatment. And in that time frame we measured a  
11 pressure, estimates that it was 2,000 pounds. It was  
12 actually about 1,920 pounds.

13 And we produced the well on a testing basis  
14 in April for about ten days, and it flowed from 300  
15 down to about 100 barrels a day out of this single  
16 zone in on top of the Canyon.

17 Then in May we opened some other Canyon  
18 zones, and the exact perforations are all listed  
19 there, but we opened some lower part of the Canyon,  
20 acidized the individual zones, and then on May 28,  
21 acidized all the zones together with 35,000 gallons of  
22 acid, a big acid job, installed a sub pump, and we've  
23 been pumping the well for, I don't know, since last  
24 Friday, something like that.

25 And the same numbers are listed there that

1 Mr. May showed. Those are the production numbers for  
2 last Tuesday, one day. In one day it made what it  
3 says there, 408 barrels of oil, 1197 barrels of water,  
4 511 Mcf a day. That's indicative of the productive  
5 capacity of the well. The next day it made -- I don't  
6 know, my memory is 437 barrels. But, anyway, that's  
7 indicative of the production capacity of the well.

8 So we have a well that makes black oil, and  
9 it's within a mile of the Indian Basin-Upper Penn gas  
10 pool, which is a prorated gas pool with 640-acre  
11 spacing. Those rules are clearly not applicable to  
12 this new area. We're here seeking some rules that  
13 make sense for an oil well in the Upper Penn in this  
14 area.

15 Q. Let's go to Yates Exhibit No. 7. Using  
16 that exhibit, would you review for Mr. Catanach the  
17 rules that Yates is seeking for this new pool?

18 A. Okay. Mr. May, I think, ticked off those  
19 rules, but this Exhibit 7 shows the individual items  
20 that comprise the special part of the rules, and it  
21 shows what the current rules are now in South Dagger  
22 Draw, Upper Penn associated, and it shows what we're  
23 proposing for Indian Basin, and what we're proposing  
24 is taken from the situation in South Dagger Draw.

25 So the size of the spacing units are 320

1 acres for oil wells and gas wells, and that's what it  
2 is in South Dagger Draw, and that's what we propose  
3 for what I'm calling Indian Basin-Upper Penn  
4 associated.

5 The well location requirements are the same  
6 both places. It must be at least 660 feet from the  
7 outer boundary and 330 feet from the quarter-quarter  
8 boundary and inner boundary. We're proposing those  
9 same rules for Indian Basin-Upper Penn associated.

10 The GOR of South Dagger Draw is set at  
11 10,000. 10,000 is not appropriate here for the reason  
12 that I would say -- this is my logic as to why it's  
13 not appropriate -- and what we're asking for is simply  
14 no rule, which would leave it at 2,000, which is the  
15 standard. My logic is that Indian Basin-Upper Penn  
16 gas pool is a prorated gas pool, and the allowable  
17 within the last few years has been about 5-1/2 million  
18 a day per well, which is for 640 acres. Half of that  
19 for 320 acres would be about 2.8 million a day. And  
20 if you take 1400 barrels of oil a day with a 2,000  
21 GOR, you get 2.8 million a day.

22 So for this Indian Basin-Upper Penn  
23 associated, if we have the standard GOR, we get a gas  
24 allowable that in my way of thinking is in tune with  
25 the allowables in the Indian Basin-Upper Penn gas

1 pool. And so I saw no logical reason to ask for  
2 anything more than the standard 2,000. That's the  
3 reason behind that number being different than the  
4 10,000 at South Dagger Draw. The oil allowable we're  
5 seeking is the same as the 1400 barrels of oil per day  
6 in South Dagger Draw.

7 And the other change is regards the last  
8 item, which is wells per spacing unit. In South  
9 Dagger Draw, the number of wells you're allowed to  
10 drill, I wrote "unlimited." That's probably a little  
11 bit of an exaggeration, but there is no limit in the  
12 rules. You drill as many wells as you can, as long as  
13 you stay within the allowable.

14 What we're proposing here at Indian Basin-  
15 Upper Penn is one well per quarter section, two wells  
16 on the 320-acre spacing unit but restricting those two  
17 wells to be in different quarter sections.

18 I know I need to explain why we're asking  
19 for that, and I will attempt to do that. In Dagger  
20 Draw -- and I guess the Dagger Draw development was  
21 really driven by the rules for North Dagger Draw, and  
22 South Dagger Draw kind of tagged along; so it makes  
23 more sense to me to talk about North Dagger Draw.

24 But in North Dagger Draw, the original  
25 spacing in 1973 was 320 acres. And in 1976 that was

1 changed to 160 acres with about a 300 barrel a day  
2 allowable. So there was basically one well per 160  
3 acres in North Dagger Draw during the early  
4 development.

5 In 1991, I believe it was in February of  
6 1991, Conoco and Yates came here to talk about  
7 increasing the allowable at Dagger Draw so that more  
8 wells could be drilled. And essentially the idea was  
9 to downspace it, but the methodology for doing that  
10 was to increase the allowable so that more wells could  
11 be drilled on 160 acres.

12 At that time Conoco presented lots of good  
13 data to show that a well did not drain 160 acres in  
14 North Dagger Draw, but against them I argued that we  
15 should not downspace all the way to 40 acres. It  
16 would be logical to downspace to 80 acres.  
17 Essentially, the data shows that the wells drained  
18 about 80 acres. Well, that was another one that Yates  
19 lost. Anyway, it was downspaced essentially to 40  
20 acre.

21 MR. STOVALL: One of the few, Dr. Boneau;  
22 is that correct?

23 THE WITNESS: One of the few, yes. Anyway,  
24 it was downspaced, the allowable was raised, and there  
25 were no limits on how many wells could drill, and de



1     facto, 40-acre development quickly ensued. And Yates  
2     did a heck of a lot of the 40-acre development.

3             We are drilling wells on 40 acres in Dagger  
4     Draw and South Dagger Draw, and we are encountering  
5     bottom hole pressures of 800 pounds, 900 pounds, 1,000  
6     pounds compared to the original bottom hole pressure  
7     of 3,000 pounds. In my mind, in my opinion, 40 acres  
8     is too close on Dagger Draw. That's all done, but I  
9     don't want to do the same thing here.

10            And I think that the analogies with Dagger  
11     Draw drilling on 40 acres, it's going to be too close  
12     in this new area, and I just think that we ought to go  
13     at it a step at a time. And the first step, what I am  
14     proposing is essentially effective 160-acre spacing.  
15     And I think that's a logical place to start and  
16     develop, explore and find out whether the field really  
17     exists and get some real data, and maybe we can  
18     downspace it to 80's or 40's or 20's or whatever  
19     later, but let's start at a sensible place and go  
20     about it in a step-by-step, logical manner.

21            Q.     (BY MR. CARR) Dr. Boneau, the rules that  
22     result from this hearing can be temporary rules; is  
23     that correct?

24            A.     I would expect that would be what the  
25     Commission would want to do.

1 Q. What period of time do you think would be  
2 appropriate for temporary rules?

3 A. I think two years would be an appropriate  
4 time. That would give time to develop the field.

5 Q. In that period of time, would you  
6 anticipate sufficient data to be obtained so that an  
7 appropriate spacing pattern, if it's other than 160  
8 acres, could be adopted?

9 A. Yes, sir.

10 Q. You're also seeking in this case the  
11 designation of this pool as an associated pool?

12 A. Yes, that's correct.

13 Q. What we have here is basically an oil zone  
14 with a gas cap over it; is that correct?

15 A. That's correct. We cannot ignore that  
16 Indian Basin gas pool. That's the biggest gas field  
17 around.

18 Q. So it qualifies as an associated reservoir  
19 like Dagger Draw?

20 A. Yes, sir.

21 Q. You've also requested administrative  
22 procedures whereby unorthodox well locations and  
23 nonstandard proration units can be approved  
24 administratively. Do those need to be included in  
25 special rules for this pool?

1           A.    I'm not sure I understood your question.

2           Q.    Are you asking for anything other than the  
3 administrative procedures that currently exist in the  
4 general rules for associated pools? And I'm talking  
5 about Rule, I think, it's 2.C. --

6           A.    Yes, 2.C. and 4.A. are the things we're  
7 talking about, and the same wording that's in the  
8 general rules would serve us fine now.

9           Q.    If this pool is classified an associated  
10 pool and governed by those rules, then it wouldn't be  
11 necessary to duplicate those provisions in a special  
12 pool rule?

13          A.    I understand that that's the way it would  
14 work fine, yes, sir.

15          Q.    In the area we're talking about around the  
16 Hickory, how generally could you characterize the  
17 topography?

18          A.    It's pretty hilly, pretty rough topography.

19          Q.    Based on the topography as you understand  
20 it, is it reasonable to expect that 40-acre  
21 development could go forward?

22          A.    40-acre development, it would be tough, and  
23 what I'd kind of be worried about is that 160-acre  
24 development could be tough for some people, and I'd  
25 hate to see somebody with good topography get in there

1 with four A wells real quick when his neighbor had  
2 problems getting even one well drilled.

3 Q. In your opinion, would starting with 160-  
4 acre spacing most likely result in imprudent  
5 development of this reservoir over the long haul?

6 A. That's clearly my opinion, yes, sir.

7 Q. Would, in your opinion, approval of the  
8 application and promulgation of special pool rules for  
9 this pool, including a limitation of in essence one  
10 well per 160 acres, be in the best interest of  
11 conservation, the prevention of waste, and the  
12 protection of correlative rights?

13 A. Yes, I believe that's very true.

14 Q. Were Exhibits 6 and 7 prepared by you?

15 A. Yes, sir.

16 MR. CARR: At this time, Mr. Catanach, I'd  
17 move the admission of Yates Exhibits 6 and 7.

18 EXAMINER CATANACH: Exhibits 6 and 7 will  
19 be admitted as evidence.

20 MR. CARR: That concludes my direct  
21 examination of Dr. Boneau.

22 EXAMINER CATANACH: Mr. Hall?

23 EXAMINATION

24 BY MR. HALL:

25 Q. Dr. Boneau, through Mr. May's testimony,

1 we've established that the geology in the South Dagger  
2 Draw, North Dagger Draw are similar to the geology  
3 around the Hickory ALV. Do you agree?

4 A. Yes, I think that's the correct assumption  
5 given what we know about the situation now.

6 Q. When the North Dagger Draw was developed,  
7 it was initially on 320's. Because it was virgin  
8 development, we just didn't have any information to go  
9 on at the time; is that right?

10 A. That's my understanding. That was before,  
11 probably both of us, our times.

12 Q. But we don't have that situation now to the  
13 south, do we? We know that it's similar geology. You  
14 have tremendous familiarity with the engineering  
15 production characteristics of the reservoir, do you  
16 not?

17 A. If your assumption is that it's exactly  
18 like Dagger Draw, then we have lots of familiarity  
19 with Dagger Draw. To generalize anything from one  
20 well in this new area, it seems rash. So I'm trying  
21 to differentiate your question in my head so I  
22 understand what you're saying.

23 Q. Let me ask you, how many acres do you think  
24 the Hickory ALV No. 1 will drain?

25 A. One hundred.

1           Q.    Why do you say 100? Distinguish for me  
2 between the Hickory acreage and the South and North  
3 Dagger Draw acreage.

4           A.    Well, my study, what I know about the South  
5 and North Dagger Draw acreage is that the wells drain  
6 -- and they don't all drain the same, but they drain  
7 50, 60, to 100, 120 acres. They do. And you put --  
8 by drilling on 40's, you put two straws into a well's  
9 drainage area, and you get the oil out faster, but the  
10 fact that you drill an extra well, at least in my  
11 mind, doesn't change what the original well  
12 potentially could have drained.

13                So the numbers I'm talking about are what a  
14 well would drain if you drill the well and let it  
15 produce. And the data from North and South Dagger  
16 Draw is that number is 100 acres, 80 acres. I'm not  
17 going to quibble about it, but it's 80 to 100 acres.  
18 And what little I know about this new area, I expect  
19 the drainage to be similar. And so I answered your  
20 question with 100 acres.

21           Q.    I don't know if you recall your testimony  
22 in the previous Dagger Draw cases. I'll tell you.  
23 I'll ask you to accept your testimony.

24           A.    You tell me.

25           Q.    You testified earlier that you thought the

1 Dagger Draw wells in the Cisco Penn would drain  
2 between 60 and 80 acres based largely on the  
3 information Yates had and including the information  
4 Conoco presented at the same time.

5 A. Okay. I'm asking you to say that 60 to 80  
6 and 80 to 100 are the same answer.

7 Q. Well, but the problem with that is, also in  
8 that same case you testified that you thought it was  
9 closer to 60 acres than 80 acres.

10 MR. CARR: I'm going to object to this. If  
11 there was prior testimony that Mr. Hall would like to  
12 show Dr. Boneau, we'd be glad to look at it, but just  
13 to sit here and characterize this testimony for him I  
14 think is inappropriate cross-examination without at  
15 least letting him take a look at it.

16 EXAMINER CATANACH: Can you produce that,  
17 Mr. Hall?

18 MR. HALL: Let's see.

19 Q. I may have paraphrased somewhat, but if you  
20 look at your testimony here concerning the Barbara  
21 Federal area, you'll let me know if I mischaracterized  
22 anything.

23 A. Yeah. I read this, and I say that I said  
24 the drainage area is 80 acres, and the man from Conoco  
25 said 60. And I said that my estimate of 80 and his

1 estimate of 60 could be consistent in that those  
2 numbers are -- they're generalizations and hard to pin  
3 down. I read this to say that I said 80. Okay?

4 Q. So we disagree.

5 A. Yeah.

6 Q. Between 60 and 80; is that fair?

7 A. Between 60 and 80, all right.

8 Q. Okay.

9 A. My point is, I think the drainage area is  
10 more than 40, and I think that we should not have  
11 rules that allow development on 40 acres at this time.

12 Q. If we are to assume on the basis of known  
13 information that the production characteristics of the  
14 acreage around the Hickory are going to be similar or  
15 identical to the South, North Dagger Draws, there is  
16 really no reason to allow for a more dense drilling in  
17 the area from the perspective of protection of  
18 correlative rights and prevention of waste? I mean,  
19 you will ultimately recover the same amount of oil,  
20 will you not?

21 A. I didn't understand your question.

22 Q. Does density have any effect on the  
23 ultimate recovery of reserves, whether you drill on  
24 160's, 320's, or 40's?

25 A. Yes and no is the answer to your question.



1 If you drill on 640's, and the wells drain 80, you're  
2 only going to produce 80 acres out of every 640 -- if  
3 you drill on 160's.

4 If you drill on 80's, then you're going to  
5 produce all the oil. If you drill on 40's, you're  
6 going to produce all the oil, and you're just simply  
7 going to have two wells producing each little batch of  
8 oil. That's my effort in answering your question.

9 Q. All right, I understand. So if drilling is  
10 limited to 160's, you will not recover all the oil?

11 A. If the drainage area of the wells truly is  
12 60 or 80 or 100 or whatever number we could agree on,  
13 and you drill on 160's, you will not drain all the  
14 oil.

15 Q. Will infill drilling affect the economics  
16 of development? Let me ask you, were all the infill  
17 wells up in the South and North Dagger Draws economic?

18 A. Well, no, not all the wells in North and  
19 South Dagger Draw are economic. Most of them are  
20 economic. And most of the, what I'm characterizing as  
21 unnecessary wells are economic.

22 Q. Were you familiar with the IP's from the  
23 infill wells in South Dagger Draw?

24 A. Pretty much, yeah.

25 Q. And the initial IP's on the original wells?

1 A. Original wells, you mean 1965 or --

2 Q. Well, the wells drilled prior to the infill  
3 development in the South Dagger Draw?

4 A. I'm pretty familiar with the IP's on all  
5 the wells Yates has drilled in Dagger Draw.

6 Q. Was there much difference between the IP's  
7 on the original wells and the infill wells?

8 A. I think the right way to answer that, there  
9 was what you have characterized as not much difference  
10 between the IP's of the infill wells and the original  
11 wells. What was different was that the declines of  
12 the original wells increased; so they fell as you put  
13 a competition in it, and the declines of the infill  
14 wells also became steeper than the original wells had  
15 been.

16 Q. But it did show, did it not, that wells  
17 drilled on 160's in the South and North Dagger Draws  
18 were not efficiently and effectively draining the  
19 acreage?

20 A. Like I said, I think the drainage area of  
21 the wells in North Dagger Draw is 80 to 100 acres, 80  
22 acres -- if you want to settle on 80 acres, say 80  
23 acres, but it's less than 160; it's more than 40.

24 And further I'm saying, if we're going to  
25 start this new pool, and if we're going to err, let's

1 err on starting at 160's, and go down and get data,  
2 rather than starting with 40's and deciding we drilled  
3 too many wells.

4 Q. Dr. Boneau, Yates is currently working on  
5 or completed a well in Section 3 in 24 East, is it  
6 not?

7 A. If you'll tell me the name of the well,  
8 I'll have a better chance of knowing what you're  
9 talking about.

10 Q. I'm sorry, I don't know.

11 A. Walt Canyon?

12 Q. Walt Canyon? Do we have any results from  
13 that well yet?

14 A. The Walt Canyon is perforated pretty much  
15 throughout the dolomite, and it's producing on test  
16 approximately 100 oil and 2,000 water, 1,500 water,  
17 and we're thinking about trying to shut off some of  
18 the lower water.

19 Q. You're closer to the water contact down  
20 there, it would appear?

21 A. Well, we're making more water, yes.

22 Q. Otherwise it appears to be similar  
23 production to the Hickory ALV?

24 A. There's oil there. There's more water than  
25 there is oil. Those are similarities, yes.

1 MR. HALL: That's all I have.

2 EXAMINER CATANACH: Mr. Bruce?

3 EXAMINATION

4 BY MR. BRUCE:

5 Q. Dr. Boneau, you said the Morrow is  
6 temporarily abandoned as well?

7 A. That's how I would characterize it, yes,  
8 sir.

9 Q. When you abandoned it, what was it  
10 producing, do you recall, from the Morrow?

11 A. Yes, I understand. My memory is it was  
12 still producing 1,500 a day, and it was making a  
13 little water, and I don't remember whether a little  
14 was 5 or 15 barrels, but some numbers in there. I  
15 calculated reserves on it as 225 million -- some  
16 number, approximately half the reserves or something  
17 like that through the years have been produced.

18 Q. In the North Dagger Draw and the South  
19 Dagger Draw, is that still essentially being developed  
20 on 40-acre infill drilling?

21 A. Yes. And I don't know what a no answer  
22 would mean.

23 MR. BRUCE: That's all I have, Mr.  
24 Examiner.

25 EXAMINER CATANACH: Mr. Kellahin?

1 MR. KELLAHIN: No questions.

2 EXAMINATION

3 BY EXAMINER CATANACH:

4 Q. Mr. Boneau, what is the advantage starting  
5 at 320 as opposed to starting at 160?

6 A. What is the advantage. I can think of at  
7 least two. One obvious one is that starting at 320,  
8 you drill one well, and you hold 320 acres.

9 Another one that makes a little more sense  
10 to me is that -- this is an associated gas pool, and  
11 somebody is going to drill a gas well or what you  
12 would call mostly a gas well, and he's going to be  
13 able to produce 2.8 million out of that gas well on  
14 320. And if you downspaced it, you would hurt his gas  
15 well very badly. To me that's the reason that makes  
16 the most sense.

17 Q. Which leads me to my next question. Isn't  
18 the Indian Basin-Upper Penn gas pool the gas portion  
19 of this new reservoir?

20 A. It is the gas cap that makes this  
21 associated, yes.

22 Q. Correct. If somebody drilled a gas well,  
23 wouldn't that necessarily be classified in the Indian  
24 Basin-Upper Penn gas pool?

25 A. Not if you let there be associated -- not

1 if you let this be an associated pool with either gas  
2 or oil wells in the associated pool. In an associated  
3 pool, you can have either gas wells or oil wells.

4 You know the rules way better than I know  
5 the rules.

6 MR. STOVALL: Yeah, why did you ask that  
7 question, Mr. Examiner?

8 Q. (EXAMINER CATANACH) What I'm saying is --

9 A. I don't believe that's true, and it seems  
10 to me you could get in trouble with that logic. There  
11 are going to be sections that have maybe gas on part  
12 of it and oil on part of it, and if you're going to  
13 put the whole thing in Indian Basin gas and you're not  
14 going to let the oil be produced, to me going the  
15 associated pool is the way to solve all those  
16 problems.

17 MR. STOVALL: What you're saying, Dr.  
18 Boneau, is if it is in a pool and it is an associated  
19 pool in which there can be a gas well, then you don't  
20 get the extension problems because you've already  
21 defined the limit of the extension?

22 THE WITNESS: Exactly, yes.

23 EXAMINER CATANACH: I don't have anything  
24 else.

25 MR. STOVALL: I do.

## EXAMINATION

BY MR. STOVALL:

Q. There's been a lot of analogies to South Dagger Draw and North Dagger Draw and its pools. Am I correct in understanding that you are basing your recommendation upon the experience in the Dagger Draw pools and recommending that the spacing start out -- spacing as opposed to proration units -- start out wide, relatively speaking -- let me ask a preliminary question.

Is it your opinion still that 40-acre spacing in the Dagger Draw pools is too close?

A. Yes, that's correct.

Q. Too many wells in the pool; is that correct?

A. And I'm saying that we've drilled 100 wells, and we've proved that that was correct.

Q. But you're not recovering any more oil but you've drilled some unnecessary wells?

A. Essentially, that's true, yes.

Q. And then am I correct in inferring then that your rationale here is if you start out on less dense spacing, you always have the option to increase if necessary, but if you start out on higher density, you can't decrease space the number of wells?

1           A.    You can go one way, but you can't go the  
2 other.

3           Q.    And, therefore, what you're recommending is  
4 start out on essentially 160 spacing; if you need to  
5 infill, you can do it?

6           A.    Yes.

7           Q.    At a later time, come back in and change  
8 it?

9           A.    Dagger Draw started out at 320. Now I'm  
10 saying, we've gained enough experience and enough  
11 confidence, we don't need to start at 320, but let's  
12 start out at 160, and we could go down from there, if  
13 necessary, or 160 could turn out to be exactly right.

14          Q.    Again, Dagger Draw, I don't think you've  
15 ever testified that there are wells -- very many wells  
16 drain at 160 up there; is that correct?

17          A.    No, no. I'm just saying this could be a  
18 little bit different.

19          Q.    Let's find out?

20          A.    And let's find out. And if we go drill on  
21 40's, and that's the wrong way to do it, the money is  
22 already gone.

23          Q.    Does that analogy apply to 80 as well?

24          A.    In my opinion, yes.

25          Q.    Is that because -- and I'm kind of asking



1 this in a leading way, but if I'm not stating it  
2 correctly, please tell me -- is that because you don't  
3 have enough information here to know whether in fact  
4 this might be a more permeable reservoir which could  
5 drain wider areas than perhaps Dagger Draw?

6 A. That's what I'm trying to guard against,  
7 yes, sir.

8 MR. STOVALL: I don't have any other  
9 questions.

10 MR. CARR: Can I ask one, David?

11 FURTHER EXAMINATION

12 BY EXAMINER CATANACH:

13 Q. Let me just ask him, Dr. Boneau, do you  
14 anticipate or do you think the Indian Basin-Upper Penn  
15 is going to be extended to the east? Do you think  
16 drilling is possible to extend the eastern boundary of  
17 that pool?

18 A. I think it's very possible that the kind of  
19 oil wells we're talking about at the Hickory will be  
20 drilled and produced throughout Mr. May's green area.  
21 And a lot of that green area is east, what I would  
22 characterize as east of Indian Basin-Upper Penn gas  
23 pool.

24 Q. So you think the Indian Basin gas pool has  
25 been pretty much defined by development at this point?

1           A.    Oh, yeah.  These wells he -- the wells Mr.  
2 May talked about that have been abandoned are on the  
3 south and east edge of Indian Basin gas pool, and  
4 Indian Basin gas pool is being abandoned from east to  
5 west.  And there's, I think, no chance of drilling  
6 Indian Basin type gas wells further east than the  
7 plugged ones.

8                   EXAMINER CATANACH:  That's all I have.

9                   FURTHER EXAMINATION

10          BY MR. CARR:

11               Q.    Dr. Boneau, you indicated that you thought  
12 somebody might go out in a green area shaded on Mr.  
13 May's map and drill a gas well.  Would that gas well  
14 have to necessarily be contiguous with the current  
15 Indian Basin boundary, or could it be anywhere in that  
16 green area?

17               A.    I think it's possible it could be anywhere  
18 in the green area.

19               Q.    I mean, if it was not contiguous with  
20 Indian Basin, a step-out might create a situation  
21 where we had acreage developed as an oil zone within a  
22 gas well not contiguous with current Indian Basin  
23 development?

24               A.    Yeah.  In Dagger Draw we found little  
25 dolomite bumps that rise up unexpectedly, and we get

1 --

2 MR. STOVALL: Is that an engineering term,  
3 Dr. Boneau?

4 THE WITNESS: I think that's a geologic  
5 term.

6 MR. CARR: That's all I have.

7 EXAMINER CATANACH: The witness may be  
8 excused.

9 MR. CARR: We have nothing further in this  
10 case, Mr. Catanach.

11 EXAMINER CATANACH: Okay. Mr. Hall?

12 JERRY ELGER,  
13 the witness herein, after having been first duly sworn  
14 upon his oath, was examined and testified as follows:

15 EXAMINATION

16 BY MR. HALL:

17 Q. For the record, please state your name.

18 A. Jerry Elger.

19 Q. Mr. Elger, where do you work?

20 A. I work for Nearburg Producing Company in  
21 Midland, Texas.

22 Q. What do you do for Nearburg?

23 A. I'm an exploration geologist.

24 Q. And you've previously testified before the  
25 Division and its examiners and had your credentials

1 accepted as matter of record, have you not?

2 A. Yes.

3 Q. You're familiar with the application in  
4 this case and the subject area?

5 A. Yes.

6 Q. What are Nearburg's interests in the  
7 immediate area?

8 A. We have leasehold position. I'll refer to,  
9 if I can, Yates Exhibit No. 4. We have leasehold  
10 position within his green crosshatched area.

11 Q. And you're referring to the Yates Exhibit  
12 4, is it?

13 A. The overall cartoon that Mr. May did for  
14 the Dagger Draw and Indian Basin and the area for the  
15 proposed field rules area.

16 Q. And you're familiar with the geology in the  
17 Upper Cisco Penn area?

18 A. Yes.

19 Q. Why don't you briefly describe the geology  
20 of the reservoir? And you may wish to refer to  
21 Exhibit 1 and Yates Exhibit 4 to help you out.

22 A. Exhibit 1 is just a porosity log profile.  
23 The top page is the Yates Hickory ALV Federal No. 1,  
24 which both of the Yates people testified to would make  
25 an oil well in the subject area, down in the southeast

1 end of Indian Basin. And the other log profiles are  
2 similar type, Schlumberger litho density, compensated  
3 neutron litho density log profiles of various logs  
4 that were drilled within the boundaries of the South  
5 Dagger Draw oil pool.

6 And the reason I'm introducing this as a  
7 piece of testimony is the fact that basically, as Mr.  
8 May already has testified, the reservoir  
9 characteristics that are observed in the South Dagger  
10 Draw area are very similar to that which you see on  
11 the Yates Hickory well down in Section 11 in the  
12 southeast side of Indian Basin.

13 Q. So in the application lands, we're talking  
14 about another downdip oil leg as we are in the South  
15 and North Dagger Draw?

16 A. That's correct.

17 Q. Are you familiar with the pool rules for  
18 the South Dagger Draw?

19 A. Yes, I am.

20 Q. Do those rules impose a limitation of one  
21 well per 160?

22 A. No, they do not.

23 Q. And the current practice in the area is  
24 what?

25 A. Well, the current practice, as Mr. Boneau

1 pointed out, is to drill these things on almost  
2 unlimited spacing, but the pattern has been developed  
3 at primarily 40-acre spacing in the oil leg of the  
4 Dagger Draw South and North fields.

5 Q. Is that density necessary to maximize  
6 recovery?

7 A. We believe it is. We believe, although the  
8 majority of the wells that have been drilled on that  
9 particular spacing have been economic wells, they've  
10 produced for both Dagger Draw South field and the  
11 Dagger Draw North field, and as previous testimony in  
12 previous cases has pointed out, the spacing, the area  
13 per well -- drainage area per well and reservoir  
14 engineers have been able to determine for those two  
15 fields is roughly 60 acres.

16 Q. And you're in agreement with that  
17 testimony?

18 A. Yes. I'm not a reservoir engineer, but I  
19 would agree with that, yes.

20 Q. So, in your opinion, can the reservoir be  
21 effectively and efficiently drained by limiting  
22 development to one well per 160?

23 A. No.

24 Q. Will a provision allowing for the drilling  
25 of more than one well per 160 adversely affect the

1 economics of drilling in the pool?

2 A. No.

3 Q. What are Nearburg's plans for development  
4 in the immediate area?

5 A. We've already proposed in the green  
6 hachured area a reentry of the formerly drilled  
7 Antweil well in the north half of Section 2 of  
8 Township 20 -- I believe it's 22 South, 24 East, to  
9 test the dolomite section, top part of the dolomite  
10 section of the Cisco Canyon.

11 We also plan to conduct similar type  
12 production tests of a Morrow well in the north half of  
13 Section 11, the same township and range.

14 Q. Does Nearburg request that any order  
15 approving the creation of this new pool contain a  
16 provision like that found in Rule 22 of Order R-5353  
17 for the Dagger Draw allowing for two or more wells per  
18 160?

19 A. Yes.

20 Q. In your opinion, would such a provision be  
21 in the interest of conservation, the prevention of  
22 waste, and the protection of correlative rights?

23 A. Yes, it would.

24 Q. Was Exhibit 1 prepared by you or at your  
25 direction?

1           A.     Yes, it was.

2           MR. HALL:   We would move the admission of  
3 Exhibit 1.   That concludes our Direct.

4           EXAMINER CATANACH:   Mr. Carr?

5           MR. CARR:   Did you admit the exhibit?

6           EXAMINER CATANACH:   Oh.   What were the  
7 numbers?

8           MR. HALL:   Uno.

9           EXAMINER CATANACH:   Exhibit No. 1 will be  
10 admitted as evidence.

11           Mr. Carr?

12                               EXAMINATION

13 BY MR. CARR:

14           Q.     Mr. Elger, Nearburg is only objecting to  
15 the proposal to limit development to effectively one  
16 well per 160 acres; is that correct?

17           A.     That is correct.

18           Q.     Your Exhibit No. 1 is basically to show  
19 similarity in the geological characteristics between  
20 the Hickory well and some wells in South Dagger Draw?

21           A.     That's correct.   And Mr. May pointed out  
22 the same things.

23           Q.     Have you ever experienced a situation where  
24 you have similar geologic characteristics and  
25 different producing characteristics for wells?



1 A. Not any that come to mind.

2 Q. So if we can look at the geology, it's  
3 unnecessary to involve the engineers; is that what  
4 you're saying?

5 A. Not necessarily.

6 Q. Nearburg isn't in the business of drilling  
7 unnecessary wells, obviously; isn't that right?

8 A. That's correct.

9 Q. And what we're talking about here you  
10 understand are temporary rules that two years from now  
11 can be amended; do you understand that?

12 A. Yes.

13 Q. You would agree with me that you can make a  
14 better decision in establishing permanent rules the  
15 more data you have on the reservoir?

16 A. That would be true.

17 Q. And you would agree with me that based on  
18 your plans for development and those that have been  
19 disclosed by Yates, that two years from now there  
20 should be substantially more development on this oil  
21 zone?

22 A. Yes.

23 MR. CARR: That's all I have.

24 MR. STOVALL: Mr. Kellahin.

25 MR. KELLAHIN: No questions.

## FURTHER EXAMINATION

BY MR. HALL:

Q. One follow-up. Mr. Elger, if the Yates application is approved with the provision for one well per 160, you're going to have rules for associated pools covering several pools in the same area with different procedures, different provisions in them; is that correct?

A. Yes, it is.

MR. HALL: That's all I have.

## EXAMINATION

BY EXAMINER CATANACH:

Q. You request that you be allowed to drill on 40; is that what you're saying?

A. No, but what we do request is that Nearburg -- obviously, we don't have as much acreage under this green downdip oil leg. I agree entirely with the interpretation of the geology out here, but what we would like to have -- we don't have as much acreage position out here as Yates or Santa Fe, but what we would like to be able to do is develop on a reasonable spacing pattern that would allow us to develop our acreage in an economic and timely manner.

And that's not necessarily two years or -- as testimony for the Dagger Draw and Dagger Draw North

1 areas, if it truly can be applied to this area, and we  
2 think it can, the spacing ought to be more in line  
3 with 60 acres since the drainage up in that particular  
4 area has been testified to as being roughly 60 acres,  
5 the spacing --

6 MR. STOVALL: Whoa, whoa. I'm going to  
7 interject something here. I don't think that's an  
8 accurate characterization. I think that's the  
9 assumption you're making from one line of the  
10 testimony which Dr. Boneau does not agree was his  
11 statement.

12 So let's make sure that is on the record,  
13 that you're making the statement that it's 60 acres.  
14 Dr. Boneau did not agree that his statement was it was  
15 60 acres.

16 THE WITNESS: I didn't say it was. I was  
17 just saying, the testimony that's been filed in  
18 previous --

19 MR. STOVALL: I agree, but let's make it  
20 clear that you're talking as -- you're kind of stating  
21 these as factual, and Mr. Hall asked Dr. Boneau, and I  
22 think he does not agree that that is an accurate  
23 characterization of his statement. So proceed with  
24 that.

25 MR. HALL: Were you finished with your

1 answer?

2 THE WITNESS: Basically, yes.

3 Q. (BY EXAMINER CATANACH) I still haven't got  
4 the answer I need. Your position in this case is that  
5 -- do you want the 320-acre spacing with the ability  
6 to drill more than one well on a 160-acre --

7 MR. STOVALL: -- per proration unit would  
8 probably be a clearer way to determine --

9 Q. (EXAMINER CATANACH) Exactly what is your  
10 position? Do you disagree with the 320-acre spacing?

11 A. No.

12 Q. Okay, you agree with that. You just want  
13 the ability to drill more than one well per 160?

14 A. That's correct.

15 Q. And how many wells would you propose?

16 A. However many it would take to make up the  
17 allowable. I mean that's the same as Dagger Draw.

18 Q. So up to four wells?

19 A. Up to four wells to meet that allowable.

20 MR. HALL: Mr. Examiner, if I might  
21 clarify. In response to an earlier question from me,  
22 he testified that we're seeking a provision like that  
23 in Rule 22 of Order R-5353, which allows two or more  
24 wells.

25 EXAMINER CATANACH: Does that state two or

1 more wells?

2 MR. HALL: Yes.

3 EXAMINER CATANACH: Okay. That's all I  
4 have.

5 MR. HALL: Mr. Examiner, we would also  
6 request that you take administrative notice of the  
7 testimony in consolidated cases 10221 and 10222. The  
8 records in those cases will speak for themselves, but  
9 they tend to establish that an increase in density was  
10 necessary to effectively and efficiently drain this  
11 reservoir. Yates was a party to both of those cases  
12 and concurred with that line of testimony.

13 We're also asking that you take notice of  
14 finding No. 6 in Order 5353, which showed that  
15 variations among the rules for the various associated  
16 pools have resulted in an unnecessary administrative  
17 burden on the Oil Commission.

18 MR. CARR: May it please the Examiner, we  
19 would object to your taking note of those. Yates  
20 Petroleum is present here today and can respond to any  
21 questions and clarify anything that is in those  
22 records that might be inconsistent with anything  
23 presented here today.

24 I would note also that when you look at  
25 those, if you should decide to do that, that you ought

1 to also put them in a historical context and determine  
2 when those statements were made, how much data was  
3 available on the reservoir at that time.

4 And I think in view of those  
5 considerations, to simply sweep in large masses of  
6 testimony in a hearing where Dr. Boneau is present  
7 here today and can respond to your questions would be  
8 inappropriate, and I object.

9 EXAMINER CATANACH: Yeah, I don't know that  
10 that information in those two cases would be  
11 beneficial to me in making a decision in this case.

12 MR. HALL: In response, I would say same  
13 parties, same reservoir, same lawyers. It's only two  
14 years old.

15 MR. CARR: And I would suggest it's a  
16 different pool, and that's our concern. It may not be  
17 the same reservoir, and it may not perform the same  
18 way. And I submit the people are present. If Mr.  
19 Hall has had any questions, he's had an opportunity to  
20 ask them. And I don't think we need to start sweeping  
21 large masses of information into the record in this  
22 proceeding.

23 MR. STOVALL: Let me ask your witness one  
24 question, Mr. Hall.

25 EXAMINATION

1 BY MR. STOVALL:

2 Q. Would you agree with either my statement,  
3 and I guess Dr. Boneau agreed with it, that if you go  
4 to less dense spacing now, you can always increase the  
5 spacing later, if necessary, when you've got more  
6 information?

7 A. Well, you do that anyways in the natural  
8 course of development of your acreage. I mean, you  
9 start with one well. Then you drill two and three,  
10 and you're limited by how much acreage you have.

11 Q. Um-hm. And I think you've already  
12 testified, you get more information as you get more  
13 wells; is that correct?

14 A. Since we have a limited amount of acreage  
15 in this particular plat, at least less acreage than  
16 Yates Petroleum, we could very easily drill our lease  
17 on a 160-acre spacing.

18 I'm not saying that -- you obviously start  
19 drilling 40's right off the bat. Your second well is  
20 a 40-acre offset to your first well. But what I am  
21 saying is that once we reach 160 acres -- once we've  
22 drilled up our acreage position on 160 acres, we  
23 shouldn't have to wait for Yates to do it if we can  
24 prove it's not draining 160 acres.

25 Q. Couldn't you bring an application of

1 changed rules once you get some -- let me ask you  
2 this. Is your objective to drill wells, or is your  
3 objective to recover oil?

4 A. Our objective is to recover oil.

5 Q. All right. I think in response to Mr.  
6 Carr, you said you only want to drill as many wells as  
7 are necessary; is that correct?

8 A. That's correct.

9 Q. To recover the oil? Do you understand that  
10 there is nothing in the rules that would prohibit you  
11 from bringing in an application to increase the number  
12 of wells allowed per proration unit if you determine  
13 that there is a need for that in order to effectively  
14 recover all of the oil underlying your tract?

15 A. Well, I think what Mr. May has testified  
16 to, and I concur with, is the fact that the precedent  
17 has already been set in the Dagger Draw area --

18 Q. Dr. Boneau has also stated -- never mind  
19 what Dr. Boneau has stated. Would you agree that you  
20 could do that?

21 A. Yes.

22 MR. STOVALL: I mean, there's a  
23 disagreement with you -- I'll just state that what I  
24 think is the disagreement, that there may be too much  
25 density up there, and should we repeat that error if



1 that's correct, or should we find out.

2 I don't know that that's true. I'm just  
3 telling you that if that is -- I think that's what I  
4 heard some testimony to so -- I just want to make sure  
5 you're aware that if in fact you find that it's  
6 necessary in order to recover the oil underlying your  
7 tracts, that you don't have to wait for Yates to  
8 develop the area to come back in and request either an  
9 exception or a change from the rules. I think it's  
10 important that Nearburg understand that and recognize  
11 that it has some opportunity to protect its  
12 correlative rights in that way.

13 THE WITNESS: Okay.

14 MR. STOVALL: Assuming -- that obviously  
15 has an assumption; it's sort of an assumption in it,  
16 if you go to less dense spacing. I don't know that  
17 that's what the examiner will do but -- I'm through.

18 EXAMINER CATANACH: I guess we still  
19 haven't resolved the question of taking administrative  
20 notice, have we? I think in the natural course of  
21 writing this order, some details of the previous case  
22 may be taken into consideration. I don't know how  
23 much detail or review I want to subject those two case  
24 files to.

25 MR. CARR: Mr. Catanach, I think you can

1 always take notice as the examiner of Commission  
2 records. My objection is not to that. It's to the  
3 sweeping in large volumes of evidence, and hopefully  
4 by bringing them in, as Mr. Hall is asking you to,  
5 they might be considered as part of the record in this  
6 case, and I think that would be inappropriate.

7 EXAMINER CATANACH: Was the request to  
8 incorporate the evidence and testimony?

9 MR. HALL: You were asked to take notice.

10 MR. STOVALL: Mr. Examiner, I would point  
11 out that if you take notice and review those, you're  
12 not bound by findings that were made in those cases  
13 either. You can be aware of them and have that in  
14 your store of information without being bound by the  
15 conclusions that were reached based upon that record.

16 EXAMINER CATANACH: Okay. On that point, I  
17 will take administrative notice of the cases and  
18 finding No. 6 of the decree.

19 MR. STOVALL: In fact, all of the orders --  
20 I would say it would be appropriate to say that if  
21 you're going to take notice of them, you will take  
22 notice of all of the applicable orders for the three  
23 pools which are in that series of --

24 MR. HALL: That's all we have.

25 EXAMINER CATANACH: All right.

1 Mr. Bruce, do you have anything?

2 MR. BRUCE: No, sir.

3 EXAMINER CATANACH: Mr. Kellahin?

4 MR. KELLAHIN: No, sir.

5 EXAMINER CATANACH: Would you like to make  
6 closing statements?

7 MR. CARR: Not unless Mr. Hall wants to.

8 MR. HALL: I have nothing to add.

9 EXAMINER CATANACH: Mr. Bruce?

10 MR. BRUCE: The only thing I would like to  
11 say, Mr. Examiner, that the position of Santa Fe  
12 Energy is that any pool rules that are enacted should  
13 be temporary for a period of one year.

14 MR. HALL: We would concur.

15 EXAMINER CATANACH: Any position, Mr.  
16 Kellahin?

17 MR. KELLAHIN: No, sir.

18 EXAMINER CATANACH: Okay. Good.

19 MR. STOVALL: Mr. Kellahin, is Marathon's  
20 interest just as an Indian Basin operator; is that all  
21 it is?

22 MR. KELLAHIN: Yes, that's correct.

23 MR. STOVALL: And not in this area? Okay.

24 EXAMINER CATANACH: Okay. There being  
25 nothing further in this case, Case 10748 will be taken

1 under advisement.  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )

) ss.

COUNTY OF SANTA FE )


I, Deborah O'Bine, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that I caused my notes to be transcribed under my personal supervision, and that the foregoing transcript is a true and accurate record of the proceedings of said hearing.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL, July 20, 1993.

*Deborah O'Bine*

DEBORAH O'BINE  
CCR No. 63



I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 10748, heard by me on June 17, 1993.

*David R. Stant*, Examiner  
Oil Conservation Division