

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 12,815
(Reopened)

IN THE MATTER OF CASE NUMBER 12,815)
BEING REOPENED PURSUANT TO THE)
PROVISIONS OF DIVISION ORDER NUMBER)
R-11,771, WHICH ORDER PROMULGATED)
TEMPORARY SPECIAL POOL RULES FOR THE)
NORTH OSUNA-DEVONIAN POOL IN LEA COUNTY,)
NEW MEXICO, INCLUDING PROVISIONS FOR)
160-ACRE SPACING UNITS AND DESIGNATED)
WELL LOCATIONS)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

RECEIVED

JUL 24 2003

July 10th, 2003

Oil Conservation Division

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, July 10th, 2003, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

July 10th, 2003
 Examiner Hearing
 CASE NO. 12,815 (Reopened)

PAGE

APPLICANT'S WITNESS:

JOHN MAXEY (Engineer)

Direct Examination by Mr. Bruce	3
Examination by Examiner Catanach	16

REPORTER'S CERTIFICATE	20
------------------------	----

* * *

E X H I B I T

Applicant's	Identified	Admitted
Exhibit 1	5	16

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID K. BROOKS, JR.
 Attorney at Law
 Energy, Minerals and Natural Resources Department
 Assistant General Counsel
 1220 South St. Francis Drive
 Santa Fe, New Mexico 87505

FOR READ AND STEVENS, INC.:

JAMES G. BRUCE
 Attorney at Law
 P.O. Box 1056
 Santa Fe, New Mexico 87504

* * *

1 WHEREUPON, the following proceedings were had at
2 10:12 a.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 12,815, which is in the matter of Case Number 12,815 being
5 reopened pursuant to the provisions of Division Order
6 Number R-11,771, which order promulgated temporary special
7 pool rules for the North Osuna-Devonian Pool in Lea County,
8 New Mexico, including provisions for 160-acre spacing units
9 and designated well locations.

10 Call for appearances in this case.

11 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
12 representing Read and Stevens, Incorporated, in this case.
13 I have one witness.

14 EXAMINER CATANACH: Okay, will the witness please
15 stand to be sworn in?

16 (Thereupon, the witness was sworn.)

17 MR. BRUCE: Mr. Examiner, this is my fourth case
18 today, and I'd like to tell you that one of these would be
19 normal, but I don't think I can do that.

20 JOHN MAXEY,
21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. BRUCE:

25 Q. Would you please state your name for the record?

1 A. John Maxey.

2 Q. Where do you reside?

3 A. In Roswell.

4 Q. Who do you work for and in what capacity?

5 A. I work for Read and Stevens, and I'm the
6 operations manager, also the petroleum engineer.

7 Q. Have you previously testified before the
8 Division?

9 A. Yes, I have.

10 Q. And were your credentials as an expert petroleum
11 engineer accepted as a matter of record?

12 A. Yes, they were.

13 Q. Does your area of responsibility at Read and
14 Stevens include this particular pool?

15 A. Yes.

16 Q. And in fact, did you testify on behalf of Read
17 and Stevens at the original hearing?

18 A. Yes.

19 Q. So you are familiar with the engineering matters
20 related to this case?

21 A. Yes.

22 MR. BRUCE: Mr. Examiner, I'd tender Mr. Maxey as
23 an expert petroleum engineer.

24 EXAMINER CATANACH: He is so qualified.

25 Q. (By Mr. Bruce) Now, Mr. Stevens [sic], the

1 original hearing in this matter resulted in special pool
2 rules which basically allowed 160-acre spacing in the
3 Devonian; is that correct?

4 A. Yes.

5 Q. And then well locations no closer than 330 feet
6 to a quarter quarter section line?

7 A. Yes.

8 Q. And you are appearing here today to request that
9 those rules be maintained in effect?

10 A. Yes.

11 Q. Okay. Let's go to your exhibit -- the only
12 exhibit today, Exhibit 1, and could you go through that and
13 describe why -- Take a step back. To describe the pool,
14 how it's changed since you first came in over a year ago
15 for the pool rules and what the wells in this pool have
16 shown you regarding the pool structure, the pool area, et
17 cetera, and why you want to maintain this spacing in
18 effect.

19 A. Okay, the first item in Exhibit 1 is a structure
20 map. There was an item in our last hearing very similar to
21 this one. This structure map was based on 3-D seismic, and
22 we'd come in after the Liberty "4" Number 1 was drilled in
23 the southwest quarter of 4. We have now since drilled the
24 Klein 5 Number 1 in the southeast quarter of Section 5, and
25 that well came in as nearly perfect to projected structural

1 position as we could ever want. We were approximately five
2 foot off on the tops, and considering the dip of the
3 structure, we felt like that was a very good confirmation
4 of our 3-D seismic.

5 What we confirmed in the Klein 5 Number 1, we
6 started further downdip in the 5 Number 1, based on
7 structure, started perforating in the lower portion of the
8 Devonian, which is the pay zone out here, and confirmed
9 that our oil-water contact -- as estimated in the last
10 hearing, we estimated at minus 7150 foot -- we have now
11 confirmed that the oil-water contact is 7071 foot, based on
12 completion testing in the Klein 5 Number 1. Basically what
13 that did was shrunk the reservoir dramatically.

14 In the last hearing the reservoir -- If you'll
15 look at the dashed line on the map, that's our oil-water
16 contact now. I do have estimated on there -- In error I
17 left that on there from the last hearing, but that is based
18 on an actual test of perforated interval which we'll look
19 at later. That dashed line on the previous map, based on
20 the 3-D control and the estimated contact, actually
21 extended further downdip, up into the northwest quarter of
22 4 and into the southwest quarter of 33, and you can see now
23 that our reservoir has dramatically shrunk. I believe it's
24 approximately 104 acres now in areal extent on that bump.

25 Q. Okay. What are the next few pages of this

1 exhibit?

2 A. Okay, the next couple of pages, basically, are
3 logs on the two wells. The second page is the Liberty "4"
4 Com Number 1. That was submitted at the last hearing. I
5 included it for information purposes. It's perforated in
6 the upper portion of the Devonian. I have added to this
7 item the minus 7071 point that is considered wet in the
8 Devonian, on this log.

9 The next log is the Klein 5 Number 1. You can
10 see the perforations below the cast-iron bridge plug, just
11 below 10,700 feet, that confirmed water in the upper
12 portion of that second lobe of porosity, you can see kind
13 of a tight streak in that density log there, where that
14 cast-iron bridge plug is set. The perforations at minus
15 7071 yielded 100-percent water.

16 We then perforated the upper portion. You can
17 see those perms just under what's denoted as top of the
18 pay, and the well came in producing approximately 95 to 100
19 percent oil. We had a very small water cut.

20 Q. Have you calculated the -- estimated the
21 recoveries from each of these two wells?

22 A. Yes, I have. Next three pages of this exhibit
23 are decline curves that are actually based on daily
24 production, not monthly, so there's quite a bit of detail
25 in them.

1 The first curve is the Liberty well. All of
2 these are titled the Liberty and the Klein well, but if
3 you'll look in the box on the graph just below the curves
4 you'll see that the first page of the decline curves is the
5 Liberty oil production, Liberty water production. And
6 based on a pretty good trend that's been established in the
7 Liberty well, it's on a 30-percent decline, and we've
8 produced a cumulative of 82,000 barrels of oil. We have
9 remaining approximately 41,000 barrels of oil, for an
10 ultimate of 123,167 barrels of oil.

11 The Klein 5 Number 1, we'll see on the next page,
12 that well actually came in and produced -- the initial
13 production was the same as what the Liberty was producing,
14 and one of our reasons to believe that the well came in
15 very close to what the Liberty was actually producing at
16 the time was because the Klein was approximately 30 percent
17 pressure-depleted from the Liberty. The Liberty had
18 produced approximately 30 percent of its ultimate reserve
19 when the Klein was drilled. When we DST'd the Klein, sure
20 enough, pressure depletion was approximately 30 percent in
21 the Klein. I've got that in later pages.

22 But the Klein, another trend that's been pretty
23 well established, approximately 75 percent decline rate.
24 Again, these are daily, so that's why the scale may be
25 somewhat deceiving here. That is daily rate, so it doesn't

1 appear to be real steep, but it is a 75 percent decline,
2 annual decline.

3 Crunching those numbers out, we've got a -- this
4 well has cum'd 40,200 barrels of oil. It's producing about
5 12 barrels of oil a day right now. It only has a remaining
6 of 4000 barrels, for an ultimate of 44,476.

7 The last decline curve page is just to -- I put
8 that for information purposes to show you the Klein
9 production, which is the symbols, the triangular symbols
10 superimposed over the Liberty oil production, which is a
11 line with no symbols. And you can see in roughly June, end
12 of June, 2002, or first part of July, where the Klein came
13 on, it overlaid the Liberty quite well. And then where
14 they diverge, the Liberty, we lowered the pump a little bit
15 more on the Liberty and increased our production a little
16 bit more. We lowered it all the way to the perfs.

17 Okay, the next page is a spreadsheet with some --
18 Some of this data was included in the first hearing for the
19 initial data on the reservoir, some has been updated based
20 on the new well. The original spreadsheet was obviously
21 based on one well, this spreadsheet is based on two.

22 Cum oil production -- and I've put some dates on
23 here to kind of help out with delineating where these
24 figures came from, what time period -- cum oil production
25 through June from both wells was 122,600.

1 Gas production has been too small to measure for
2 quite some time, so... We had some initial gas, but we
3 never were able to track anybody's market, and now the gas
4 has basically declined to nothing.

5 Water production is about 10,600 barrels, and we
6 don't have a real high water cut. Every water cut is about
7 eight percent.

8 As you move through that spreadsheet, notice in
9 the first paragraph that I've boxed in, at the bottom of
10 that paragraph the drive mechanism. We estimated we had --
11 As nearly every Devonian well in southeast New Mexico, we
12 estimated we had water drive. We were estimating 50-
13 percent recovery, based on the data we presented at the
14 last hearing.

15 We've subsequently determined now, with the
16 pressure drop in the Liberty and the pressure depletion in
17 the Klein, that we have no water drive. We are very -- a
18 block of geology that's popped up very. We do not appear
19 to be attached to any aquifer, and we have very little gas
20 in the reservoir, so subsequently we have very little drive
21 mechanism. We're operating primarily on expansion drive,
22 and it's primarily liquid expansion drive.

23 In the center box it gives some information about
24 the reservoir itself. The first line there is the one that
25 dramatically changed from the last hearing. The area of

1 the oil column above the oil-water contact is now 104
2 acres.

3 The net pay is 64.5 feet, porosity 6 percent and
4 water saturation 35 percent. Those numbers are very
5 similar to the first hearing because the logs did not
6 change that much in the reservoir rock.

7 Basically, coming down to the third box, I've
8 calculated an original oil in place of 1.8 million barrels,
9 based on the average thickness of the reservoir rock and
10 the areal extent, and some of the initial PVT data.

11 The recovery factor -- I estimated a recovery
12 factor to get a recoverable reserve, I estimated at 10
13 percent. It looks like our actual is going to be 9.3
14 percent, and that is not out of line with the expansion
15 drive. The expansion drive is going to be one of the worst
16 recoveries we could expect. Liquid expansion drive, I
17 should say. If we were looking at solution gas we'd hope
18 for 15, possibly 20 percent, but we're looking at
19 approximately 10 percent, leaving recoverable reserves,
20 based on a 10-percent recovery factor, of 180,000 barrels.
21 That matches pretty close with the number I just gave you
22 on the decline curve of approximately 170,000 barrels of
23 oil.

24 So on the decline curves we can project 170,000
25 barrels of oil, ultimate. Based on a volumetric

1 calculation on the actual bump and a 10-percent recovery
2 factor, I calculated 180,000 barrels of oil. That
3 recoverable is 27 barrels per acre-foot, and I believe at
4 our first hearing we were looking at a figure of more like
5 100 barrels per acre-foot, based on a different drive
6 mechanism. So it's a very low recovery, it's a very low
7 recovery.

8 In the remaining portion of that page, the
9 comments, there's a lot of information on this page.
10 You'll notice the first DST in the top of the pay in the
11 Liberty. That's the upper half of the Devonian pay.
12 Notice the final shut-in pressure that's been bolded and
13 underlined, 4240. And in the Klein, a DST taken April 11th
14 of '02 after the Liberty had made 40,000 barrels of oil,
15 the Klein DST indicated 2768 p.s.i. bottomhole pressure.

16 Note that -- I said 40,000. The Klein well was
17 DST'd after the Liberty well had produced 49,900 barrels of
18 oil. That decline in pressure, again, as I stated earlier,
19 was roughly one-third of the original bottomhole pressure,
20 and 49,000 barrels of oil is close to one third of the
21 ultimate of the Liberty well.

22 Q. What is the approximate cost of these wells?

23 A. The approximate cost is \$1.15 million.

24 Q. And is the final sheet of your exhibit economics
25 on this prospect?

1 A. The final sheet was an AFE on the Klein 5 Number
2 1. Nearly \$1.15 million is what it takes to drill these
3 wells.

4 And the page after that is an economic page that
5 would show a reasonable rate of return. The borderline
6 rate of return that we would want for an expenditure of
7 this type would be a 20-percent return on our money. And
8 basically a 20-percent return on this type of investment on
9 the well alone would require 175,000 barrels of oil.
10 That's based on a price deck at the first hearing of an
11 average price of \$22 a barrel. We could probably up that
12 to \$25 and be looking at ultimates of less than \$174,000
13 for an economic well, a break-even economic well, but not
14 much less than \$174,000.

15 So in retrospect, we kind of busted our pick.
16 We've got a well that, number one, the Liberty 4, based on
17 the pressure depletion we saw in the Klein, they're 700
18 feet apart, that's approximately 40-acre spacing right
19 there. We were seeing a dramatic pressure decrease in the
20 reservoir for drainage in the Liberty, the Liberty 4 would
21 have, in all likelihood, drained this bump. And even if
22 we'd have drained the bump with one well, with the amount
23 of money we've spent on seismic and acreage and the well
24 cost, this was not an economic venture.

25 Q. Okay. If you turn back to the first page of that

1 exhibit, Mr. Maxey, again, you are still seeking 160-acre
2 spacing --

3 A. Yes, we are.

4 Q. -- for several reasons. First of all, it
5 wouldn't be economic to drill on 40s, would it?

6 A. No.

7 Q. Secondly, as you said, the Liberty 4 could have
8 drained the entire feature, which you thought was larger
9 originally?

10 A. We thought it was larger at the time, yes.

11 Q. But the Liberty 4 Number 1 could drain the entire
12 104 acres, so it is capable of draining in excess of 40 or
13 80 acres?

14 A. Yes.

15 Q. And that is also -- the pressure figures that you
16 have show that?

17 A. Yes.

18 Q. The other factor that was used in establishing
19 160-acre spacing originally was the geometry of the
20 reservoir, was it not?

21 A. Yes.

22 Q. I think some questions came up as to whether or
23 not there should be 80-acre spacing, but just looking at
24 the southwest quarter of Section 4, if you had had 80-acre
25 spacing it could have been interpreted that another well

1 should have been drilled in the southwest quarter of
2 Section 4; is that correct?

3 A. Yes.

4 Q. If you had done a standup unit, somebody could
5 have demanded a well be drilled in the southwest of the
6 southwest, if you had had a laydown unit, north-half
7 laydown unit?

8 A. Right.

9 Q. And so as a result, with the oil-water contact
10 and the faulting you have in here, even though the entire
11 acreage may not have been productive it was just more
12 economical to use 160-acre spacing?

13 A. Yes, that's correct.

14 Q. And once again, if the oil-water contact had been
15 minus 7150, the reservoir would have been much larger?

16 A. Yes.

17 Q. Unfortunately, that did not pan out?

18 A. That did not pan out.

19 Q. So what you're asking is that the rules for this
20 pool be made permanent at this time, despite the
21 disappointment that you've experienced so far?

22 A. Yes, we are. Yes.

23 Q. Was Exhibit 1 prepared by you or under your
24 supervision?

25 A. Yes.

1 Q. And in your opinion is the continuation of the
2 160-acre spacing in the interests of conservation and the
3 prevention of waste?

4 A. Yes, it is.

5 MR. BRUCE: Mr. Examiner, I'd move the admission
6 of Read and Stevens Exhibit Number 1.

7 EXAMINER CATANACH: Exhibit Number 1 will be
8 admitted.

9 EXAMINATION

10 BY EXAMINER CATANACH:

11 Q. Mr. Maxey, when you brought the Klein well on did
12 you notice a decline in production in the Liberty well?

13 A. No, what we noticed is the -- on the production
14 curve that we have with both wells -- Well, let me retract
15 that. We noticed that the Klein came on at the same rate
16 as the Liberty. However, there is a slight point of
17 inflection in the Liberty curve at the point where the
18 Klein comes on.

19 I also have a point of inflection just after
20 January 30th of 2002. That's prior to the Klein coming on.
21 There are some issues with reservoir boundaries, I'm sure,
22 that are coming into play in the first inflection point,
23 but it's quite probable that that second inflection point
24 is from the Klein production. I can't state emphatically
25 it is. It could be coincidental, another boundary effect.

1 Q. Uh-huh. I assume that -- The acreage dedicated
2 to the Liberty 4, I assume that's the southwest quarter?

3 A. Yes.

4 Q. And the Klein is what, the southeast quarter of
5 5?

6 A. Yes.

7 Q. Is that commonly owned, that acreage?

8 A. The southwest quarter of 4 has a different
9 mineral owner configuration. It's slightly different,
10 there's not a big difference. The south half of the
11 southwest quarter, there was I believe one, maybe two
12 mineral owners that were different in that south half of 4,
13 as opposed to the north half of the southwest quarter of 4.

14 MR. BRUCE: Mr. Examiner that was, I think,
15 Exhibit 1 from the original hearing.

16 THE WITNESS: That was --

17 MR. BRUCE: I think there was testimony by --

18 THE WITNESS: Yes.

19 MR. BRUCE: -- Mr. Watson, the landman, at the
20 original hearing. The southeast quarter of 5 is all one
21 common lease. The southwest quarter of 4 is split up into
22 a north-half tract and a south-half tract.

23 THE WITNESS: Yes.

24 Q. (By Examiner Catanach) Okay. So both of these
25 wells are being produced at this time?

1 A. Yes.

2 Q. At their capacity, so there's --

3 A. Yes.

4 Q. And that's how you plan to keep producing the
5 wells --

6 A. Yes.

7 Q. -- so there's no correlative rights issues with
8 production from these wells?

9 A. No. They are both pumped down to the
10 perforations.

11 Q. What's the estimated remaining time that you need
12 to recover the reserves here? Do you know?

13 A. I did not calculate the remaining time, but the
14 Liberty is on a 30-percent decline, and if I had a better X
15 scale I could tell you pretty quick. Unless I see some
16 change in production later in the life of the Liberty --
17 The Klein is going to be over very quickly, it appears.
18 The Liberty, we're probably looking at several years.

19 Q. But you plan on producing the Klein until it's no
20 longer economic produce?

21 A. To economic limit, yes, we do.

22 Q. On your first page you show the black bold line
23 on the --

24 A. Yes.

25 Q. -- east side. I assume that's a fault?

1 A. Yes. Yes, this is faulted to the east side, and
 2 then if you go back further, off the map, there's a big
 3 fault to the west. This is coming up on the shelf six
 4 miles west of Monument, so we're coming up pretty
 5 dramatically from the Basin into the shelf area, and
 6 there's a lot of faulting, we had a lot of directional
 7 problem drilling the well. But this block is very high
 8 compared to the surrounding area.

9 I might add that even if the oil-water contact
 10 had been found where we had estimated it originally, we'd
 11 still have a problem of not being connected to an aquifer
 12 for a drive. We'd still be looking at very low recoveries
 13 per acre-foot, which would be very difficult to even drill
 14 a bigger reservoir with the drive mechanism that we were
 15 saddled with.

16 EXAMINER CATANACH: Okay, I don't think I have
 17 anything else, Mr. Bruce.

18 MR. BRUCE: I have nothing further of Mr. Maxey.

19 EXAMINER CATANACH: Okay, there being nothing
 20 further, Case 12,815 will be taken under advisement.

21 (Thereupon, these proceedings were concluded at
 22 10:38 a.m.)

23 * * *

24 *David M. [unclear]*
 25 Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 13th, 2003.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2006