

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 11,089
)
APPLICATION OF MERIDIAN OIL, INC.)
_____)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

November 10th, 1994
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, November 10th, 1994, at Morgan Hall, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

November 10th, 1994
 Examiner Hearing
 CASE NO. 11,089

	PAGE
EXHIBITS	3
APPEARANCES	4
STATEMENT BY MR. VAUGHN	7
STATEMENT BY MR. KELLAHIN	14
APPLICANT'S WITNESSES:	
<u>JAMES M. HORNBECK</u>	
Direct Examination by Mr. Kellahin	20
Examination by Mr. Vaughn	61
Examination by Examiner Catanach	63
<u>CHIP LANE</u>	
Direct Examination by Mr. Kellahin	75
Examination by Mr. Vaughn	90
Examination by Examiner Catanach	91
<u>DAVID DEAN PRICE</u>	
Direct Examination by Mr. Kellahin	94
Examination by Examiner Catanach	99
STATEMENT BY MR. KELLAHIN	100
REPORTER'S CERTIFICATE	105

* * *

STEVEN T. BRENNER, CCR
 (505) 989-9317

E X H I B I T S

	Identified	Admitted
Exhibit 1	98	99
Exhibit 2	22	61
Exhibit 3	25	61
Exhibit 4	32, 58	61
Exhibit 5	37	61
Exhibit 6	28	61
Exhibit 7	49	61
Exhibit 8	78	90
Exhibit 9	24	61
Exhibit 10	37	61
Exhibit 11	43	61

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR THE U.S. DEPARTMENT OF THE INTERIOR:

GRANT L. VAUGHN
Acting Field Solicitor
U.S. Department of the Interior
P.O. Box 1042
150 Washington Avenue, Suite 207
Santa Fe, New Mexico 87504-1042

* * *

ALSO PRESENT:

SHERRI THOMPSON
Petroleum Engineer
Colorado BLM State Office

(Continued...)

STEVEN T. BRENNER, CCR
(505) 989-9317

A P P E A R A N C E S (Continued)

ALSO PRESENT:

KENT HOFFMAN
Supervisory Geologist
Minerals Staff Chief
San Juan Resource Area
U.S. Bureau of Land Management
701 Camino del Rio
Durango, Colorado 80301

KEN YOUNG
Petroleum Engineer
Albuquerque Office
Bureau of Indian Affairs

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

1 WHEREUPON, the following proceedings were had at
2 12:37 p.m.:

3 EXAMINER CATANACH: We'll call the hearing back
4 to order at this time, and at this time we'll call Case
5 11,089.

6 MR. CARROLL: Application of Meridian Oil, Inc.,
7 to contract the vertical limits of the Barker Creek-Paradox
8 (Pennsylvanian) Pool, the amendment of Division Order
9 Number R-46, and the concomitant creation of three gas
10 pools, each with special rules and regulations therefor,
11 San Juan County, New Mexico.

12 EXAMINER CATANACH: Are there appearances in this
13 case?

14 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
15 the Santa Fe law firm of Kellahin and Kellahin, appearing
16 on behalf of Meridian Oil, Inc.

17 EXAMINER CATANACH: Additional appearances?

18 MR. VAUGHN: Mr. Examiner, let me leave this with
19 you. I don't have a card.

20 EXAMINER CATANACH: Okay.

21 MR. VAUGHN: My name is Grant Vaughn. I'm Acting
22 Field Solicitor for the US Department of the Interior here
23 in the Santa Fe field office.

24 I have with me today Sherri Thompson, Petroleum
25 Engineer, Colorado BLM State Office; Kent Hoffman,

STEVEN T. BRENNER, CCR
(505) 989-9317

1 Supervisory Geologist, San Juan Resource Area, BLM, out of
2 Durango, Colorado; and Mr. Ken Young, Petroleum Engineer
3 with the Albuquerque Office, Bureau of Indian Affairs.

4 Our reason for being here is to make a
5 preliminary statement and then to observe the proceeding
6 today. If you'd like that statement now or --

7 EXAMINER CATANACH: Yeah, that would be fine.

8 MR. VAUGHN: Okay, thank you.

9 I'm here at the request of the Bureau of Land
10 Management and the Regional Solicitor for the Southwest
11 Region.

12 We make this appearance to assert that the State
13 of New Mexico and this board do not have the authority to
14 render a final decision in this matter here before it
15 today.

16 Federal law is very clear that operation of oil
17 and gas leases on Indian lands are subject to the ultimate
18 jurisdiction of the Secretary of the Interior.

19 The Indian Minerals Leasing Act states, All
20 operations under any oil, gas or other mineral lease issued
21 pursuant to the terms of these sections or any other act
22 affecting restricted Indian lands shall be subject to the
23 rules and regulations promulgated by the Secretary of the
24 Interior. In the discretion of the said Secretary, any
25 lease for oil or gas issued under the provisions of these

STEVEN T. BRENNER, CCR
(505) 989-9317

1 sections shall be made subject to the terms of any
2 reasonable cooperative unit or other plan approved or
3 prescribed by said Secretary, prior or subsequent to the
4 issuance of any such lease which involves the development
5 or production of oil or gas from land covered by such
6 lease.

7 That's 25 United States Code, Section 396, small
8 d.

9 Regulations pursuant to this authority issued by
10 the Secretary state, Oil and gas leases issued under the
11 provisions of the regulations in this part shall be subject
12 to imposition by the Secretary of the Interior of such
13 restrictions as to time or times for the drilling of wells
14 and as to the production from any well or wells as in his
15 judgment may be necessary for or proper. The Secretary may
16 take into consideration, among other things, the federal
17 laws, the state laws, regulations by the competent federal
18 or state authorities, lawful agreements among operators
19 regulating either drilling or production or both, and any
20 regulatory action desired by tribal authorities. All such
21 leases shall be subject to any cooperative or unit
22 development plan affecting the lease plans that may be
23 required by the Secretary, but no lease shall be included
24 in any cooperative or unit plan without prior approval of
25 the Secretary of the Interior and consent of the Indian

STEVEN T. BRENNER, CCR
(505) 989-9317

1 tribe affected.

2 That's 25 CFR Section 211.21.

3 The federal courts have sustained these
4 principles in *Cheyenne Arapaho tribes of Oklahoma v. United*
5 *States* -- that's 966 F. 2nd, 583, 10th Circuit case from
6 1992; *Assiniboin and Sioux Tribes v. Board of Oil and Gas*
7 *Conservation*, 792 F. 2nd 782, 9th Circuit, 1986; and *Kenai*
8 *Oil and Gas v. Interior*, 671 F. 2nd 383, 10th Circuit,
9 1982.

10 The *Assiniboin and Sioux* case out of Fort Peck is
11 of interest, because it holds that the Department may not
12 delegate its decision-making responsibility with regard to
13 Indian oil and gas to the states. However, the decision
14 recognizes that the Department may properly cooperate with
15 state agencies to create a record through evidentiary
16 hearings or other consultations.

17 In the language of the court, quote, We do not
18 suggest that cooperation, including possibly limited
19 subdelegation by the Secretary to the state board of
20 nondiscretionary activities, such as compiling, hearing and
21 transmitting technical information, might not be
22 permissible and desirable.

23 That's 792 F. 2nd at 795.

24 The reason why the Department may not fully
25 delegate decision-making authority to the state is simply

STEVEN T. BRENNER, CCR
(505) 989-9317

1 that the Department acts as trustee for the Indian tribe
2 and must take into consideration factors other than the
3 usual technical information that state oil and gas boards
4 are usually concerned with.

5 Principally, the Department must give careful
6 consideration to the views of the tribe in reviewing
7 economic factors affecting the tribe and the resource. And
8 I refer you to the Kenai Oil and Cheyenne Arapaho cases for
9 those principles.

10 We note that the BLM has proposed an arrangement
11 which we understand now has been favorably received by the
12 Commission, that we're willing to cooperate with this board
13 in fact-finding hearings such as this today, and that is
14 why we're here. The BLM is very pleased to have you
15 conduct this technical review today.

16 But what we request is that after this hearing is
17 over, that the board and the Applicant recognize that a
18 final decision will be made by the Department of the
19 Interior.

20 And in that regard, we request copies of the
21 exhibits and hearing transcripts that are produced out of
22 this proceeding today. And that information should be
23 forwarded to Mr. Hoffman, and we can provide you with that
24 address and the location of his office as necessary.

25 Thank you, that's all we have to say at this

STEVEN T. BRENNER, CCR
(505) 989-9317

1 time.

2 MR. CARROLL: So Mr. Vaughn, you have no
3 objection to us going forward with the hearing?

4 MR. VAUGHN: No, we have no objection. We have
5 our BLM decision-makers here who, as necessary, would like
6 to supplement the record with any questions they may have,
7 but they can direct through me if that's how you prefer to
8 proceed on any of this technical information that's here
9 today. But they're very willing to hear any additional
10 information from Meridian in the next short time that we
11 have to make this final decision.

12 (Off the record)

13 MR. CARROLL: Mr. Vaughn, we'd like you to
14 address the possible conflict between OCD's mandate of
15 prevention of waste and protection of correlative rights
16 versus what you may consider the Department of the
17 Interior's interest in protecting, I guess, Indian oil and
18 gas reserves.

19 MR. VAUGHN: Well, in the first place, I don't --
20 It's all hypothetical, because we don't know if there would
21 be such a conflict in this case or any other.

22 All our position is, is that we need to make a
23 final determination based on the findings and
24 recommendations and decisions of this hearing, plus the
25 additional considerations we need to make with the input of

STEVEN T. BRENNER, CCR
(505) 989-9317

1 the Ute Mountain Ute Tribe.

2 All I'm saying is that it's speculative. I don't
3 know how it would be resolved. We may stand on our federal
4 rights, and you can stand on your state rights and see how
5 that works out in the long run.

6 But I don't think it's necessary to speculate on
7 a conflict when we do not have one as of yet.

8 MR. CARROLL: So you have no thoughts on what
9 would happen if our decision is based upon prevention of
10 waste, protection of correlative rights, and the Ute
11 Mountain Tribe disagreed with that decision, saying it's in
12 the best interests of the Tribe to find differently?

13 MR. VAUGHN: Well once again, it's based on pure
14 speculation, but the federal government interest is also to
15 avoid waste. As trustee, we have to avoid waste of the
16 resource of the Indian tribe.

17 The views of the Tribe are to be considered.
18 They're not the final determination here, just as we
19 believe this board is not the final determination. The
20 Department as trustee has to make that responsibility.

21 And the reason why, the importance of why we're
22 here and why I cited those cases, because those cases
23 clearly point out that the US Department of the Interior is
24 liable to the tribes in breach of trust if they fail to
25 make an appropriate decision.

STEVEN T. BRENNER, CCR
(505) 989-9317

1 An appropriate decision is not necessarily a
2 decision that's right or wrong; it's an appropriate
3 decision that takes into consideration all the appropriate
4 considerations. We're looking at an arbitrary and
5 capricious standard.

6 So I'm sure there could be a lot of factual
7 disputes and argument as to what constitutes waste and what
8 doesn't, what's the best evidence and what's not, and all
9 those kinds of things. But the important thing for the
10 Department is that we're fully informed to make a
11 reasonable and rational decision.

12 And we're not anticipating conflicts. We want to
13 get along with both the State and the Tribe, and that's the
14 reason why we're here today, to cooperate in this
15 proceeding.

16 MR. CARROLL: Okay, Mr. Vaughn, I'll call the
17 office and have somebody run over here with the letter we
18 responded to Mr. Strunk.

19 MR. VAUGHN: We'd appreciate that, that's great.

20 MR. CARROLL: I wish I would have remembered it.

21 MR. KELLAHIN: We have that here.

22 MR. CARROLL: Oh, you have a copy of it?

23 MR. KELLAHIN: Sure, you gave me one the other
24 day. Is that the one you're talking about?

25 MR. CARROLL: Yeah.

1 MR. KELLAHIN: Yes, sir, we have it.

2 MR. CARROLL: Do you have an extra copy?

3 MR. KELLAHIN: Yes, sir, we fully intend to show
4 you all those letters.

5 MR. CARROLL: Okay.

6 EXAMINER CATANACH: Mr. Kellahin, do you have any
7 kind of statement you'd like to make?

8 MR. KELLAHIN: I didn't think you'd ever ask me,
9 Mr. Examiner. I didn't think I'd ever be asked.

10 I'm certainly not here to debate jurisdiction nor
11 to concede any of the points or concerns that Mr. Vaughn
12 has raised with you. I think we have an incredibly useful,
13 very meaningful process that the Oil Conservation Division
14 has in place by which all these agencies can listen, learn
15 and participate in the technical process by which they can
16 make their own decisions.

17 Our concern as an operator is that the federal
18 government will stand on its federal jurisdiction, the
19 Native American Indian will stand on its tribal
20 jurisdiction, and the State of New Mexico will be standing
21 on its state jurisdiction, and we're afraid they're all
22 going to be standing on Meridian Oil, and we don't want you
23 standing on our neck.

24 And we think the way to accommodate that
25 potential concern without resolving all these jurisdiction

1 issues is to use this very process.

2 I think it was best stated in the letter that was
3 sent to Director LeMay, dated October 20th, by David
4 Strunk, who I understand is the Deputy State Director,
5 Bureau of Land Management, in the Colorado State Office.
6 We have these letters available. You can read them in
7 detail.

8 But let me simply paraphrase a couple of the
9 articles out of -- paragraphs out of the letter that
10 conveyed to me my personal sense of how this process
11 certainly can work.

12 And he begins by saying, For many years there has
13 been a spirit of cooperation, communication and trust
14 between the New Mexico Oil Conservation Division and the
15 Colorado Bureau of Land Management in the management of the
16 Ute Mountain Ute tribal lands and the State of New Mexico
17 in the development of our Nation's oil and gas resources.
18 Each agency's mission and staffing levels have grown during
19 these years to the point where we believe it is important
20 to formalize our excellent working relationships, as well
21 as define each agency's role and responsibilities. It is
22 important to provide the oil and gas lessee and operator
23 with consistent policy and procedures on the Ute Mountain
24 Ute tribal lands.

25 It goes on to say that the BLM would like to use

STEVEN T. BRENNER, CCR
(505) 989-9317

1 the State Commission's hearing process so as not to
2 duplicate the effort and costs of a separate hearing
3 process to accommodate the industry's familiarity with the
4 existing process, and we would appreciate the NMOCD's input
5 to achieve consistency across jurisdictional boundaries.

6 It says, This course of action is useful to the
7 BLM in its review of oil and gas development decisions on
8 tribal lands, and it provides a more efficient and lower-
9 cost option than formulating and implementing a hearing
10 process of our own, and it is also less confusing to the
11 oil and gas industry.

12 And that's what we hope to accomplish here, is a
13 forum where there is technical people involved, technical
14 decision-makers that are here to listen to the
15 presentation, to ask questions, and to participate in a
16 process that develops a record that's useful for all of us,
17 and so that we don't have to go from jurisdiction to
18 jurisdiction with individual presentations. The
19 opportunity for consistency and uniformity is important to
20 us.

21 We are principally here today to persuade this
22 agency that in order to prevent waste and protect
23 correlative rights there are some very fundamental and
24 important changes that must be made in one of the pools
25 that you have managed for some 50 years with the

STEVEN T. BRENNER, CCR
(505) 989-9317

1 acquiescence, consent and concurrence of the federal and
2 tribal jurisdictions, and so we're ready to proceed on that
3 point.

4 As a matter of information, we have not
5 forecasted the participation of all these people. We have
6 brought 12 sets of our exhibits, and we will hand them out
7 till we don't have any more, and if there's someone that
8 wants some more, if they'll just give me the name and
9 mailing address, we'll assure you that you can all have
10 copies of whatever we present.

11 MR. CARROLL: One preliminary matter here. In
12 the letter from Mr. Strunk it said the BLM would issue an
13 order within 30 days after this hearing, after receiving
14 the Examiner's recommendation.

15 That might be cutting the time pretty short for
16 getting our Examiner's recommendation. Sometimes -- We try
17 to get it out 30 days after the transcript is received.

18 MR. VAUGHN: Well, that 30 days is after your
19 final action is completed; am I right?

20 MR. CARROLL: The letter said after the hearing.

21 MR. VAUGHN: Well, the intent, I believe, was
22 to --

23 MR. CARROLL: Thirty days after this decision.

24 MR. VAUGHN: -- thirty days after your
25 determination is made.

1 MR. CARROLL: Okay. Well, that clears that up.

2 MR. VAUGHN: And so we'll state that on the
3 record.

4 EXAMINER CATANACH: Well, there's a question in
5 my mind about -- we usually -- In a situation like this, we
6 will usually issue an order that has our decision in it.

7 I don't know if we're going to stay with that
8 process and issue a formal decision or we're just going to
9 make recommendations. I don't know what we're going to do
10 about that yet, but that has to be addressed sometime --

11 MR. VAUGHN: It does, and I'm glad that we've got
12 a dialogue going. I'm glad that you responded favorably to
13 that letter. It would be best, of course, if we had
14 everything formally put in place already, but I think we're
15 all in agreement that we can make this work. And whatever
16 you do in your final action is -- will be respected by the
17 Department and will form the principal basis of our
18 decision, because it will have the technical findings and
19 review.

20 EXAMINER CATANACH: Okay, that's something that's
21 going to have to be addressed internally within our
22 Division to see how we're going to handle it.

23 MR. VAUGHN: Okay.

24 EXAMINER CATANACH: Are we ready to proceed at
25 that? Mr. Kellahin?

1 MR. KELLAHIN: We are, Mr. Examiner. I have
2 three witnesses to be sworn.

3 EXAMINER CATANACH: Will the witnesses please
4 stand and be sworn in?

5 (Thereupon, the witnesses were sworn.)

6 MR. KELLAHIN: Mr. Examiner, by way of
7 introduction, we have a series of exhibits that are
8 organized in a smaller handout exhibit book. We've also
9 chosen to take key exhibits and to make larger copies of
10 those.

11 In addition, there are large copy displayed
12 exhibits that, if reduced to put in a little book, are no
13 longer legible or meaningful.

14 So as we go through the presentation exhibits, I
15 want you to know that we have pre-numbered the ones in the
16 book.

17 The larger ones have the identification for the
18 exhibits but are unnumbered, and we may have to present
19 them to you out of sequence in order that you see all the
20 parts. But that's how we have organized the exhibits.

21 We have distributed to you copies of some of the
22 larger ones already. I have extra copies on the table, and
23 as we discuss those exhibits I will hand them out. That
24 may be the most expedient way to go about that.

25 First of all, let me circulate the smaller

1 booklets so that at least we have distributed those.

2 Again, I apologize for not quite having enough.

3 If we're short --

4 MR. VAUGHN: We're fine.

5 MR. KELLAHIN: -- and you need extras, call me

6 and we'll get you some.

7 Mr. Examiner, my first witness to present to you
8 is Mr. Jim Hornbeck. He spells his last name
9 H-o-r-n-b-e-c-k. Mr. Hornbeck is a petroleum geologist
10 residing in Farmington, New Mexico.

11 JAMES M. HORNBECK,

12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. For the record, sir, would you please state your
17 name and occupation?

18 A. My name is Jim Hornbeck, and I'm a petroleum
19 geologist with Meridian Oil in Farmington, New Mexico.

20 Q. On prior occasions, sir, have you testified
21 before this regulatory body as a qualified expert witness
22 in the field of petroleum geology?

23 A. Yes, I have.

24 Q. Summarize for us, if you will, what has been your
25 particular involvement on behalf of your company within

STEVEN T. BRENNER, CCR
(505) 989-9317

1 your profession for this particular case.

2 A. I am the project geologist for the Barker Dome
3 field project.

4 Q. Are there other members of your project team
5 besides yourself that worked on this project?

6 A. Yes, there are.

7 Q. Identify them for me, please.

8 A. I have two in the audience: Mr. Chip Lane, the
9 reservoir engineer; and Mr. Dean Price, the project
10 landman.

11 Q. As a result of that combined effort by you
12 technical individuals, have you come up to some
13 recommendations with regards to how to future manage the
14 regulatory rules with regards to production out of what is
15 now known as the Barker Creek-Paradox (Pennsylvanian) Gas
16 Pool?

17 A. Yes, we have.

18 MR. KELLAHIN: We tender Mr. Hornbeck as an
19 expert petroleum geologist.

20 EXAMINER CATANACH: Mr. Hornbeck, for the benefit
21 of the parties here, could you briefly go over your
22 educational background?

23 THE WITNESS: I have a bachelor of science degree
24 in geology from Long Island University. I have a master of
25 science --

1 Q. (By Mr. Kellahin) In what year did you obtain
2 it? These are tough, Jim, I know. I'm sorry.

3 A. Going back a ways here. I believe it was 1973.
4 And I have a master's of science from the University of New
5 York, State University of New York, in geology in 1976, and
6 I have been working in the petroleum industry for a variety
7 of companies since that time, predominantly in the San Juan
8 Basin and Paradox Basin of southeastern Utah and
9 northwestern New Mexico.

10 EXAMINER CATANACH: Thank you, Mr. Hornbeck.

11 The witness is considered qualified.

12 Q. (By Mr. Kellahin) I think it may be useful, Mr.
13 Hornbeck, if we'll go to the small exhibit book. Help me
14 find the locator map that shows us what part of the San
15 Juan Basin that you're focusing our attention to. Is there
16 such a display?

17 A. Yes, there is. Exhibit 2 is --

18 Q. All right, let's turn to Exhibit Tab 2 and turn
19 behind that tab, and there's a display. Is that what
20 you're talking about?

21 A. Yes, I am.

22 Q. All right. What's the source of this document?

23 A. This is a structural map of the northwestern New
24 Mexico San Juan Basin and southern Colorado. It is a
25 professionally prepared structure map from a technical

1 journal, and it is a structure map on the base of the
2 Greenhorn, which is a very good structural datum for
3 mapping in the northwestern New Mexico area.

4 And from that map it's possible to note -- to see
5 that the Barker Creek Dome field is located along the
6 Colorado-New Mexico border. It is about 30 miles northwest
7 of Farmington, New Mexico and is located outside the proper
8 San Juan -- structural San Juan Basin, and is located in an
9 area referred to as the Four Corners Platform.

10 Q. Is this a geologic map that's generally utilized
11 and relied upon by geologic experts within this particular
12 area and portion of Colorado and New Mexico?

13 A. Yes, it is.

14 Q. Okay. What's the point?

15 A. The point is to locate for the audience and the
16 Examiner where Barker Creek Dome field is and its position
17 with relationship to the State of -- the northwestern area
18 of New Mexico.

19 Q. All right, sir. Do you have another locator map
20 that will give us the current horizontal boundaries of the
21 existing pool and show the location of wells that currently
22 produce out of that pool?

23 A. We do, it's a larger wall exhibit.

24 Q. All right, and you characterized it with the type
25 log?

1 A. That's correct.

2 Q. Hang on, don't talk.

3 What's our last exhibit number?

4 A. Eight.

5 MR. KELLAHIN: All right, this will be Number 9.

6 Did you get one of these already?

7 EXAMINER CATANACH: I believe they already have
8 been distributed up there.

9 Q. (By Mr. Kellahin) All right. For purposes of
10 the record, Mr. Hornbeck, I'm taking what you've identified
11 as a structure map on top of the Barker Creek.

12 A. Yes.

13 Q. It's a large-scale display, and I'm going to mark
14 that as Meridian Exhibit 9.

15 All right. Before we discuss the technical
16 details, help us understand how you've color-coded the
17 display.

18 A. This display is an intent to visualize our
19 proposed pool area within the State of New Mexico for the
20 Barker Creek pools.

21 There is a structure map drawn on the top of the
22 Barker Creek, which is a -- one of the pay intervals within
23 the Barker Creek producing field, and on it are located all
24 existing Pennsylvanian tests that have been drilled from
25 the discovery of the pool back in 1945 to the present time.

1 Q. All right, let me stop you there. The green line
2 represents your proposed boundary for all the pools?

3 A. That is correct.

4 Q. This proposed boundary is not consistent with the
5 current pool boundary for the Barker Creek-Paradox
6 (Pennsylvanian) Pool?

7 A. That is correct.

8 Q. All right. Let's look to see what the current
9 boundary is for the pool. If you'll look behind Exhibit
10 Tab Number 3 in the little book, that display has got some
11 information on it other than what I'm describing for you,
12 but is there a color code on Exhibit 3 that will show the
13 Examiner what the current boundary is for the existing
14 pool?

15 A. Yes, if you look down in the lower left-hand
16 corner of the exhibit, there is a legend which shows the
17 current pool boundary as a dotted and dashed outline, and
18 then the proposed pool boundary directly underneath it in
19 the legend is a solid red line, and the two are compared on
20 that map.

21 Q. All right, let's stay on this topic.

22 Are you recommending to the Examiner that if he
23 agrees to subdivide the existing pool, that the original
24 pool, as contracted, plus the new pools created out of the
25 subdivision, should have a boundary for pool purposes that

1 is concomitant with the green line shown on Exhibit 9?

2 A. That is correct. The green line on that larger
3 scale map and the proposed pool boundary in the smaller
4 exhibit are the same.

5 Q. Okay, let's talk about why. Geologically, is
6 there anything on Exhibit 9 that causes you to reach a
7 geologic conclusion about the appropriate horizontal
8 boundaries, if you will, by which to establish rules for
9 all these pools?

10 A. Yes, we believe there are.

11 The structural interpretation of that map leads
12 to a double -- an anticlinal closure that was originally
13 developed in the early 1940s and 1950s, testing the
14 structural area under closure on approximately eight or ten
15 miles, square miles, of closure, and the productive zones
16 are developed in a relationship structurally with the area
17 under closure.

18 And we feel that that area that is being proposed
19 for the pool area right now will allow us to effectively
20 delineate and explore along the closure for additional oil
21 and gas reserves.

22 Q. Is there a label that you geologists put on this
23 kind of creature? What do you call this thing?

24 A. It would be a doubly plunging anticline or a
25 structural dome.

1 Q. Easy for you to say.

2 A. Dome.

3 Q. Dome. All right. So on the New Mexico side of
4 this feature, you're proposing that all these pool rules
5 cover the surface acreage that you've identified on this
6 display?

7 A. That is our recommendation, yes, sir.

8 Q. All right. On the Colorado side of this, just
9 for point of information, are there rules that deal with
10 any of these various intervals in the Pennsylvanian?

11 A. Yes, there are.

12 Q. Do you know from memory what they were doing in
13 Colorado about spacing?

14 A. It is 640-acre spacing --

15 Q. All right.

16 A. -- for all those zones.

17 Q. Okay. Is it appropriate, do you think as a
18 geologist, that the boundaries should be the same for all
19 these pools if the Division agrees to subdivide the
20 original pool?

21 A. Based on their relationship to the structural
22 closure on the dome, I think it's a reasonable
23 interpretation.

24 Q. Will that provide uniformity and consistency to
25 these various intervals so that they'll have the same set

1 of rules, regardless of where the well may be within the
2 structural feature?

3 A. Yes.

4 Q. We're going to come back to this display in a
5 minute, but let's now look at the vertical picture.

6 Do you have a display that we can go to and help
7 the Examiner and the audience see what the opportunities
8 are for subdividing the Pennsylvanian and then looking at
9 what your recommendations are?

10 A. I would like to have everyone turn to the exhibit
11 behind Tab Exhibit 6.

12 Q. Okay.

13 A. This is a stratigraphic cross-section relating
14 the older existing 1950s vintage electrical wireline log
15 control, which is the majority of the well log information
16 in the New Mexico portion of the field.

17 Q. All right, let's take a little detour, Mr.
18 Hornbeck.

19 A. Okay.

20 Q. When you look at the vintage of the log data in
21 the existing pool, what kind of vintage are we talking
22 about?

23 A. Well, for the most part, the majority of the data
24 is early 19- -- well, middle to late 1940s and early 1950s.
25 You have old SP and resistivity logs, and if we're lucky a

1 gamma-ray.

2 Q. So what's the problem?

3 A. We don't really have a good understanding of the
4 thickness and development of porosity within the particular
5 zones, unless we have a new, modern set of wireline logs.

6 Q. Log quality, then, is not as sophisticated as it
7 is now, and therefore you can't use those old logs to the
8 degree that you can use new logs for analytical purposes?

9 A. That is correct.

10 Q. What did you do?

11 A. We utilized the available data from the original
12 drilling files to try and understand the nature and
13 thickness of pays within the field, looking at cuttings
14 descriptions, any available core descriptions, which were
15 very limited. There's one core -- or maybe perhaps two
16 cores in New Mexico when the field was developed.

17 Q. Any modern geologic data that you could utilize?

18 A. We utilized some cased-hole modern gamma-rays
19 when we re-entered inactive wells, and that is about the
20 sum of the data we had to call on for interpretation
21 purposes.

22 Q. So then what did you do?

23 A. Well, we correlated the intervals as best we
24 could with the data we have, and we're integrating the
25 modern well control as we acquire it.

STEVEN T. BRENNER, CCR
(505) 989-9317

1 Q. Do you have a point of modern well control that
2 exists by which to aid you in making this correlation?

3 A. Yes, we do, and --

4 Q. And where is that well?

5 A. The well we have used for the correlation
6 purposes is a well just north of the New Mexico border, and
7 I believe it's in Section 22 of La Plata County, in 32
8 North, 13 1/2 West.

9 Q. All right. And if we're looking at Exhibit 6, if
10 we look at the log on the right-hand side of Exhibit 6,
11 that's it?

12 A. That's correct.

13 Q. Okay. Let's use that log for a moment.

14 A. Okay.

15 Q. Take that log for me and geologically subdivide
16 the Pennsylvanian into the separate sources of common
17 supply within the Pennsylvanian.

18 A. What we found with modern wireline logs -- in
19 particular, porosity, neutron porosity and density wireline
20 log control -- is that there are a series of intervals with
21 varying limestone/dolomite make-ups in which some of the
22 zones are more porous and permeable and are interpreted as
23 gas-productive, separated vertically by very thick
24 intervals of impermeable shales, anhydrites and, in some
25 cases, tight limestones.

1 Q. Before we go through that detailed discussion,
2 tell us where the primarily producing interval has been
3 among the Pennsylvanian intervals for all the historic
4 production out of the pool.

5 A. Originally when the structure was tested and gas
6 was found productive within the Pennsylvanian Paradox
7 formation, all wells on the structure were drilled to test
8 and were completed in what is called the Lower Barker
9 Creek.

10 Q. How is that color-coded on your Exhibit 6?

11 A. It is a salmon-pink color, and it's also noted on
12 the side by the stratigraphic nomenclature. And that is
13 the zone in the field that has to date produced the
14 majority of gas, and it's right now at about 230 billion
15 cubic feet of gas, since production was initiated back in
16 1945.

17 Q. This regulatory body, under an order from the Oil
18 Conservation Commission dated November 21st, 1950, Order
19 Number R-46, established some pool rules for this entire
20 Pennsylvanian series of reservoirs, did it not?

21 A. That is correct.

22 Q. What were the rules?

23 A. The rules were, a well could be drilled on 640-
24 acre spacing, one well on 640-acre spacing, completed in a
25 Paradox-defined pool, which included everything from -- on

1 this cross-section, from the top of the Ismay to the bottom
2 of the Alkali Gulch.

3 Q. Did it provide for well locations within a
4 section or spacing unit?

5 A. Yes, it did.

6 Q. And what were those locations?

7 A. There's an exhibit I'll need to refer to, to make
8 sure I get this correct, and I hope it's in here.

9 Q. If it's not, I'm holding it.

10 A. Would you help me out, please --

11 Q. Sure.

12 A. -- and tell me what that spacing is?

13 Q. May I approach the witness, Mr. Examiner?

14 A. Thank you. I'm going to read from the original
15 gas pool determination: For those pools appearing to
16 require 640-acre spacing in the Pennsylvanian formation,
17 orthodox locations should be required to be no closer than
18 330 feet to the center and 1650 feet from the boundary of
19 each section in the Barker Creek Paradox (Pennsylvanian)
20 Pool.

21 Q. All right. Let's look at your Exhibit 4 now.

22 A. Okay.

23 Q. What does that show you?

24 A. There are a series of -- There are four exhibits
25 included in there.

1 Q. Find me the one that shows me the well spacing
2 pattern under the current rules if I'm stuck with 640 gas
3 spacing and these footage setbacks.

4 A. It is -- I believe it's the first of the four
5 behind Tab Number 4, Exhibit Number 4.

6 Q. All right, that's what we have for the current
7 rules. That's well locations plus the proration spacing
8 unit dedication of 640?

9 A. Right.

10 Q. All right?

11 A. Yes, sir.

12 Q. How long did those rules stay in place?

13 A. They are still in place, to this day.

14 Q. So what's wrong with them?

15 A. They are an encumbrance, based on some certain
16 physical aspects of the topography of the area where the
17 field is located and the very special considerations for
18 archeological sites within the area. It has become very
19 difficult for Meridian Oil to space wells within this
20 existing spacing resolution that we have right now.

21 Q. The well-location problems are significant
22 because the restrictions on locations are too severe for
23 the topography and the archeological limitations?

24 A. Well, we feel it would benefit all parties if we
25 would have a little bit more flexibility in trying to stake

1 new well locations.

2 Q. All right, we're going to come back to that
3 later.

4 When you look at 640 gas spacing, what's wrong
5 with that?

6 A. Nothing, if -- depending on what reservoir you're
7 talking about.

8 Q. Well, shouldn't we keep the entire Pennsylvanian
9 as one pool?

10 A. No, based on the work that we have done, looking
11 at the producing horizons in the Barker Dome field, we've
12 found that there are variations in reservoir quality,
13 depending on which zone we are looking at evaluating, which
14 would not be effectively -- the gas would not be
15 effectively drained, based on a blanket 640-acre spacing
16 regulation.

17 Q. Well, I don't understand. Why can't you take
18 these wellbores depleted out of a lower zone and, once
19 depleted, move up to another portion of these intervals in
20 the same gross pool?

21 A. Well, based on the comment I made before about
22 the modern wireline log on the Ute 16, we've found that
23 there are vertical permeability barriers to the other
24 distinct zones and the porosity developed within them, in
25 that they are still at higher normal pressures, virgin

1 pressures, which are undepleted, and the existing pressure
2 in the main producing horizon, the Lower Barker Creek, has
3 been depleted down to approximately half of its original
4 pressure.

5 So we're looking at trying to commingle new zones
6 at about 3400 pounds pressure with old zones that have been
7 completed down to approximately 1500 pounds of pressure.

8 Q. What's the approximate date of the last vertical
9 well to be drilled in this pool?

10 A. In the pool itself we have been actively
11 developing in the past year, and we have just completed a
12 program in which we probably -- I'd say the middle of
13 September was our last drilled well in the pool.

14 Q. All right. Before you started that program, how
15 long a period had elapsed between starting that program and
16 the last vertical well drilled?

17 A. If what you're asking me is how long before we
18 started our delineation and additional drilling to try and
19 identify additional remaining reserves, it was probably on
20 the course of between 35 and 40 years.

21 Q. Was there anything about these existing rules
22 that was an impediment to further exploration and
23 development of this resource?

24 A. It was an impediment to some of our additional
25 evaluation of these shallower zones.

1 Q. Let's go back to the subdivisions. When we look
2 at Exhibit 6, staying with the Ute 16 log -- and you can
3 either start at the bottom or start at the top, but let's
4 start and have you geologically show me your conclusion and
5 the reasons for identifying however many separate sources
6 of supply as you've concluded are contained within the
7 current pool limits.

8 A. We believe, based on the work with the older
9 geologic information we had to work with originally and the
10 modern wireline logs to help us support that interpretation
11 with stratigraphic correlations, that we have found an
12 Ismay zone which is separate from the Lower Barker Creek
13 productive interval, a Desert Creek interval which holds
14 promise with the porosity developed in it, an Upper Barker
15 Creek, and an Alkali Gulch interval that all have separate
16 different sources of supply of gas across the structure as
17 mapped on the wall exhibit, which is Exhibit Number 9.

18 Q. All right. Did you get me to the bottom?

19 A. Yes, I did.

20 Q. All right. Let's start with the top pool.

21 A. All right.

22 Q. When you look at the data available -- We've got
23 the X-X' cross-section; I think that's a useful display to
24 go to. How is that identified for us in the book?

25 A. There is a locator map for stratigraphic cross-

1 section X-X', which is Exhibit 5.

2 Q. Did you reduce the cross-section to a small
3 display in the book?

4 A. No, I did not.

5 Q. All right. Let me hand out the cross-sections,
6 then.

7 A. That will be Exhibit 10.

8 Q. Ten, cross-section, 10. We're going to work our
9 way to Exhibit 10?

10 A. Yes, we are.

11 Q. But let's finish with Exhibit 6 so we don't lose
12 anybody.

13 A. Okay.

14 Q. Back to Exhibit 6, you've taken the Ute 16 log,
15 which is a modern, high-quality log --

16 A. That's right.

17 Q. -- you've analyzed it, and you have found your
18 separate reservoirs, if you will.

19 A. Yes, sir.

20 Q. What then did you do to integrate it back into
21 the existing pool in New Mexico?

22 A. What I attempted to do, based on the existing
23 older wireline logs and cutting descriptions and core data
24 and whatever we could find to utilize, was, we tried to
25 correlate the modern wireline log zones back into the older

1 electrical log responses, as shown in the Ute 6, and that
2 relationship between the Ute 16 and the Ute 6 is indicated
3 or pointed out on Exhibit 9 on the wall, the structure map.

4 This shows the spatial relationship between the
5 type log, the Ute 6 log, which we're going to propose our
6 pools on, and then the red line tying it to the Ute 6,
7 along the northwest flank of the structure, down in the
8 proposed pool area in New Mexico.

9 And what it does is, it allows us, along with the
10 other wall exhibit, cross-section -- stratigraphic cross-
11 section X-X', is to tie all the wireline log control or
12 most of the wireline log control within the proposed pool
13 area and delineate the zones across the feature in New
14 Mexico and show the lateral continuity of those zones.

15 And all I wanted to also point out on Exhibit 6
16 before we leave it is that based on the neutron density
17 responses on the Ute 16 log, it is possible to delineate
18 the tighter permeability barriers to vertical migration of
19 gas between the zones.

20 Q. Well, let's do that.

21 A. All right, that's fine.

22 Q. Start at the top and show me these barriers to
23 vertical flow that separate these out into separate
24 reservoirs.

25 A. Okay, starting at the top of the Ute 16 in the

1 Ismay, there's a tight and impermeable shale section of
2 approximately 50 feet, at which -- the base of it is the
3 base of the interpreted Ismay stratigraphic interval.

4 In the Desert Creek we have an interval that is
5 for the most part tight and impermeable, and it has a
6 thickness of over -- right at 100 feet, and that is mostly
7 tight dolomites and some shales.

8 The Akah interval, which is not colored here, is
9 a series of evaporites, including anhydrite, nonporous
10 dolomite and shales, and it separates the Desert Creek from
11 the Barker Creek, which we have broken out from
12 correlations across the field between upper and lower.

13 Within the Upper Barker Creek, there are various
14 tight limestones and dolomites with very few stringers of
15 porosity interspersed within it.

16 The high-porosity main producer in the field, the
17 Lower Barker Creek, is in pink on the Ute 16 wireline log,
18 and you can see there are some porosity responses with
19 deflections to the left, indicating porosity in about 40
20 foot of interval. But then there's about 30 or 40 feet of
21 tight limestone and dolomite underlying it from the Alkali
22 Gulch.

23 And then finally in the Alkali Gulch, there's a
24 series of tight and impermeable limestones and dolomite
25 separating out the one particular zone that has been

STEVEN T. BRENNER, CCR
(505) 989-9317

1 perforated and is productive, and it is down at about 8360
2 feet.

3 And then we're back into tight, nonporous
4 impermeable shales and dolomites.

5 Q. Okay.

6 A. And we have a larger scale log which might also
7 lend itself to --

8 Q. Yeah, we can come to that in a second.

9 All right, now make the correlation from the Ute
10 16 log to the Ute 6.

11 A. Okay, in trying to correlate and tie in the
12 modern wireline log control to the older existing
13 electrical logs, you can correlate in as we have done, or I
14 have done on this type -- on this cross-section.

15 And that gives you a tie to all the old, existing
16 electrical wireline control in the New Mexico proposed
17 pool. And that locator -- Or that allows you to correlate
18 across the entire proposed pool area with the existing well
19 control, as is shown in Exhibit 5, in which we have shown
20 the outline of the proposed pool area, and then the cross-
21 section as it is -- cross-section X-X' on the wall here,
22 Exhibit 10, which links all the stratigraphic intervals
23 across the proposed pool area.

24 And those are the wireline logs and the zones as
25 mapped based on the existing control that we have.

STEVEN T. BRENNER, CCR
(505) 989-9317

1 Q. Are you satisfied that you have successfully and
2 accurately used this method and properly correlated all the
3 logs within the existing pool?

4 A. I feel we have done the best job we can, yes,
5 sir.

6 Q. All right. Do you believe that there is
7 sufficient quality of correlation that you can reach
8 geologic conclusions about the continuity or lack of
9 continuity of those individual reservoirs, as they are
10 identified throughout the pool?

11 A. Based on the wireline control, one well per mile,
12 we feel confident that that is the stratigraphic
13 relationship across that portion of the structure.

14 Q. Let's go now to Exhibit 10, which is the X-X'
15 cross-section. You said Exhibit 5 is the locator index to
16 show the Examiner that you've attempted to connect
17 virtually all of the wells in some fashion so that he would
18 have them displayed before him.

19 A. Yeah, stratigraphic cross-section X-X' is merely
20 an attempt to show the correlations from well to well in a
21 southwest-northeasterly direction along the axis of the
22 structure and ties the majority of the wells across the New
23 Mexico portion of the field.

24 And it shows that there are some mappable units
25 that can be correlated and interpreted to show the zones

1 across the New Mexico portion of the field.

2 Q. One of the concerns the Examiner is going to have
3 is that in exercising his conservation obligations, he
4 wants to deal with pools that can be identified
5 horizontally to be continuous over a certain defined area.

6 When we look at your proposed pool area, can you
7 reach any geologic conclusions about the continuity of each
8 and every one of these zones?

9 A. Yes, they are definitely definable across the
10 proposed pool area. As we get more modern wireline control
11 in the area, it will become easier to identify them and
12 make sure they are truly laterally continuous as we have
13 interpreted from the existing well control.

14 And I think that we are close to as accurate as
15 we can be with the correlation using the sample
16 descriptions, existing core data and existing wireline
17 logs.

18 Q. Let me put it to you this way: Are you aware of
19 any geologic data that is contrary to and inconsistent with
20 the conclusions you've reached?

21 A. I am not.

22 Q. All right. You've identified geologically six
23 separate identifiable intervals, each separated one from
24 another.

25 A. (Nods)

1 Q. All right?

2 A. Yes, sir.

3 Q. Show us what you have concluded to be an
4 appropriate organization of those intervals into separate
5 pools.

6 A. All right.

7 Q. You've got more intervals than you have pools?

8 A. That is correct.

9 Q. Show us what you did and how you got that
10 conclusion.

11 A. In order to do that, it would be necessary to go
12 to the proposed pool revision rules and the type log that
13 is hanging on the wall here, which I believe we'll call
14 Exhibit 11.

15 Q. Let's do that.

16 A. Okay.

17 Q. All right, we've got the little Exhibit 6 as a
18 reference. We're now looking at the big display, Exhibit
19 11, which is your type log.

20 Take us through your analysis of how you're
21 proposing to subdivide the existing pool into what will now
22 be four pools, the contraction of the original one and the
23 creation of three more, for a total of four.

24 A. What we have attempted to do -- and I'll be
25 speaking from the Exhibits 11, which is a larger-scale type

1 log of the Ute 16 with modern wireline control -- What we
2 have tried to do is make the most logical division of
3 productive intervals within the field to help us delineate
4 additional opportunities and produce existing gas that is
5 now not developed.

6 And what we propose to do in this field at the
7 present time is to vertically contract the vertical limit
8 of the existing pool, which at the present time includes
9 all zones within the Paradox formation, to vertically
10 contract that down, 640-acre spacing, to include both the
11 Lower Barker Creek, which is already developed within the
12 structural -- along the structure of the field, and include
13 it with the Alkali Gulch pay zone and call that, now, the
14 revised vertical limit of the Barker Creek Paradox Pool,
15 and we'd like to maintain that on 640-acre spacing.

16 Q. All right. Let me stop you at that point and ask
17 you for the rationale to do that.

18 A. Well, it's become apparent to us in operating the
19 field that wells under existing 640-acre spacing completed
20 in the Lower Barker Creek and the Alkali Gulch have been
21 effectively drained on 640-acre spacing.

22 Current pressures are in the range of half the
23 original pressure in that existing productive pool -- or
24 interval. And we see no reason to try and infill for
25 additional reserves since it looks like it has been

STEVEN T. BRENNER, CCR
(505) 989-9317

1 effectively drained on its present spacing.

2 Q. Do you have any geologic data or information to
3 cause you to believe you should downspace that proposed
4 lower pool?

5 A. Well, we have what we think is geologic
6 information to the opposite. We think we should leave it
7 alone.

8 We have some production information and some
9 pressure information, like I said, that shows the depletion
10 on existing spacing. And --

11 Q. All right. What's the argument to include the
12 Lower Barker Creek and the Alkali -- is it? -- Gulch?

13 A. Alkali.

14 Q. -- and the Alkali Gulch portion? You've
15 identified them as having slightly different geologic
16 characteristics, if I believe -- I remember.

17 A. They are separated by some tight impermeable
18 section. And the reason we'd like to keep them included in
19 the same pool right now is, based on the development
20 originally in the 1940s and 1950s of the Lower Barker Creek
21 -- or the field on this structural -- the structure of
22 the -- Based on the development of the structure of the
23 field, they were at times along the development plan
24 commingled and produced together.

25 And when they are produced like that, it's become

1 apparent that depletion has occurred in both zones.
2 They're about at the same pressure and can be produced at
3 the same -- in the same wellbore commingled, based on the
4 640-acre spacing.

5 Q. Is there any practical reason, then, to separate
6 them into two different reservoirs?

7 A. No, we see none.

8 Q. All right. Let's go up and look at the next
9 pool.

10 A. The next pool that we propose is the Upper Barker
11 Creek-Akah Pool, and we would propose that that be allowed
12 to be developed on 320-acre spacing.

13 Q. All right, sir. What's the reason to combine
14 that interval into one pool?

15 A. Originally we had proposed to create a separate,
16 single pool in the Upper Barker Creek, which is a porous
17 dolomite, developed on the structure at Barker Dome.

18 We thought that, based on modern wireline logs we
19 have looked at through the interval and some cuttings
20 descriptions that we have, that it was not as good a
21 quality reservoir as the Lower Barker Creek was in terms of
22 permeability and porosity.

23 And the little bit of test data that we have on
24 the zone showed us rates that were lower than the more
25 prolific and better quality reservoir in the Lower Barker

STEVEN T. BRENNER, CCR
(505) 989-9317

1 Creek.

2 And so we proposed to develop it on 320-acre
3 spacing to understand it better and optimize recoveries out
4 of it.

5 In talking with our Aztec -- the Aztec office,
6 Frank Chavez, the superintendent of the Aztec office,
7 suggested to us that we include the Akah within this Upper
8 Barker Creek-Akah Pool and allow that to be commingled as
9 one separate pool.

10 Q. For the record, he's referring to Mr. Chavez, the
11 supervisor at the OCD Office in Aztec.

12 Go ahead.

13 A. And it was his recommendation that we include the
14 Akah with this pool so there would be no gap vertically
15 within the definition of the pools on the structure.

16 Q. In terms of reservoir management and practice, do
17 you see any reason not to do a combination?

18 A. No, it does not present a problem to us, and we
19 feel that if any productive opportunities arise in the Akah
20 zone, it would be of a poorer quality reservoir
21 characteristic, and 320-acre spacing would probably be
22 effective as a starting point for developing it.

23 Q. Is there currently any Akah production in the
24 pool?

25 A. No, there is not. It's a series of evaporites,

1 shales and tight dolomites.

2 Q. So we don't have any technical data that would
3 cause us to support creating that as its own separate pool
4 at this point?

5 A. That's correct. That's originally why we left it
6 out.

7 Q. All right. Okay, take us up to the Desert Creek.

8 A. In the Desert Creek we would like to recommend a
9 development of a separate pool prorated on 320-acre
10 spacing.

11 We have modern wireline log data, we have cored
12 the interval in some recently drilled wells, and as our
13 reservoir engineer, Mr. Lane, will point out and show in
14 his testimony, based on some production information and
15 volumetrics, that 320-acre spacing looks like a good, sound
16 basis for developing the pool to identify its limits and
17 productive potential. It's a finely intercrystalline
18 dolomite.

19 Q. Okay. When you move out of the Desert Creek and
20 look at the Ismay, characterize that as a reservoir for us.

21 A. The Ismay is the highest stratigraphic interval
22 that we propose to create a pool in. We would like to see
23 the ability to develop the Ismay on 160-acre spacing,
24 because based on core that we have studied and wireline
25 logs throughout the new drills that we've drilled, we find

1 that the Ismay is a limestone with predominantly vuggy
2 porosity, which means it is a solution-enhanced porosity
3 that is not very well interconnected in the reservoir and
4 has lower permeability overall than any of the other
5 reservoirs in the field.

6 And so it has a lot less effective drainage area,
7 and that's our basis for asking for a 160-acre spacing in
8 the Ismay.

9 Q. Okay. Let's go back to Exhibit 9, which we've
10 been utilizing as a locator map. I'll give you another one
11 if you don't have one.

12 Let's again use it as a locator map, and in the
13 small book help me find the index for the wells. I believe
14 it's behind Exhibit Tab Number 7.

15 A. It is.

16 Q. Let's go through that data.

17 A. Okay.

18 Q. Before we describe the data, show the Examiner
19 how you've organized the well information behind Exhibit
20 Tab Number 7.

21 A. Exhibit 7 is a table listing the existing tests
22 drilled in the New Mexico portion of the Barker Creek Dome
23 field. It's listed in chronological order, starting with
24 the first drilled up to the last drilled. There are 11
25 wells that have been drilled in that -- for those pool area

1 to date.

2 And what it shows is the zone currently producing
3 out of, where productive. If it was a dry hole, it's
4 noted.

5 And we have one water disposal well located
6 within this area of the pool, and it has been plugged back
7 to the shallower Morrison formation.

8 In addition, there are acreage dedications,
9 location where it is with respect to what section, and any
10 comments that we thought would be relevant to the
11 discussion.

12 Q. All right. Those are all the wells?

13 A. That's right.

14 Q. Let's go back and compare that information with
15 the color code on Exhibit 9, starting off with the proposed
16 uppermost pool, the Ismay pool.

17 A. All right.

18 Q. Identify for the Examiner which, if any, of these
19 existing wells either are now or can be Ismay producers
20 under this plan.

21 A. Currently in the field, in the New Mexico portion
22 of the pool, there are two existing wells completed in the
23 Ismay zone, and they are located here on the very eastern
24 and central structural portion of the pool with regard to
25 structural setting.

1 And the color code on the map is, purple circles
2 are Ismay completions, blue are Desert Creek completions,
3 and then the pink is Lower Barker Creek and Alkali Gulch
4 commingled completions, or just Lower Barker Creek
5 completions.

6 And what we see is, we have two Ismay completions
7 at the current time producing. We have two blue Desert
8 Creek completions off on the west flank of this structure.
9 And then the remaining four that are pink are completed in
10 the Lower Barker Creek and possibly commingled also with
11 the Alkali Gulch.

12 I will point out that the two wells in Section 19
13 that are completed in the Lower Barker Creek, only one is
14 actively producing at this time. It's the Ute 14 in the
15 northeast of that section. And we are currently evaluating
16 additional opportunities within the Ute 11 wellbore in
17 order to see if we can recomplete it to another zone before
18 plugging it completely as a dry hole.

19 Q. If you obtain the approvals to subdivide the
20 Pennsylvanian and establish these multiple new pools, what
21 kind of opportunity for additional wells is there created
22 by that process?

23 A. There is significant opportunity created, which
24 currently we cannot take advantage of as an operator.

25 Q. Let's talk about the immediate, foreseeable plans

1 that you're already scheduling in the hope that you obtain
2 your approvals to reformulate the rules.

3 Can you give us a time reference and tell us
4 within that time reference what your expectations are for
5 new wells?

6 A. Well, we have gone out and currently staked five
7 additional locations within the New Mexico portion of the
8 field with the intent of being able to drill and develop
9 additional drill blocks within that portion of the pool, if
10 we get the spacing requests that we are asking for.

11 Q. Can you estimate for us the cost of each of those
12 wells?

13 A. We have found wells drilled and completed in the
14 Barker Creek Dome field have run us about \$1.3 million
15 apiece.

16 And these wells that we have -- The current
17 staked locations are planned to be developed at any time
18 the weather allows, although at this point it looks like we
19 wouldn't start up until spring again at this time.

20 But we are at this time planning on developing
21 those five additional staked locations in the early spring.

22 Q. Is Meridian the operator and/or the lessee of all
23 the oil and gas rights to drill within the pool boundary
24 that you propose?

25 A. Yes.

1 Q. We don't have any other operators within this
2 pool as you propose to have it configured?

3 A. No.

4 Q. Let's go to the unique circumstances with regards
5 to well spacing.

6 A. Okay.

7 Q. Do you have a display that will illustrate for us
8 the various surfaces either topographical or archeological
9 limitations that you're faced with as an operator in
10 locating wells?

11 A. Yes, we do.

12 Q. All right, how is that shown?

13 A. Well, we have it here as an aerial photo, low-
14 altitude aerial photo with an overlay showing the proposed
15 pool outline.

16 Q. Do we have some extras of those?

17 A. We have one extra --

18 Q. One extra?

19 A. -- picture, so we'll have to orient this,
20 perhaps, to the audience, if you --

21 Q. Yeah. Why don't you -- You've memorized this
22 stuff, Jim, right?

23 A. Yeah.

24 Q. You don't need to look at it.

25 A. Well, I won't go that far.

1 Q. How good are your eyes?

2 A. That's good.

3 Q. First of all, before we describe the details,
4 what's the base map? What's the source?

5 A. The base map is a Department of Transportation
6 low-altitude aerial photo of the proposed pool area in New
7 Mexico, in which -- I believe it was run by the El Paso
8 Natural Gas Company several years back to locate pipelines
9 and other production facilities in that area.

10 Q. Have you and other members of Meridian staff
11 utilized this map?

12 A. Yes.

13 Q. Have you found it to be accurate and reliable?

14 A. Yes, I have.

15 Q. Do you find any distortion on the map that you
16 need to explain to us?

17 A. No, I don't.

18 Q. Okay. What's the base map show? You know, is
19 there a particular point in time that we're looking at the
20 surface here?

21 A. It's probably about ten years old, I'm not sure.
22 There might be a date printed on the bottom. I can't see
23 it from here.

24 Q. All right.

25 A. I'll guess it's 1975 vintage, something like

1 that.

2 Q. All right. What is the significance of the
3 orange boundary?

4 A. Well, the orange boundary is the same proposed
5 pool outline as in all the other exhibits, and in addition
6 the hot orange tape or fluorescent orange tape is the
7 section lines, and so you can see it's quite a larger scale
8 than any of the other presentations. It looks like it's
9 about -- Several inches equals a mile.

10 Q. Have you identified the existing pool wells with
11 a color code?

12 A. Yeah, there are some orange well, gas-well
13 symbols, posting the existing well control at the current
14 time on that aerial photo.

15 Q. And what are the significance of the red open
16 circles?

17 A. The red open circles are proposed locations that
18 we have staked and initiated approval through the
19 regulatory agencies.

20 Q. Are these wells planned in the expectation in
21 hope that there would be pool rule changes?

22 A. Yes, they are.

23 Q. All right. Would these wells be drilled without
24 the pool rule changes?

25 A. We'd have to look and see if they would fit the

1 existing spacing and setback limitations. Some -- if --
2 Bear with me here for a second.

3 Q. Well, let me put it to you this way: Were these
4 planned and approved by your company with the expectation
5 of the pool rule changes?

6 A. We were hoping for it, yes, sir.

7 Q. All right, sir. And if they're not changed,
8 you're going to have to rethink these?

9 A. Well, we would certainly still like to develop
10 the area, but it would incorporate an additional untimely
11 delay, which we would very much like to avoid.

12 Q. What is the meaning or significance of the areas
13 contained in the oddly shaped green outline?

14 A. The green-taped outlines are archeological sites
15 that have been identified through the staking process of
16 those five newly staked wells as we went out with our
17 surveyors and the other regulatory people to try and stake
18 wells in acceptable setbacks as they presently are on the
19 books for the pool.

20 Q. If I'm within the pool boundary and within a
21 green outline, I'm precluded by whatever limitation from
22 using that surface?

23 A. Absolutely.

24 Q. Does that mean you've examined the entire surface
25 area of the pool?

1 A. No, this is merely the density we've found in
2 attempting to stake the five new locations.

3 There are certainly -- most likely the same
4 density in all the other drill blocks, but we haven't gone
5 out there and looked at them in the modern staking process.

6 So I would say in those sections that have been
7 looked at where there are two drill blocks or two new-stake
8 locations, that's probably fairly representative of the
9 density of archeological sites throughout the area.

10 Q. Describe for us the kind of limitations on the
11 surface that you have to solve in order to use the surface
12 for well locations.

13 A. Well, it is a very rugged area. In addition to
14 the archeological sites, the other half of our dilemma is
15 that there are very steep canyons, highly wooded areas,
16 relief on the order of, in some places, 800 feet between
17 the canyon bottom and the mesa top, which render lots of
18 slopes within those drill blocks inaccessible or unviable
19 to development of -- creation of a drill site to drill a
20 well.

21 Q. Have you integrated this information about
22 surface use into your proposed plan for well spacing for
23 each of these individual pools?

24 A. We have tried to accommodate the topographic
25 problems and the archaeologic problems with what we're

1 requesting for setbacks.

2 Q. If you'll turn to Exhibit Tab 4 of the little
3 book, we've already described the first display, which is
4 the current conditions --

5 A. Right.

6 Q. -- for which you have concluded what, sir?

7 A. They're very restrictive.

8 Q. Let's look at the next display after that. What
9 does that demonstrate?

10 A. This is an illustration of our proposed spacing
11 for 160-acre drill blocks, which is 330 back from the
12 section line and 20 from the quarter section lines -- or,
13 excuse me, quarter-quarter section boundaries.

14 Q. And you would propose this well spacing setback
15 rule for the Ismay Pool?

16 A. That is correct.

17 Q. All right. What does this afford you in terms of
18 a unique solution to your particular area?

19 A. Well, it may help us in locating wells without
20 disturbing archeological sites, and also preclude
21 additional burdensome expenses to locating drill sites, and
22 perhaps precluding us drilling marginal drill blocks, which
23 otherwise wouldn't be developed.

24 Q. Let's turn to what you are recommending for the
25 well footage locations for the 320-spaced pools. If you'll

1 turn to the next sheet.

2 A. Well, this is what we would recommend for
3 setbacks under the 320-acre spacing allocation. We would
4 be 790 from the section lines and 1190 from a quarter-
5 quarter section line, and no closer than 130 feet to any
6 quarter section line or subdivision.

7 And this again would grant us a very greatly
8 increased flexibility in trying to locate wells in a
9 difficult area.

10 Q. How does this 790 setback on 320 spacing for
11 these pools compare, if at all, to any other 320 gas
12 spacing rules in the San Juan Basin?

13 A. I believe that this is the same setback as is
14 invoked right now on the Dakota in the San Juan Basin, the
15 Mesaverde Gas Pool, which are both on 320-acre spacing at
16 the present time.

17 Q. All right, and I think also the coal gas?

18 A. Okay, Fruitland Coal.

19 Q. All right. Let's look now at the 640 spacing.

20 If the Examiner approves the creation of these
21 pools and the contraction of the existing pool which stays
22 on 640 spacing, do you have a recommendation of what to do
23 with the footage locations for that 640 pool?

24 A. Well, we would like to also be able to, in the
25 event of new technology or additional data indicating that

1 we have left reserves in the ground in the Lower Barker
2 Creek, we would like the flexibility to also locate wells,
3 even on the 640-acre spacing, with a little more
4 flexibility than we have at the present time, and this is
5 the setbacks and the flexibility that we would prefer.

6 There is at this time work and study being done
7 by myself to look at the existing remaining potential in
8 the Alkali Gulch portion of the Lower Barker Creek-Alkali
9 Gulch Pool. We have found that there could be economic
10 reserves still there in the ground. And so there is the
11 chance, when the work is finished, that we would propose
12 new drills to test potential in the Alkali Gulch. So we
13 would like this flexibility, too, for the Alkali Gulch-
14 Barker Creek Pool.

15 Q. Do you have a recommendation to the Examiner as
16 to what is an appropriate period of time by which to
17 establish these rules on a temporary basis after which,
18 then, you would be required to come back to the regulatory
19 agency, submit additional data, and determine if any
20 adjustments should be made in your pools?

21 A. Absolutely.

22 Q. What is your recommendation?

23 A. Mr. Examiner, we would like a temporary basis of
24 a decision for two years, to go out and drill these wells
25 and gather more information so that we can more clearly

STEVEN T. BRENNER, CCR
(505) 989-9317

1 understand the productive potential and nature of these
2 reservoirs and then be willing to come back at that time
3 and formulate more detailed plans as the data allows us to
4 determine.

5 MR. KELLAHIN: Mr. Examiner, that concludes my
6 direct examination of Mr. Hornbeck.

7 We would at this time move the introduction of
8 the Exhibits that he's authenticated, which are Exhibits 2
9 through 7, and then 9, 10 and 11.

10 EXAMINER CATANACH: Exhibits 2 through 7 and 9,
11 10 and 11 will be admitted as evidence in this case.

12 I think what we'll do at this point is maybe take
13 a short break and let Mr. Vaughn get his questions
14 together, and then we'll proceed with him after we come
15 back from that. So let's take about ten minutes.

16 (Thereupon, a recess was taken at 1:58 p.m.)

17 (The following proceedings had at 2:10 p.m.)

18 EXAMINER CATANACH: Okay, let's call the hearing
19 back to order and turn it over to Mr. Vaughn.

20 EXAMINATION

21 BY MR. VAUGHN:

22 Q. I have just a few questions for you, Mr.
23 Hornbeck.

24 With reference to Exhibit 9, which is this
25 contour map here, what is the lowest structural elevation

1 believed to be productive? Can you tell us from that map?

2 A. In which horizon?

3 Q. In the whole anticline.

4 A. There's been a gas/water contact established in
5 the Lower Barker Creek, and in all the other pools there
6 has not been a downdip water leg or downdip productive
7 limit established at this time.

8 And if you'd notice, some of the wells that we
9 have staked for this coming drilling season, we are
10 drilling down the flank, trying to establish that
11 productive limit.

12 Q. Okay. And are you aware which Meridian has filed
13 with the State of Colorado to change any spacing in the
14 northern portion of this anticline that crosses the
15 boundary?

16 A. We have not filed, but our plans are to do that
17 shortly.

18 Q. Could you explain a little the purpose of the
19 well that's marked Ute Number 1? I believe that's an old
20 El Paso Natural Gas well. Why was that completed for
21 disposal?

22 A. Well, that was an original test into the Lower
23 Barker Creek, completed and produced in that zone up until
24 it had cum'd many billion cubic feet of gas.

25 It watered out and -- as did all the other, older

STEVEN T. BRENNER, CCR
(505) 989-9317

1 original tests completed in the Lower Barker Creek, and to
2 dispose of produced water in the field, it was converted to
3 a shallower horizon to take the produced water out of the
4 Lower Barker Creek.

5 Q. With reference to your proposed pools, which
6 produce or are believed to contain sour hydrogen sulfide?

7 A. We are prepared and anticipate that all of them
8 will.

9 Q. They'll all be sour?

10 A. Yes, sir.

11 Q. We understand that one reason for the spacing
12 request is because of archeological and topographic
13 constraints.

14 How are you proposing that Meridian diligently
15 develop all new spacing units if this proposal is granted?

16 A. I think we'll assume we will drill out to the
17 economic limit of each pool and try to develop it in the
18 best fashion we can.

19 MR. VAUGHN: I have no further questions of Mr.
20 Hornbeck.

21 EXAMINATION

22 BY EXAMINER CATANACH:

23 Q. Mr. Hornbeck, your proposed pool boundary is an
24 expansion of the existing pool. What geologic information
25 did you utilize to construct the proposed pool boundary?

1 A. That was a decision based on the -- Well, let me
2 just say that we are proposing to expand the pool on the
3 west and southern parts of the existing pool.

4 There's -- And what has been done in that is, we
5 recompleted the Ute 6 in Section 7 to the Desert Creek, and
6 it is a producer at the current time. It's in the
7 southwest of Section 7, outside the proposed pool boundary.

8 So we would like to include that -- I'm sorry,
9 I'm on Exhibit 3.

10 Q. I'm lost.

11 A. I'm sorry, I should have said that.

12 Q. Okay.

13 A. Exhibit 3.

14 MR. KELLAHIN: Start over, Jim.

15 THE WITNESS: On Exhibit 3, the plat showing the
16 proposed and the current pool boundaries --

17 Q. (By Examiner Catanach) Right.

18 A. -- in the southwest of Section 17, the Ute 6,
19 which was an original deeper Lower Barker Creek completion,
20 watered out and was in the last several years recompleted
21 to the shallower Desert Creek and is productive from that
22 zone at the current time.

23 So we propose to expand the pool boundary to
24 include the known productive well outside the pool at the
25 current time.

1 In addition, we have re-studied the old wireline
2 logs on the Ute 7 in Section 19, southwest of Section 19,
3 and based on the data from the 6 recompletion and the
4 correlations with the Ute 7 old wireline logs, I've
5 determined that both Section 18 and 30 are productive to
6 some degree in several of those horizons, and we'd like to
7 go in and test them.

8 So based on that information geologically, we
9 decided it would be prudent at this time to attempt to
10 expand the pool boundary to include both Sections 18 and
11 30.

12 Q. But in Sections 18 and 30 you've got no
13 established production at this point?

14 A. We don't, but we are proposing in the current
15 wells staked to gain some additional offset information
16 that would allow us to drill out to those locations. They
17 are the furthest down the flank of the structure, and we're
18 drilling out to the downdip limit, as we had mentioned
19 before.

20 Q. Any well that is drilled in Sections 18 and 30
21 will be within a mile of the outer boundary of the current
22 pool boundaries and will be subject to those pool rules, so
23 I'm not sure it's an advantage at this point to include
24 that acreage, or even a necessity to include that acreage
25 if it's not been proven productive. That's something we'll

STEVEN T. BRENNER, CCR
(505) 989-9317

1 have to take into consideration.

2 A. Okay.

3 Q. It's my understanding that at the present time
4 you've got established production in three of the
5 formations, the Ismay, the Desert Creek and the Lower
6 Barker Creek?

7 A. That's correct.

8 Q. Have any of the other zones been tested?

9 A. Yes, they have.

10 Q. Which zones have been tested?

11 A. Well, I guess if you're asking me -- I mean, we
12 have production in the Lower Barker Creek, the Desert Creek
13 and the Ismay, within the proposed pool outline, so I guess
14 we're focused on the Upper Barker Creek, some information
15 on that.

16 Q. Yeah.

17 A. I'm assuming that's what you're asking me.

18 Q. Well, that's one of them, yeah.

19 A. Okay. We have a producing well in the Upper
20 Barker Creek at the current time -- in Colorado -- and if
21 you can refer to your structure map, Exhibit Number 9, we
22 have a Ute Com Number 1 well which is completed in the
23 Upper Barker Creek right here and commingled with the lower
24 Barker Creek at the present time, but certainly is
25 contributing to the production in that well.

STEVEN T. BRENNER, CCR
(505) 989-9317

1 In addition, we have tested the Upper Barker
2 Creek in the Ute 24 well in the northwest of Section 20 and
3 had a small rate of gas out of it on this side of the
4 structure.

5 So what we see is production associated overall
6 with the structural setting along the entire trend of the
7 structure, and we feel that there's prospective section,
8 based on the old original e-logs throughout this entire
9 area, and that is one of the zones we will be evaluating as
10 we drill additional wells in the area.

11 The Alkali Gulch has been commingled in several
12 of the original tests drilled in the New Mexico portion of
13 the field and has contributed to the overall production in
14 the field to date, and we believe there is additional
15 potential to be developed that we are looking at at the
16 current time.

17 Q. It has actually been perforated in some of these
18 wells?

19 A. Yes, it has. In fact, on cross-section X-X',
20 I'll try and find one for you.

21 There are perforations noted on the old original
22 wells on this cross-section, and if you look along in the
23 Alkali Gulch interval, the Ute 11 well -- and it's in
24 Section 21, in the northwest of Section 21 -- it was
25 perforated and produced in a commingled fashion with the

STEVEN T. BRENNER, CCR
(505) 989-9317

1 Lower Barker Creek.

2 The Ute 12 well was tested in the Alkali Gulch
3 and after some production was separated from the Upper
4 Barker Creek and then just solely produced with the Upper
5 Barker Creek and tested in the Ute 8 well also.

6 And at the current time we have a zone in the Ute
7 16, which is our type log, immediately adjacent to the
8 northern boundary of the proposed pool outline, which is in
9 La Plata County right there. And that well is currently
10 completed in a zone in the Alkali Gulch and tested over 5-
11 million-a-day rate of gas, but, as we've said earlier, at a
12 lower pressure than the shallower Ismay and Desert Creek
13 horizons.

14 So we're waiting for the pressures to equalize so
15 we can commingle all those zones together.

16 Q. Okay, that leaves the -- Does that leave just the
17 Akah?

18 A. Yes, it does, and there has not been any testing
19 or completions to date in the Akah, but I'm working on it.

20 Q. I believe you testified that you have some
21 engineering evidence in the Lower Barker Creek that would
22 establish that 640 acres is appropriate; is that correct?

23 A. Yes, we do, and our reservoir engineer will be
24 presenting that here.

25 Q. What other evidence do you have for each of these

1 zones to establish even on a temporary basis what the
2 spacing should be? Do you have any geologic information?

3 A. Well, we've developed a model for each horizon,
4 based on the core data that we have acquired and the new
5 drills, along with modern wireline logs, to support the
6 porosities and allow us to build volumetric cases for each
7 zone, and interpreted areas of drainage, and those models
8 will also be presented by our reservoir engineer, Mr. Lane.

9 I'm sorry, you asked about the geologic
10 information, didn't you?

11 Q. Well --

12 A. We have hole-core analysis porosities, which have
13 allowed us to accurately interpret the modern wireline logs
14 and build volumetric cases for all zones.

15 Q. What well do you have core data from?

16 A. We have a few core data points.

17 For the Ismay zone we have hole-core information
18 and analysis from the Ute 16, the type log, in which we
19 cored the majority of the Ismay interval and the productive
20 horizons.

21 For the Desert Creek we have hole-core analysis
22 from the Ute 24, which is in the northwest of Section 20,
23 in the proposed pool outline, in New Mexico.

24 And in addition to that, we have hole-core
25 analysis for the Upper Barker Creek also in the Ute 16,

STEVEN T. BRENNER, CCR
(505) 989-9317

1 which is our type log exhibit, on several exhibits, and we
2 have hole-core analysis from the Colorado portion of the
3 field in the Lower Barker Creek.

4 And we only have modern wireline log data for the
5 Alkali Gulch.

6 Q. Is the Lower Barker Creek the only formation that
7 you have existing production information from which to make
8 a determination of spacing?

9 A. No, I believe we have -- We'll present cases for
10 the Ismay, Desert Creek and Lower Barker Creek.

11 Q. Okay. Is part of the rationale for -- The way
12 that you split up these zones, is part of that rationale
13 based on the drainage areas? Do they have similar drainage
14 areas?

15 A. That is correct, yes, they do.

16 We also know that there's been depletion in the
17 lower main producing, Lower Barker Creek and Alkali Gulch,
18 and we cannot commingle the upper, higher-pressure,
19 undepleted Ismay Desert Creek along with the lower,
20 depleted-pressure Lower Barker Creek in existing wellbores.

21 Q. I believe Mr. Kellahin asked you a question, and
22 I'm not sure that it was -- that I got the answer to it,
23 about depleting some of these zones and then coming back
24 uphole and recompleting in some of the additional
25 productive intervals. Is that not an option with Meridian?

1 A. It is definitely an option, and we have utilized
2 it where we can.

3 For example, all of the colored, non-pink-colored
4 circles on our structure map, Exhibit 9, are recompletion
5 -- I'm sorry, that's not correct.

6 Three of the four colored circles with Desert
7 Creek and Ismay completions are recompletions in existing
8 older wellbores.

9 The Ute 24, in the northwest of Section 20, is a
10 new drill and completed in the Desert Creek.

11 But the Ute 6 in the southwest of 7, the Ute 4 in
12 Section -- I believe it's 10, and the Ute 8 in Section 15,
13 have all been shallower recompletions from existing deeper
14 tests which have -- were completed and watered out in the
15 Lower Barker Creek, and we came up and tested shallower
16 horizons and recompleted as productive.

17 I'm sorry, that's -- We have tried to utilize
18 that where we can.

19 Q. In trying to understand Meridian's plan of
20 development for the field, within any given section, would
21 you attempt some dual completions or some downhole
22 comminglings, or how would you propose to develop all of
23 these separate zones with the fewest number of wells you
24 have to drill?

25 A. What we've found has been a fairly successful

1 scenario has been to drill and test and evaluate with
2 wireline logs all horizons, and then where we can commingle
3 higher pressure, uncompleted intervals, we will commingle.

4 There are two or three new drills in Colorado in
5 which we have commingled the Desert Creek and the Ismay in
6 new wellbores, because they are similar initial bottomhole
7 pressures.

8 So in answer to your question, we would commingle
9 wherever possible.

10 Dual completions under a sour gas environment are
11 not very appealing to Meridian Oil because of the
12 complications with -- potential for risk. And so we will
13 try and commingle as many zones as possible or practical.

14 Q. I'm not sure this is -- that you may be the
15 appropriate one to answer a question like this, but this
16 spacing -- I mean, this pool has been spaced on 640 acres
17 for a long period of time.

18 A. Uh-huh.

19 Q. Would it be more reasonable, maybe, to request an
20 infill drilling provision within this pool where you could
21 drill on shallow -- on lesser -- denser spacing?

22 A. You're probably in that I'm not the right person
23 to answer this question, but I would offer a geologic
24 insight if you'd care to hear it.

25 Q. Sure.

STEVEN T. BRENNER, CCR
(505) 989-9317

1 A. Part of the problem that we've had in developing
2 this field has been the fact that in some of the Desert
3 Creek completions we've had enough success that we're
4 looking at wells that will have a 20- to 30- or 40-year
5 life of their own in recompletions or new drills.

6 And when you recomplete a well in, say, an
7 existing deeper test, based on the 640-acre spacing, we
8 would not get the chance to infill the offset acreage
9 because of length of production out of that newer horizon,
10 shallower horizon.

11 I guess that doesn't lend itself to infill
12 drilling, but that is a problem that we have come across
13 several times in this portion of the field, and we'd like
14 to address with additional spacing to allow us the
15 flexibility to go in and infill efficiently in the horizons
16 and develop them.

17 Q. Within each given section within this pool, how
18 many wellbores do you think it would take to efficiently
19 develop all these zones? Or how many wellbores does
20 Meridian propose to drill within each given section?

21 A. Well, we have a basic framework of one well per
22 640, for the most part. And in that we've had the chance
23 to deplete the existing main productive horizon, the Lower
24 Barker Creek and the Alkali Gulch, as we know from pressure
25 information taken through the field.

STEVEN T. BRENNER, CCR
(505) 989-9317

1 That allows -- So therefore, based on that, we
2 would probably not infill the Lower Barker Creek-Alkali
3 Gulch.

4 So what you're left with is a situation where you
5 would like to develop and evaluate the potential in the
6 Upper Barker Creek, Ismay and Desert Creek. And if they're
7 all at the same pressures and they were productive, we
8 would just go ahead and commingle all three of those in a
9 single wellbore.

10 So one additional well, potentially, or two where
11 we could maintain the existing produc- -- Actually, let me
12 back up, because in most instances the production from the
13 Lower Barker Creek has been depleted, and the wells have
14 watered out.

15 So you would have the opportunity to recomplete
16 the shallower horizons in that wellbore and then drill an
17 additional well on an offset 320 and commingle those
18 additional horizons.

19 For the most part, that would be our plan of
20 development at the current time, to try and understand,
21 especially, the Ismay and the Upper Barker Creek. I think
22 our model on the Desert Creek is fairly accurate and is a
23 good plan of development on 320 acres.

24 Q. So you're talking about probably two wells per
25 section, maximum?

STEVEN T. BRENNER, CCR
(505) 989-9317

1 A. That's really, I think, what we're looking at
2 trying to do right now, yeah.

3 Of course, the Ismay, as I've said, is a poorer-
4 quality reservoir, and where it is well developed based on
5 geologic analysis, we may need an additional wellbore to
6 effectively drain reserves out of it on 160-acre spacing.

7 Q. Just one question. Are you confident that you've
8 got geologic separation between all of your proposed pools
9 and they're not in vertical communication?

10 A. We are -- We see no depletion in any of the
11 shallower pools. They're all at virgin bottomhole
12 pressure, normally pressured pressures, after 35 years of
13 production out of the Lower Barker Creek and Alkali Gulch.

14 Yes, we are certain there's vertical separation.

15 EXAMINER CATANACH: I have nothing further at the
16 present time, Mr. Kellahin.

17 MR. KELLAHIN: I'd like to excuse Mr. Hornbeck
18 and call at this time Mr. Lane.

19 CHIP LANE,
20 the witness herein, after having been first duly sworn upon
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. KELLAHIN:

24 Q. Mr. Lane, would you please state your name and
25 occupation?

1 A. Yes, my name is Chip Lane. I'm a petroleum
2 engineer with Meridian Oil, Inc., located in Farmington,
3 New Mexico.

4 Q. When and where did you obtain your professional
5 degree?

6 A. I graduated from Colorado School of Mines in
7 1984, December, with a bachelor of science in petroleum
8 engineering.

9 Q. Summarize for us your employment experience as a
10 petroleum engineer since obtaining your degree.

11 A. I went to work in 1985 for Meridian Oil in Elk
12 City, Oklahoma as a drilling engineer. I subsequently
13 worked two years there, moved to Amarillo, Texas, again
14 with Meridian, worked as a drilling and production
15 engineer, and two years later moved to Houston, Texas,
16 worked as a reservoir engineer, and last year I moved to
17 Farmington, New Mexico.

18 I've worked in reservoir engineering, production
19 engineering and drilling engineering through New Mexico,
20 Colorado, Oklahoma, Kansas, Texas, Louisiana, Mississippi,
21 Alabama, and offshore in oil and gas reservoirs from 2000
22 feet deep through 20,000 feet, with oil and gas, sandstones
23 and carbonates.

24 Q. What has been your involvement concerning this
25 project that Meridian has presented to the Examiner?

STEVEN T. BRENNER, CCR
(505) 989-9317

1 A. I've been assigned to examine on an engineering
2 basis the producing wells in the proposed pools and
3 determine the drainage area and proposed spacing of those
4 wells.

5 Q. Have you used commonly utilized engineering
6 protocol, techniques and procedures to make those type of
7 calculations and to analyze the reservoirs to reach
8 conclusions about spacing patterns?

9 A. Yes, sir, I have.

10 Q. What other employees of Meridian have
11 participated with you in this project?

12 A. I've worked with Mr. Hornbeck to utilize his
13 geologic experience and knowledge of the area to
14 characterize the reservoirs, to help determine what the
15 drainage areas are.

16 Q. As a result of your study, do you have any
17 engineering conclusions that are contrary to or
18 inconsistent with Mr. Hornbeck's geologic conclusions
19 concerning these topics?

20 A. No, sir, I do not.

21 MR. KELLAHIN: We tender Mr. Lane as an expert
22 petroleum engineer.

23 EXAMINER CATANACH: Mr. Lane is so qualified.

24 Q. (By Mr. Kellahin) Let's turn to the exhibit
25 book, Mr. Lane, and let's find your work product.

1 A. Yes, sir.

2 Q. I have found it useful to take a copy of Exhibit
3 9, simply as a locator. We have one on the display board,
4 but it has helped me find these wells as you and Mr.
5 Hornbeck have described them.

6 Let's start with the locator map, and behind
7 Exhibit Tab Number 8, then, there's a production plot for
8 the first well. What is that well?

9 A. Yes, sir, this is the Ute 2R. It's located in
10 Section 15 of 32 North, 13 1/2 West, of La Plata County,
11 Colorado.

12 It's about a mile to the north of the Ute 4,
13 which you'll see on Exhibit 9 is the northernmost purple
14 dot adjacent to the cross-section line.

15 Q. What's the significance of this information to
16 you?

17 A. The first plot in Exhibit Number 8 is a
18 production plot of the production from the Ute 2R well,
19 which is a Desert Creek-producing well.

20 The significance is, this is a commonly accepted
21 manner in which to determine the estimated ultimate
22 recovery of the well.

23 Plotted along the Y axis is the daily production
24 rate in MCF per day, with a bottom value of 10 and an
25 uppermost value of 100 million a day.

STEVEN T. BRENNER, CCR
(505) 989-9317

1 Along the Y -- or the X axis, across the bottom,
2 is the calendar year.

3 What this plot shows is the production from the
4 well for that particular month.

5 Q. All right. What you're looking for is a
6 signature well, a typical well in the Desert Creek, by
7 which you can analyze that production for purposes of
8 making engineering forecasts about spacing and recoveries?

9 A. Yes, sir.

10 Q. Why have you chosen this well as a typical Desert
11 Creek well by which, then, to forecast its ultimate
12 recovery?

13 A. From a discussion with Mr. Hornbeck, and from
14 analysis of the other wells in the Desert Creek, this is
15 pretty much a typical well in the Desert Creek. It's not
16 an anomaly productionwise or reservoir-qualitywise or
17 anything. We felt it was pretty typical.

18 The other thing, too, was that it does have
19 modern logs on the well that we can do some volumetric
20 analysis with, and it does have a production history that
21 we can forecast the estimated ultimate recovery from.

22 The other wells in New Mexico and Colorado, the
23 Ute 24, the new well we drilled, doesn't have sufficient
24 production history to make any sort of estimate of the
25 estimated ultimate recovery, and the Ute 6 has old logs

STEVEN T. BRENNER, CCR
(505) 989-9317

1 which wouldn't allow us to do any sort of volumetric
2 analysis to determine the drainage area.

3 Q. Having satisfied yourself that the Ute 2R well is
4 a type well for the Desert Creek, have you satisfied
5 yourself that there is enough production from which you can
6 then forecast a decline?

7 A. Yes, sir, there's enough production to forecast a
8 decline.

9 Q. Describe for us the shape of the decline curve
10 that you've utilized by which to forecast ultimate gas
11 reserves to be produced by this well.

12 Q. This shape is typical of a carbonate-limestone-
13 dolomite sequence.

14 The first month you see the low value in 1993.
15 That is probably just a half a month of production where we
16 didn't have the well on for the full month.

17 But you can see a typical hyperbolic decline
18 through the remaining -- for the producing period of the
19 well. What you see typically in a carbonate -- especially
20 in a carbonate zone, where you have flush production
21 initially and then the flow regime settles down into being
22 more representative of what the quality of the reservoir
23 would indicate to you.

24 Q. What have you forecasted to be the estimated
25 ultimate recovery of gas from this type well for the Desert

1 Creek.

2 A. On the right-hand side of the graph, signified by
3 EUR, we've forecasted the reserves to be around about 3.95
4 BCF.

5 Q. Let's turn to the next display, and describe for
6 us how you've utilized that number to calculate the
7 reservoir area to be depleted by that well.

8 A. Yes, sir. On the next page we use the EUR that
9 we gained from the decline-curve analysis, and the equation
10 for the EUR, which is 43,560 times the area, times the
11 height, times the porosity, times the quantity 1 minus
12 water saturation, times the initial minus the abandonment
13 gas formation volume factor, to back into or solve for A,
14 the area that we expect to be drained by this well.

15 From log analysis, we determined the height, 21
16 feet, porosity of 13 percent, water saturation of 28
17 percent.

18 The remaining elements of the equation are B_{gi} ,
19 B_{ga} , which are the initial gas formation volume factor and
20 the abandonment gas formation volume factor, and those are
21 purely calculations off of additional pressure and
22 abandonment pressure.

23 And the initial pressure of 3640 pounds we
24 acquired through pressure testing in wells in the Desert
25 Creek.

1 The abandonment pressure of 750 pounds is an
2 assumption based off of the current line pressures and the
3 rates necessary to maintain an economic well and the
4 drawdown required.

5 What we did was, we used those -- the initial
6 pressure, the abandonment pressure, came up with B_{gi} of 206
7 standard cubic feet per reservoir cubic feet -- in other
8 words, if you had one cubic foot of gas down in the
9 reservoir, it would be 206 cubic feet at the surface -- a
10 value of 40 for the abandonment factor, plugged those
11 values into the EUR equation, solved for area and came up
12 with a drainage area of 288 acres.

13 Q. Based upon this calculation, then, what is your
14 recommendation to the Examiner as the initial spacing to
15 apply to the Desert Creek if he chooses to establish that
16 as a separate pool?

17 A. We recommend to apply a spacing of 320 acres in
18 the Desert Creek.

19 Q. Let's turn now to the next display. You've got a
20 production plot shown for the Ute 16 well?

21 A. Yes, we did the -- The next plot is for the Ute
22 16. Again, it's a similar analysis, this time in the
23 Ismay.

24 The graph shows the production history of the
25 well. And again, typical of a tight carbonate, you'll see

1 the hyperbolic performance early on in the life.

2 And we've forecasted an EUR of 563 million cubic
3 feet of gas.

4 Q. Again, did you apply the same method and find an
5 Ismay well that you had confidence in, represented a well
6 characteristic of the performance to be expected from an
7 Ismay-producing well?

8 A. Yes, sir, I did. I worked with Mr. Hornbeck, and
9 we examined the quality of the reservoir across the field,
10 determined that this did not have any -- wasn't any
11 different from the other wells. And again, this well had
12 modern logs on it in the Ismay.

13 From Exhibit 9, you'll notice that the Ute 4 is
14 in the Ismay. That's an old well, it doesn't have modern
15 logs.

16 And the Ute 8 is in the Ismay too. The Ute 8 is
17 a recompletion to the Ismay, but it's a horizontal well and
18 volumetric analysis would be pretty difficult and overly
19 complex when there's a better example in the Ute 16.

20 Q. Again, you've applied your engineering judgment
21 and forecasted an ultimate recovery for the well?

22 A. Yes, sir, we have.

23 Q. And that number is just over half a BCF?

24 A. Yes, sir, it is.

25 Q. All right. Then you went to the next page.

1 Again, that's the same formula you used to solve for area?

2 A. Yes, sir, it is.

3 Q. And you have plugged in your EUR estimate for the
4 type well, put in the appropriate values and solved the
5 equation?

6 A. Yes, sir, I have.

7 Q. And what was your end result of that calculation?

8 A. We found a drainage area of 39 acres.

9 Q. All right. Based upon that engineering study,
10 what is your recommendation to the Examiner for the initial
11 spacing to be established for the Ismay pool?

12 A. We recommend an initial spacing in the Ismay pool
13 of 160 acres.

14 Q. Okay. All right, let's go to the next display,
15 looking at the Ute 18 well.

16 A. The next display, the Ute 14 well --

17 Q. I'm sorry, the Ute the 14.

18 A. -- this is a Lower Barker Creek test, and what we
19 want to show is that the current 640-acre spacing in the
20 Lower Barker Creek was adequate.

21 And what we want to show through the next few
22 pages is that the Ute 14 was originally producing in the
23 Lower Barker Creek.

24 In 1990, we recompleted the Ute 12, which is on
25 Exhibit 9 also, to the Lower Barer Creek. We saw

1 interference between the wells. It made us feel
2 comfortable that the current spacing will efficiently
3 recover the reserves in the Lower Barker Creek.

4 Q. You as an engineer have some choices of methods
5 by which to come to conclusions about well spacing?

6 A. Yes, sir.

7 Q. You've shown us a volumetric solution. Here in
8 the Lower Barker Creek you have some actual field studies
9 of the interference of one well's performance on the
10 performance of a second well?

11 A. Yes, sir.

12 Q. When we look at the 14 well and compare it to the
13 performance of the 12 --

14 A. Yes, sir.

15 Q. -- take us along the plot of the 14 well's
16 production --

17 A. Okay.

18 Q. -- and show us what's happened to the forecasted
19 ultimate recovery of the 14 well at the point in time when
20 it has to compete in this reservoir with the Ute 12.

21 A. Okay.

22 Q. All right?

23 A. If you look at the Ute 14 well, the time period
24 especially from 1976 until 1990, you'll see that the well's
25 established a pretty consistent decline. If you forecast

1 that decline out, you come up with an EUR of approximately
2 42 BCF of gas.

3 Q. All right, and that's the number over in the far
4 right column that was originally forecast as the EUR for
5 this well without interference?

6 A. Yes, sir.

7 Q. All right. In about 1990 something's happened to
8 the performance of this well where the actual production is
9 less than the forecasted level of performance?

10 A. Yes, sir.

11 Q. What happened?

12 A. In 1990, on the next page, we've recompleted the
13 Ute 12 into the Lower Barker Creek.

14 And you can see from that plot that it has
15 established a pretty good decline and has forecasted
16 reserves of approximately 24 BCF of gas.

17 Q. Okay. So when we look at the far right columns
18 for the performance plot on the Ute 12, the EUR represents
19 the recovery for the Number 12 as it competes against the
20 Number 14?

21 A. Yes, sir.

22 Q. Okay. When we go beyond that and look at the
23 next plot, what are we looking at?

24 A. When we look at the next plot, it's the plot of
25 the Ute 14 as the reserves would be forecasted out today or

1 any time since 1990, and it shows that the original EUR of
2 42 BCF has been reduced approximately to 29 BCF, showing
3 that the well is in competition with the Ute 12 and that
4 they're competing for the same reserves.

5 Q. Okay. How do you analyze that as a reservoir
6 engineer? What does that tell you?

7 A. It tells us really two things.

8 First of all, that the Ute 12 and Ute 14 are in
9 communication on 640 acres.

10 The second thing it tells us, too, is that from
11 the first plot of the Ute 14 we looked at, we had an EUR of
12 42 BCF. If you add up the EUR of the Ute 12 at 24 and the
13 new EUR of the Ute 14 at 29, you come up with 53 BCF.

14 So even though they are competing for the same
15 reserves, they've increased the recovery from 42 to 53 BCF.
16 So the Ute 12 will recover an additional 11 BCF that
17 wouldn't have been recovered solely by the Ute 14.

18 Q. All right. Pretty good evidence to you, then, as
19 a reservoir engineer that we ought to leave the spacing
20 alone for those wells that are still producing out of this
21 Lower Barker Creek?

22 A. Yes, sir, it is.

23 One last thing to point out, too. On the Lower
24 Barker Creek wells, you'll see that they have a pretty low
25 decline rate, and they have a long life in the wells too.

1 And essentially in the Ute 12 Section and the Ute 14
2 section, just looking at how long they're going to be
3 productive, it would take a long time under the current
4 rules before we could go in and complete in a different
5 zone or drill a new well to produce from a different zone.

6 Q. Let me explore that topic with you in terms of
7 your expertise as a reservoir engineer.

8 You're dealing with a long-lived well that's
9 producing out of the Lower Barker Creek. What kind of
10 current pressures are you dealing with?

11 A. It's currently 1500 pounds, 1700 pounds, in that
12 range.

13 Q. All right. And how long a life do we still have
14 remaining for the production out of that interval?

15 A. We have at least a 20-year life, if not longer.

16 Q. Do you have a realistic option as a reservoir
17 engineer to take any of those kinds of wells and commingle
18 it with production out of the Desert Creek or the Ismay?

19 A. Not right now. They're at -- In the Lower Barker
20 Creek we're at 1500 to 1700 pounds of pressure. From our
21 tests we are approximately 3600 pounds in the Desert Creek
22 and the Ismay. So it wouldn't be prudent to combine the
23 two together.

24 Q. All right. So you either have to postpone the
25 drilling of a well for Ismay or Desert Creek production on

1 current 640 spacing until you're ready to abandon that
2 wellbore's performance out of the Desert Creek, the Lower
3 Desert Creek?

4 A. Yes, sir, that's correct.

5 Q. And under current rules, you can't have any more
6 wells than one per section?

7 A. That's correct.

8 Q. If the rules are changed as Meridian proposes to
9 do it, what does that afford you as a reservoir engineer?

10 A. It affords us really the opportunity to develop
11 the Desert Creek and the Ismay in a timely fashion and also
12 to develop them in a method that's going to be compensatory
13 with the reservoir qualities.

14 In other words, we don't expect those zones to
15 drain 640 acres, and we don't expect them to be fully
16 drained by a 640-acre spacing.

17 So if we go with the current rules and just wait,
18 we will still never fully develop those two zones.

19 Q. In addition, you're dealing with the complexities
20 of having a political pool -- that is, the gross
21 Pennsylvanian interval -- that really consists of at least
22 four or more separate sources of supply?

23 A. Yes, sir, that's correct.

24 Q. And you know that as a reservoir engineer, don't
25 you --

STEVEN T. BRENNER, CCR
(505) 989-9317

1 A. Yes, sir.

2 Q. -- that they are pressure-separated?

3 A. Yes, sir.

4 Q. And in terms of reservoir management of this
5 production, you need some more pools --

6 A. Yes, we do.

7 Q. -- with their own special rules?

8 A. Yes, sir.

9 MR. KELLAHIN: That concludes my examination of
10 Mr. Lane.

11 We move the introduction of his exhibits behind
12 Exhibit Tab Number 8.

13 EXAMINER CATANACH: Exhibit Number 8 will be
14 admitted as evidence.

15 Mr. Vaughn, do you need some time, a couple
16 minutes?

17 MR. VAUGHN: I just have one basic question, I
18 think.

19 EXAMINATION

20 BY MR. VAUGHN:

21 Q. Mr. Lane, I just wanted to ask, was interference
22 from the 1990 recompletion in Ute Number 12 seen in the Ute
23 Number 11 well? Did anything show up there?

24 A. I don't know; the Ute Number 11 is TA'd.

25 Q. I believe it -- Isn't that in the same proposed

1 pool?

2 A. (No response)

3 Q. I guess the question arose because it seems close
4 to the other well where there was something noticed.

5 A. I'm not sure on the history of the 11, but I know
6 it's been TA'd for a while.

7 Q. Okay.

8 A. If it is producing, or if it was producing at the
9 time, it would have been effective, but --

10 Q. In both cases, there's nothing there to see.

11 Did you notice any other interference in any
12 other well in the whole area?

13 A. No. There's one other Lower Barker Creek
14 completion. It's in the Ute 9, it's in Colorado. And that
15 one is questionable whether it's interference or whether
16 it's just close to the end of the life on the well.

17 MR. VAUGHN: Okay, that's all the questions I
18 have.

19 EXAMINATION

20 BY EXAMINER CATANACH:

21 Q. Mr. Lane, what information do you have on the
22 drainage characteristics of the Upper Barker Creek?

23 A. We have the -- as Mr. Hornbeck testified to, we
24 have one well that produces out of the Upper Barker Creek,
25 the Ute Com 1, which is commingled with the Lower Barker

1 Creek.

2 The reasoning behind requesting 320-acre spacing
3 versus the current 640 is that the production rates we've
4 seen out of the Upper Barker Creek in the Ute Com 1 and the
5 rate we tested out of the Ute 24, which is the current
6 Desert Creek completion, indicate that the Upper Barker
7 Creek is more similar to the Desert Creek than it is to the
8 Lower Barker Creek.

9 Q. In terms of producing capability?

10 A. In terms of producing capability.

11 Q. The differences in the drainage areas is, in your
12 opinion, attributable to different lithologies and
13 different permeability and porosity within the reservoirs?

14 A. Yes, sir.

15 Q. Is there any other factors that contribute to
16 them?

17 A. No.

18 Q. Within any given section there's probably going
19 to be some Ismay gas reserves that are left because of the
20 small drainage areas; is that correct?

21 A. Yes, sir.

22 Q. You don't intend on fully developing with four
23 wells each section in this pool?

24 A. I think that -- If I understand where you're
25 headed, I think it's similar to the BLM representative's

STEVEN T. BRENNER, CCR
(505) 989-9317

1 question about how we would develop the different pools.
2 And what we would do is look at it on an economic basis and
3 develop it that way.

4 In other words, we want to have the ability to
5 recomplete and commingle in the same wellbores. And if we
6 would drill an additional well in a section, we would
7 examine the possibility of drilling from the same drill
8 pad.

9 And if there was a case where the reservoirs
10 weren't in close enough pressure -- current pressure
11 conditions, then we could have commingled them.

12 Q. Chances are, you're only going to drill two wells
13 per section, probably, maximum; is that right? Or is that
14 yet to be determined?

15 A. That's yet to be determined.

16 Q. It could be more than two?

17 A. Yes, sir.

18 Q. If the spacing is determined to be correct in the
19 320-acre pools, the only -- Well, never mind.

20 The five staked locations that you currently have
21 proposed --

22 A. Yes, sir.

23 Q. -- what completions are those proposed to be in?
24 What intervals are those proposed to be completed in?

25 A. They'll originally be for the Desert Creek.

1 But as Mr. Hornbeck said, we're in a learning
2 stage and we'll probably test the other zones also.

3 Q. With the possibility of commingling one or more
4 zones?

5 A. Yes, sir.

6 EXAMINER CATANACH: Okay, I have no further
7 questions of Mr. Lane.

8 MR. KELLAHIN: I have no further questions for
9 this witness.

10 EXAMINER CATANACH: The witness may be excused.

11 MR. KELLAHIN: We have a very short presentation
12 by Dean Price.

13 Mr. Price is a petroleum landman with Meridian.
14 He resides in Farmington.

15 DAVID DEAN PRICE,

16 the witness herein, after having been first duly sworn upon
17 his oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Mr. Price, for the record, sir, would you please
21 state your name and occupation?

22 A. David Dean Price. I'm a senior landman with
23 Meridian Oil, Inc., in Farmington, New Mexico.

24 Q. Have you testified before the Oil Conservation
25 Division of New Mexico on prior occasions, qualifying as an

1 expert witness in the field of petroleum land matters?

2 A. Yes.

3 Q. You're part of this same area team with Mr.
4 Hornbeck and Mr. Lane, and you provide the land expertise
5 for this team?

6 A. Yes.

7 Q. As part of your duties, have you made a study of
8 the ownership information with regards to the ownership of
9 hydrocarbons within the proposed pool area?

10 A. Yes.

11 Q. In addition, have you made yourself knowledgeable
12 about the offsetting interest owners, if there are any, by
13 which they are entitled to notice of this hearing?

14 A. Yes.

15 MR. KELLAHIN: We tender Mr. Price as an expert
16 witness.

17 EXAMINER CATANACH: Mr. Price is so qualified.

18 Q. (By Mr. Kellahin) Let's go back to our display
19 which is behind Exhibit Tab Number 3. It's the index map.
20 It's got various color codes on the index. It's in the
21 small book.

22 Are you with me?

23 A. Yes.

24 Q. Have you sufficient knowledge about the ownership
25 that you can identify and describe the information on this

1 display?

2 A. Yes.

3 Q. Let's have you do that.

4 A. Okay, we're looking in Township 32 North, Range
5 14 West, in San Juan County, Colorado. We're looking at
6 the acreage which was the current -- The dashed line,
7 broken dashed red line, indicates the current pool boundary
8 for the Barker Creek Paradox Gas Pool.

9 The solid red line, which you see outlining
10 acreage on the lease, or the land plat, is a proposed pool
11 boundary.

12 We've got indicated on the map and highlighted
13 with a green slashed hatch mark leasehold currently held by
14 Meridian Oil, Inc., which in essence covers the gas rights
15 under the Paradox Gas Pool.

16 We also indicate with a blue hatchmark the Ute
17 Mountain Ute Tribe leased lands -- or unleased lands,
18 indicated in the blue hatched.

19 In the red hachured slash marks we have acreage
20 which is outside the pool, which is under lease to Amoco
21 Production Company.

22 I also note one error on the map. In Section 30,
23 the south half, we have a green-hatched line which shows
24 leasehold in Meridian Oil, Inc., and that is currently Ute
25 Mountain Ute Tribe unleased land.

STEVEN T. BRENNER, CCR
(505) 989-9317

1 Q. All right. We've got the diagonal running the
2 wrong direction?

3 A. On that, yes.

4 Q. And it should be blue?

5 A. It should be -- That land is currently under
6 negotiation with the --

7 Q. All right.

8 A. -- Tribe.

9 Q. And so that's what? Section 30?

10 A. Yes.

11 Q. All of Section 30?

12 A. No, just the south half.

13 Q. South half is color-coded wrong. All right.

14 With the exception of that tract, then, should
15 the Examiner choose to do so and extend the current
16 boundaries as you've requested --

17 A. Yes.

18 Q. -- the ownership within the entire boundary is
19 consistent and uniform?

20 A. Yes.

21 Q. When we look at any existing producing spacing
22 unit within the current pool, the ownership of that
23 production with that -- in that spacing unit is common to
24 the ownership that offsets that spacing unit within the
25 pool?

1 A. Yes.

2 Q. Okay. And the only point of potential difference
3 where we might have another operator other than Meridian
4 would be in the event that production in the pool is such
5 that Section 27 is included beyond its current north-half
6 quarter section?

7 A. Yes.

8 Q. Northwest quarter section?

9 A. Northwest quarter section, that's correct.

10 Q. All right. As part of your duties, did you cause
11 notification of this hearing --

12 A. Yes.

13 Q. -- to be sent to parties that would share in
14 production within the pool?

15 A. Yes.

16 Q. And how do we find that information?

17 A. Through a record check and through a leasehold
18 record check of our company records, and determined the
19 ownerships and found their names and addresses and mailed
20 them copies of the hearing notice and Application, and also
21 the offset owners.

22 Q. In addition, did you provide the Examiner with
23 copies of some of the correspondence between and among the
24 other regulatory agencies, and that's contained behind
25 Exhibit Tab Number 1?

1 owner under the entire pool.

2 Q. I don't know how -- I'm not familiar with how
3 Indian leases are set up, but do you know if in fact the
4 ownership is common underlying this whole area?

5 What I'm saying is, I've seen certain times where
6 you might have different beneficiaries under the Indian --
7 under Indian leases.

8 A. All checks are made payable to the Bureau of
9 Indian Affairs for the benefit of the Ute Mountain Ute
10 Tribe, and --

11 A. As far as you know, it's all commonly owned?

12 A. They are all -- Yes. And this is -- I understand
13 what you're saying, that there were -- you know, there are
14 other tribes with other situations where allottees are
15 given separate royalties, and that isn't the case in this
16 instance.

17 EXAMINER CATANACH: Okay, that's all I have, Mr.
18 Kellahin.

19 MR. KELLAHIN: Mr. Examiner, because of the
20 complexity, I think, of the issue, taking an existing pool
21 and subdividing it and then developing rules for what is
22 truly a unique circumstance of dealing with exploration
23 opportunities within a very difficult terrain management
24 problem, and the concerns of the Native Americans that own
25 those properties, Mr. Alexander and I, with the aid of the

1 team that has this responsibility, have drafted a proposed
2 order for discussion purposes.

3 We'd like to share that with you and the other
4 participants today to give you at least a starting point on
5 how you might organize the approval of this Application, if
6 you chose to do so.

7 We've taken the liberty of suggesting some unique
8 solutions for consideration, including the flexibility of
9 downhole commingling applied to this particular resource,
10 procedures for nonstandard locations.

11 The testimony was that we are particularly
12 sensitive to the duplicity of wellbores, and we're going to
13 try to manage the surface disturbance to minimize that
14 adverse impact, but we need to more appropriately access
15 these multiple reservoirs.

16 And so we've suggested some things in this order
17 that are bits and pieces out of the coal gas pool rules and
18 other rules that we commonly utilize, trying to craft a
19 flexible set of procedures that made common-sense solutions
20 available to the operator and to the interest owners. And
21 so I have that to share with you.

22 This is an unusual circumstance where you have
23 such a tremendous vertical distance, and for whatever
24 reason it was put into a pool. It's largely unique.

25 It is the custom, practice and historical

STEVEN T. BRENNER, CCR
(505) 989-9317

1 decision of this agency that you deal with resources by
2 defining separate common sources of supply. That is the
3 fundamental conservation building block for the State of
4 New Mexico.

5 Here, we've taken four or five or six separate
6 sources of supply and put them under one pool.

7 It doesn't work anymore. We need a better, more
8 appropriate solution that is certainly consistent with what
9 you do.

10 The reason we didn't suggest infill drilling is
11 that it is contrary to the established practice. Infill
12 drilling applies to a single common source of supply.

13 For example, you've got infill drilling in the
14 Blanco -- the Basin Dakota and Blanco Mesaverde. Each of
15 those pools are a separate source of supply, so that you
16 know the infill well is competing for gas reserves in the
17 same reservoir as the parent well.

18 Infill wells in this pool would be competing in
19 separate sources of supply. If it's a mistake in logic,
20 it's my mistake, because I suggested that that was not a
21 feasible option because it didn't make any sense. It was
22 my choice to say the sense of this is to go back to the
23 experts and have them define separate reservoirs.

24 And once we have good technical data from the
25 geologists and the engineers, saying these are separate

STEVEN T. BRENNER, CCR
(505) 989-9317

1 sources of supply, then we craft individual rules for that
2 separate source, and that's how we built this case.

3 We went back to the scientists, re-examined what
4 we were doing, found the existing rules are inconsistent
5 with practice and technically flawed.

6 We've got four, at least, reservoirs that demand
7 their own solutions, and it's been an impediment to future
8 production. There is substantial remaining recoverable gas
9 that this company and its interest owners, as well as other
10 participants, ought to enjoy and share.

11 And so that's why we've presented the case as
12 we've done.

13 EXAMINER CATANACH: Thank you, Mr. Kellahin. And
14 we would appreciate the draft orders.

15 Mr. Vaughn, do you have anything that you'd like
16 to say before we -- ?

17 MR. VAUGHN: Thank you, Mr. Examiner, but we have
18 no further comments.

19 EXAMINER CATANACH: Okay. I expect that we will
20 not issue an order, probably, until the transcript is
21 received, which is generally about 30 days from the
22 hearing. And I would venture to say that it would be about
23 30 days from the date of the transcript that an order is
24 issued by the Division.

25 So about 60 days from now we can expect something

1 to come out.

2 And there being nothing further in this case,
3 Case 11,089 will be taken under advisement.

4 And this hearing is adjourned.

5 (Thereupon, these proceedings were concluded at
6 3:18 p.m.)

7 * * *

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

STEVEN T. BRENNER, CCR
(505) 989-9317


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL November 16th, 1994.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 11089, heard by me on November 10 1994.


David R. Cantor, Examiner
Oil Conservation Division

STEVEN T. BRENNER, CCR
(505) 989-9317