

Stogner, Michael

From: Stogner, Michael
Sent: Tuesday, July 13, 2004 9:09 AM
To: Johnson, Roy
Subject: FW: Certified Mail Slips for OXY's NSL Application in Bravo Dome, Re: No.pSEM0415530509

Roy,

I received Mr. Foppiano's letter dated July 8, 2004 today (July 13, 2004). Mr. Foppiano indicates he provided you a copy. In reviewing this letter Mr. Foppiano states that "historically [OXY has] been requested to give notice of NSL applications to lessors of any unratified tract within a 1/4 mile of a proposed unorthodox location." This is not my recollection with our meetings and conversations with the Unit operator in 1995/1996 when unorthodox infill wells were first proposed. I also reviewed the record in Case No. 11497, which resulted in the first NSL approval order (Division Order No. R10576). It was the Division's intention as I recall that all unratified mineral interest in the entire affected offsetting 640-acre spacing unit be novitiate. Please provide me your comments regarding this issue. Thanks.

-----Original Message-----

From: Rick_Foppiano@oxy.com [mailto:Rick_Foppiano@oxy.com]
Sent: Monday, July 12, 2004 9:56 AM
To: mstogner@state.nm.us; rejohnson@state.nm.us
Cc: Danny_Holcomb@oxy.com; Alan_Schwartz@oxy.com; David_Stewart@oxy.com
Subject: Certified Mail Slips for OXY's NSL Application in Bravo Dome, Re: No.pSEM0415530509

Mike/Roy: For your files, please find attached scanned copies of the certified mail slips for the referenced application. If you require anything in addition to this to show proof that notice was provided to the affected persons, please let me know. You should have already received our response to the request for additional notice and technical data by express mail on Friday of last week. Please let me if you did not.

Thanks to all, and have a great day!

Rick Foppiano P.E.

Regulatory Team Leader
OXY Permian - Houston, TX
Phone: 713-366-5303
Fax: 713-985-1550
E-Mail: Rick_Foppiano@oxy.com

<<BD Certified Mail Slips.ppt>>

This email has been scanned by the MessageLabs Email Security System.

7/13/2004

Stogner, Michael

From: Rick_Foppiano@oxy.com
Sent: Tuesday, July 13, 2004 9:35 AM
To: MSTOGNER@state.nm.us
Subject: RE: Certified Mail Slips for OXY's NSL Application in Bravo Dome, Re: No.pSEM0415530509

Thank you, Mike. Hope all is well with you and Linda.

Rick Foppiano P.E.

Regulatory Team Leader
OXY Permian - Houston, TX
Phone: 713-366-5303
Fax: 713-985-1550
E-Mail: Rick_Foppiano@oxy.com

-----Original Message-----

From: Stogner, Michael [mailto:MSTOGNER@state.nm.us]
Sent: Tuesday, July 13, 2004 10:16 AM
To: Foppiano, Rick; Stogner, Michael; Johnson, Roy
Cc: Holcomb, Danny; Schwartz, Alan J.; Stewart, David
Subject: RE: Certified Mail Slips for OXY's NSL Application in Bravo Dome, Re: No.pSEM0415530509

I shall re-commence my review of the subject application. Please note that the 20-day notification clock shall commence on July 9, 2004, being the receipt date of your July 8th letter. If additional information is required I will send you a letter and provide a copy of that letter to you via e-mail. Thank you.

-----Original Message-----

From: Rick_Foppiano@oxy.com [mailto:Rick_Foppiano@oxy.com]
Sent: Monday, July 12, 2004 9:56 AM
To: mstogner@state.nm.us; rejohnson@state.nm.us
Cc: Danny_Holcomb@oxy.com; Alan_Schwartz@oxy.com; David_Stewart@oxy.com
Subject: Certified Mail Slips for OXY's NSL Application in Bravo Dome, Re: No.pSEM0415530509

Mike/Roy: For your files, please find attached scanned copies of the certified mail slips for the referenced application. If you require anything in addition to this to show proof that notice was provided to the affected persons, please let me know. You should have already received our response to the request for additional notice and technical data by express mail on Friday of last week. Please let me if you did not.

Thanks to all, and have a great day!

Rick Foppiano P.E.
Regulatory Team Leader

OXY Permian - Houston, TX
Phone: 713-366-5303
Fax: 713-985-1550
E-Mail: Rick_Foppiano@oxy.com

<<BD Certified Mail Slips.ppt>>

This email has been scanned by the MessageLabs Email Security System.
For more information please visit <http://www.messagelabs.com/email>


Confidentiality Notice: This e-mail, including all attachments is for the sole use of the intended recipient(s) and may contain confidential and privileged information. Any unauthorized review, use, disclosure or distribution is prohibited unless specifically provided under the New Mexico Inspection of Public Records Act. If you are not the intended recipient, please contact the sender and destroy all copies of this message. -- This email has been scanned by the MessageLabs Email Security System.

This email has been scanned by the MessageLabs Email Security System.
For more information please visit <http://www.messagelabs.com/email>

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)
)
 APPLICATION OF AMOCO PRODUCTION COMPANY)
 FOR FOURTEEN UNORTHODOX INFILL CARBON)
 DIOXIDE GAS WELL LOCATIONS, UNION)
 COUNTY, NEW MEXICO)
)

CASE NO. 11,497

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

March 21st, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, March 21st, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

March 21st, 1996
 Examiner Hearing
 CASE NO. 11,497

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>SAM CULPEPPER</u> (Landman)	
Direct Examination by Mr. Carr	8
Examination by Examiner Catanach	17
Examination by Mr. Johnson	17
Further Examination by Examiner Catanach	19
<u>HERBERT J. WACKER</u> (Geologist)	
Direct Examination by Mr. Carr	21
Examination by Examiner Catanach	32
Examination by Mr. Johnson	33
Further Examination by Examiner Catanach	35
<u>BILL GRIFFIN</u> (Engineer)	
Direct Examination by Mr. Gallo	37
Examination by Examiner Catanach	65
Examination by Mr. Johnson	68
REPORTER'S CERTIFICATE	71

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	12	16
Exhibit 2	13	16
Exhibit 3	14	16
Exhibit 4	14	16
Exhibit 5	15	16
Exhibit 6	23	32
Exhibit 7	26	32
Exhibit 8	28	32
Exhibit 9	29	32
Exhibit 10	31	32
Exhibit 11	39	65
Exhibit 12	40	65
Exhibit 13	46	65
Exhibit 14	48	65
Exhibit 15	51	65
Exhibit 16	53	65
Exhibit 17A	57	65
Exhibit 17B	58	65
Exhibit 17C	59	65
Exhibit 18	61	65
Exhibit 19	62	65

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR
and
AMOCO PRODUCTION COMPANY
Houston Region
501 WestLake Park Boulevard
P.O. Box 3092
Houston, Texas 77253-3092
By: A. ANDREW GALLO

ALSO PRESENT:

ROY E. JOHNSON
Senior Geologist, NMOCD
2040 South Pacheco
Santa Fe, New Mexico 87505

* * *

1 WHEREUPON, the following proceedings were had at
2 1:05 p.m.:

3 EXAMINER CATANACH: At this time we'll call the
4 hearing back to order, and I will call Case 11,497.

5 MR. CARROLL: Application of Amoco Production
6 Company for fourteen unorthodox infill carbon dioxide gas
7 well locations, Union County, New Mexico.

8 EXAMINER CATANACH: Are there appearances in this
9 case?

10 MR. CARR: May it please the Examiner, my name is
11 William F. Carr with the Santa Fe law firm Campbell, Carr,
12 Berge and Sheridan.

13 We represent Amoco Production Company in this
14 matter.

15 I'm appearing today in association with A. Andrew
16 Gallo, counsel for Amoco, who's a member of both the Texas
17 and Missouri bars, who's going to assist in presentation of
18 the case.

19 We have three witnesses.

20 EXAMINER CATANACH: Are there additional
21 appearances?

22 Can I get the three witnesses to stand and be
23 sworn in at this time?

24 (Thereupon, the witnesses were sworn.)

25 MR. CARR: Mr. Catanach, as you're aware, the

1 Bravo Dome was formed in the late 1970s and became
2 effective in 1980. Since it was originally created, this
3 unit has been developed by and large on a 640-acre spacing
4 pattern. There are two spacing patterns in the unit, but
5 most of the development has occurred within the 640-acre
6 spacing area.

7 Recently Amoco undertook a study of the reservoir
8 and evaluated the feasibility of further developing the
9 Tubb formation with an infill drilling program, and the
10 Application we bring to you today is the result of that
11 evaluation.

12 We also determined that certain wells needed to
13 be located at unorthodox well locations if, in fact, we
14 were going to maximize the recovery of carbon dioxide from
15 this unit.

16 We will present three witnesses today.

17 We will first call Sam Culpepper, a landman,
18 who's going to generally identify the three areas or
19 clusters of wells that are the subject of this hearing. He
20 will review the general ownership in the area and the
21 current status of Amoco development in the areas that are
22 affected by this case.

23 Next we will call Herbert J. Wacker, a geologist.
24 He's testified before this Division and Commission before.
25 He will review the geology of the Tubb formation in the

1 unit as a whole, but especially in each of the areas that
2 are the subject of this Application, and he will review the
3 geologic parameters that have been utilized in our computer
4 modeling of the reservoir.

5 We will call a petroleum engineering witness, Mr.
6 Bill Gibson. He's going to review the criteria used by
7 Amoco to identify the area selected for infill development.
8 He's going to review the computer models that we have used
9 to simulate flow, both in the reservoir and on the surface.
10 He will show how these have been integrated and used to
11 predict performance of wells at individual specific well
12 sites. And using these tools we will show you that we have
13 selected 13 locations for wells, unorthodox locations, for
14 infill wells within the Bravo Dome unit.

15 We will then show you that to maximize the
16 ultimate recovery of carbon dioxide from this reservoir,
17 wells must be drilled at these locations.

18 We will also request, at the end of the
19 presentation, that if future applications for infill wells
20 do not qualify under the provisions of new Rule 104, that
21 the order in this case authorize an administrative
22 procedure whereby future infill wells can be considered for
23 approval without the necessity of hearing.

24 And with that, we are now ready to call Mr.
25 Culpepper.

1 EXAMINER CATANACH: Let me introduce Mr. Roy
2 Johnson, who's our guest up here today, who's going to
3 assist us in this case.

4 SAM CULPEPPER,
5 the witness herein, after having been first duly sworn upon
6 his oath, was examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. CARR:

9 Q. Would you state your name for the record, please?

10 A. Sam Culpepper.

11 Q. Where do you reside?

12 A. Houston, Texas.

13 Q. By whom are you employed?

14 A. Amoco Production Company.

15 Q. And what is your position with Amoco Production
16 Company?

17 A. I'm senior business analyst, land negotiator in
18 the Permian Basin business unit.

19 Q. Mr. Culpepper, have you previously testified
20 before the Oil Conservation Division?

21 A. No, I have not.

22 Q. Could you briefly review your educational
23 background for Mr. Catanach?

24 A. Yes, I have a BA from Southern Methodist
25 University and received my law degree from SMU in December

1 of 1975.

2 Q. When did you go to work for Amoco?

3 A. I went to work for Amoco in 1981.

4 Q. Could you summarize the nature of your work
5 experience with Amoco Production Company?

6 A. I've worked in both property administration and
7 land negotiations since that time, and I'm currently
8 supporting the Bravo Dome since November of 1995.

9 Q. Are you familiar with the Application filed in
10 this case on behalf of Amoco and the amended Application?

11 A. Yes, I am.

12 Q. Are you aware of the status of the lands in the
13 portion of the Bravo Dome unit on which the proposed infill
14 wells are to be drilled and also on the offsetting tracts?

15 A. Yes, I am.

16 Q. And are you familiar with the ownership in those
17 adjoining and diagonal offsetting properties?

18 A. Yes, I am.

19 MR. CARR: We tender Mr. Culpepper as an expert
20 witness in petroleum land matters.

21 EXAMINER CATANACH: Mr. Culpepper is so
22 qualified.

23 Q. (By Mr. Carr) Could you briefly state what Amoco
24 seeks with this Application?

25 A. Yes, Amoco is seeking 13 unorthodox carbon

1 dioxide gas wells in the Bravo Dome unit area.

2 Q. What are the locations for each of these wells?

3 A. The exact locations are set out in the amended
4 Application filed in this case.

5 Q. Now, the Application is styled "seeking approval
6 of fourteen unorthodox locations". Today we're here only
7 seeking 13; is that right?

8 A. That's correct, one is on an orthodox location.

9 Q. Is that the Unit Well 1835, Number 72?

10 A. 72K, yes.

11 MR. CARR: And Mr. Catanach, that is Well Letter
12 I on the amended Application. That well is 1980 from the
13 south and west lines. It's a standard location, and
14 therefore it can be dismissed from this Application.

15 Q. (By Mr. Carr) Mr. Culpepper, why was an amended
16 Application filed in this case?

17 A. Two wells were changed from the original
18 Application, two were deleted, and two were substituted.

19 Q. What are the new wells? And if you can maybe
20 refer to the --

21 A. Okay.

22 Q. -- amended Application.

23 A. On the amended Application the new wells are
24 listed as H and N, as in Nancy. These are at 2134132P, and
25 2234172A.

1 MR. CARR: Mr. Catanach, the legal advertisement
2 provided in this case did not provide specific well
3 locations within Bravo Dome. It generally referred to
4 townships and ranges.

5 Both of these wells fall within those townships
6 and ranges, so there is nothing that can be changed in the
7 published notice on this matter, and therefore we submit
8 that that notice is appropriate and the case should not
9 have to be continued for readvertisement.

10 EXAMINER CATANACH: Was there any notice provided
11 to any interest owner, Mr. Carr?

12 MR. CARR: We'll review that with Mr. Culpepper.
13 We have provided -- There are no individuals to whom notice
14 is required under the rule, but I will review that with
15 this witness.

16 EXAMINER CATANACH: Well, in terms of -- Was
17 notice provided in terms of exact well locations to those
18 interest owners?

19 MR. CARR: There are no interest owners to whom
20 we can give notice. We will show that.

21 EXAMINER CATANACH: Okay, all right.

22 Q. (By Mr. Carr) Mr. Culpepper, will each well
23 covered by this Application be an infill well on the
24 subject spacing units?

25 A. Yes, each well will be either a second or third

1 well on the 640 spacing unit.

2 Q. And are additional wells, more than one well,
3 authorized on the 640-acre spacing units in this portion of
4 the unit?

5 A. Yes, under the special rules for the Bravo Dome,
6 640-acre area Rule 2, it allows up to four wells per -- or
7 doesn't preclude four wells on a 640-spacing unit.

8 Q. So there's no need to seek additional approval
9 for multiple wells on this unit?

10 A. Correct.

11 Q. What are the well-location requirements set forth
12 in the rules for the 640-acre Bravo Dome area?

13 A. Applicable to this case, it's a setback from the
14 outer boundary of the section, 1650 feet.

15 Q. So we're actually closer with each of these wells
16 than that 1650-foot setback?

17 A. That's correct.

18 Q. Let's go to what has been marked as Amoco Exhibit
19 Number 1. Can you identify that, please?

20 A. Yes, this is the major carbon dioxide supply and
21 systems in the United States, and it's offered in order to
22 locate Bravo Dome in the northeast corner of the State of
23 New Mexico.

24 Q. This also shows pipelines from the area?

25 A. Yes, it also shows the pipelines from which

1 supply is shipped.

2 Q. Let's go to Exhibit Number 2. Can you identify
3 that, please?

4 A. Yes, Exhibit 2 is the -- You notice on the right-
5 hand side, you have the eastern boundary of the Bravo Dome
6 unit, and the largely developed area, if you note that
7 there are three colored squares on it with red dots inside.

8 The green area at the top is a cluster of wells
9 that are proposed on Leg 9 of the gathering system.

10 The black square is another cluster of wells on
11 Leg 9 of the gathering system, four wells there.

12 And then to the south in the yellow square,
13 that's four proposed wells on Legs 6 and 7 of the gathering
14 system.

15 Q. Mr. Culpepper, later exhibits will show these
16 particular clusters of wells as they are located within the
17 entire unit boundary; is that right?

18 A. That's correct.

19 Q. What is the red line around this exhibit? What
20 does that indicate?

21 A. The red line is, as I understand it, the
22 boundaries of an engineering model.

23 Q. And that will be reviewed by a later witness?

24 A. That's correct.

25 Q. Let's go to Exhibit Number 3. Can you identify

1 that, please?

2 A. Okay, Exhibit Number 3 is focusing in on the
3 northern part of Leg 9 that you saw on Exhibit 2, the north
4 end. It indicates the proposed unorthodox well locations,
5 and it also indicates the adjacent and diagonal tracts to
6 those unorthodox locations. It also indicates wells that
7 are on those adjacent and diagonal tracts that are operated
8 by Amoco Production Company.

9 Q. So what you've done is, you have highlighted with
10 the yellow blocks all adjacent and diagonal spacing units
11 as that term is defined by OCD rules?

12 A. Correct.

13 Q. And you've shown the existing development on
14 those tracts, and all tracts are operated by Amoco?

15 A. Correct.

16 Q. All right. Let's go to Exhibit Number 4. Can
17 you identify and review that, please?

18 A. Okay, Exhibit Number 4 is the other cluster of
19 wells that we saw in Exhibit 2, just to the south on Leg 9.
20 Again, I've indicated the unorthodox -- proposed unorthodox
21 locations, the adjacent and diagonal tracts and the wells
22 existing on those tracts, all operated by Amoco Production
23 Company.

24 Q. And now let's move to Exhibit Number 5. Can you
25 identify and review that, please?

1 A. Exhibit Number 5 are the proposed well locations
2 that exist between Legs 6 and 7 of the gathering system.

3 Again, we show the one orthodox location, being
4 72K, and the three proposed unorthodox locations, all of
5 the adjacent and diagonal tracts, the wells existing on
6 those tracts, all operated by Amoco Production Company.

7 Q. Now, Mr. Culpepper, are all of the wells that we
8 are proposing to drill located in the 640-acre spacing
9 unit?

10 A. Yes.

11 Q. Or a portion of the unit?

12 A. Yes, they are.

13 Q. And are all of the diagonal and offsetting
14 spacing units also located in the 640-spacing unit?

15 A. Yes, they are.

16 Q. Are all the properties that we're dealing with
17 here today in this hearing operated by Amoco?

18 A. Yes, they are.

19 Q. Are there any affected parties who are entitled
20 to actual notice of this Application pursuant to Division
21 Rules either 104 or 1207?

22 A. No, since we operate all of it, there is no
23 notice.

24 But public notice was published in the *Union*
25 *County Leader* March 6th, 1996.

1 Q. Now, Mr. Culpepper, there are tracts in the
2 adjoining and diagonal spacing units that have not been
3 committed or interests that have not been committed to the
4 Bravo Dome unit agreement; is that right?

5 A. There are a few tracts where there is unleased
6 mineral interest that's either unknown, unlocatable, and
7 it's very small.

8 Q. Do all of the interests -- or all of the tracts
9 that are not committed in these particular offsetting or
10 diagonal spacing units -- are the owners of those interests
11 either unknown or unlocatable?

12 A. That's correct.

13 Q. Will Amoco call a geological and engineering
14 witness to review the technical portions of this
15 Application?

16 A. Yes, they will.

17 Q. Were Exhibits 1 through 5 prepared by you or
18 compiled under your direction and supervision?

19 A. Yes, they were.

20 MR. CARR: At this time, Mr. Catanach, we move
21 the admission into evidence of Amoco Exhibits 1 through 5.

22 EXAMINER CATANACH: Exhibits 1 through 5 will be
23 admitted as evidence.

24 MR. CARR: And that concludes my direct
25 examination of Mr. Culpepper.

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER CATANACH:

Q. Just to clarify that, Mr. Culpepper, the offset tracts to these infill well locations, was it your testimony that the royalty interest owners are all signed up as to participate in the unit, with the exception of those that are not locatable?

A. Other than -- well, we have some unleased mineral interest in some tracts, particularly in the most northern leg. It's small interests in only -- not over the whole 640, but in small tracts of that 640 spacing, there are some small unleased mineral interests, and of course money is being set aside, if they're locatable and can be determined.

Q. The reason they're unleased is because they're not locatable?

A. As I understand it, yes.

EXAMINATION

BY MR. JOHNSON:

Q. Mr. Culpepper, on your Exhibit Number 2, this exhibit has got three green dots --

A. Exhibit 2.

Q. -- on it. What do those signify? Is that something that's going to be talked about?

A. Those three green dots will be discussed by

1 subsequent testimony.

2 Q. Okay. And to just clarify Mr. Catanach's
3 question, the offsetting acreage on this one, come as a
4 royalty, all that royalty is in the Bravo Dome unit except
5 for those tracts that you can't find the owners of; is that
6 correct?

7 A. Yes, as I understand it, through my research,
8 that's what I see.

9 MR. JOHNSON: Okay, that's all I have, David.

10 EXAMINER CATANACH: When we say "offsetting
11 tracts", did you -- were those tracts that completely
12 surrounded these infill proration units?

13 THE WITNESS: Well, the tracts were -- as I
14 understand the definition of what an adjacent and diagonal
15 tract is, it's the tracts either diagonal or adjacent to
16 the encroaching well. So it would be caddy-corner and the
17 two tracts on either side, and that's the way that I did my
18 exhibits and research.

19 Q. (By Mr. Johnson) You didn't scribe a half-mile
20 radius around one of these wells to see if any other tracts
21 were affected?

22 A. No, sir, because that was not the definition of
23 adjacent and diagonal as I understood it and was
24 communicated to me.

25 Q. And yet these wells are capable of draining 640

1 acres; is that correct?

2 A. I can't speak to that. I think you'll have
3 subsequent testimony that I think it would probably be --
4 you'll get a better answer if you ask people who know.

5 Q. All right. Well, assuming that that is the last
6 testimony on your 640-acre spacing case, then potentially
7 there could be a tract within a half-mile radius around
8 these wells that is not in the unit that could possibly be
9 affected; is that correct?

10 A. I can't really -- I can't really speak to that.
11 I'm not an engineer.

12 MR. JOHNSON: Thank you.

13 FURTHER EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Mr. Culpepper, did you personally do the
16 examination of these records?

17 A. Yes, I did. Yes, I did.

18 Q. Okay. And as I understand it -- let me just --
19 one more time. For any given proration unit in which you
20 propose to drill a well, you looked at the eight
21 surrounding proration units?

22 A. I looked at the -- For each unorthodox well
23 location, I looked at the two adjacent 640s and the
24 diagonal 640.

25 Q. Now, the two adjacent being --

1 A. Well, as an example, if you'd like to look at
2 Exhibit Number 3, and you look at the top there and you see
3 the unorthodox location proposed, 172A --

4 Q. Uh-huh.

5 A. -- as I understand the definition of "adjacent"
6 and "diagonal", it would be Section 8 to the north, Section
7 9 diagonally, and Section 16 to the east. And those would
8 be the three applicable proration units, spacing units.

9 Q. Okay, you looked at the tracts which the
10 unorthodox location was moving towards --

11 A. Correct.

12 Q. -- encroaching towards?

13 A. Correct.

14 Q. Okay, got it.

15 A. And I did that in every case.

16 MR. JOHNSON: And you looked at the entire
17 section?

18 THE WITNESS: Yes, I did.

19 MR. JOHNSON: Okay.

20 Q. (By Examiner Catanach) Mr. Culpepper, you stated
21 that this case was -- or this request was advertised in the
22 Union County newspaper?

23 A. Yes.

24 Q. Was that done by Amoco?

25 A. Yes, it was.

1 MR. CARR: No, it was done by the OCD.

2 THE WITNESS: Was it?

3 MR. CARR: It was the regular notification that
4 appeared March the 6th in the *Union County Leader*. I have
5 copies here if you'd like to see one.

6 EXAMINER CATANACH: Yeah, could you -- Mr. Carr?

7 THE WITNESS: I've got one here, I believe. I
8 think I have an original.

9 (Off the record)

10 MR. CARR: March the 6th.

11 EXAMINER CATANACH: I think that's all we have of
12 this witness. He may be excused.

13 MR. CARR: Thank you, Mr. Catanach.

14 At this time we would call Mr. Herb Wacker.

15 (Off the record)

16 HERBERT J. WACKER,

17 the witness herein, after having been first duly sworn upon
18 his oath, was examined and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. CARR:

21 Q. Mr. Wacker, would you state your full name for
22 the record, please?

23 A. My name is Herbert J. Wacker.

24 Q. Where do you reside?

25 A. I live in Houston, Texas.

1 Q. And for whom do you work?

2 A. I work with Amoco, USOG.

3 Q. And how long have you been employed by Amoco?

4 A. I've worked with Amoco for 23 years.

5 Q. Mr. Wacker, you have previously testified before
6 this Division and Commission concerning the Bravo Dome,
7 have you not?

8 A. Yes, I have.

9 Q. At the time of that prior testimony, were your
10 credentials as an expert witness in the field of petroleum
11 geology accepted and made a matter of record?

12 A. They were.

13 Q. Are you familiar with the Application filed in
14 this case on behalf of Amoco Production Company?

15 A. Yes, I am.

16 Q. And are you a member of the team within Amoco
17 that has made a study of the Bravo Dome to determine the
18 feasibility of performing an infill drilling program in
19 portions of the Bravo Dome unit?

20 A. I'm a member of that team.

21 Q. And what was your role as a member of that team?

22 A. My role was to provide the base geologic
23 information on which the modeling relied.

24 Q. And are you prepared here today to review that
25 geological work with Mr. Catanach and the other

1 representatives of the Oil Conservation Division?

2 A. Yes, I am.

3 MR. CARR: Are the witness's qualifications
4 acceptable?

5 EXAMINER CATANACH: Yes, they are.

6 Q. (By Mr. Carr) Mr. Wacker, have you prepared or
7 has there been prepared under your direction certain
8 exhibits for presentation here today?

9 A. Yes.

10 Q. I'd like to direct your attention to what has
11 been marked as Amoco Exhibit Number 6, and I'd like you to
12 first simply review for Mr. Catanach what this exhibit is
13 designed to show.

14 A. This exhibit is a montage, including a regional
15 base map on the left-hand side of the exhibit, that
16 includes all of the Bravo Dome area. It includes on the
17 right-hand side the areas that are particularly important
18 to this hearing involving Leg 9 and also Legs 6 and 7
19 further to the south.

20 On the regional structure map of the Bravo Dome
21 the contour interval is 50 feet. The colors that you see
22 on there range from a green in the south where it's
23 structurally low, to a red in the northwest that is
24 structurally high. This helps give us a picture of the
25 general shape and configuration of the Bravo Dome

1 reservoir.

2 Outlined in blue are the two key areas that are
3 shown on the right-hand side of the montage. They're
4 labeled "Leg 9 Area" on the regional reference map and
5 "Legs 6 and 7 Area" on the regional reference map.

6 Q. When we look at your exhibit and we go to the
7 structural top map, the large orientation map you have
8 shown a lot of additional information, have you not?

9 A. Yes, I have.

10 Q. What are the red lines that go back and forth
11 across the unit area?

12 A. The red lines are the geophysical data points
13 that were used to help construct the structural
14 configuration of the dome. Because of the well control and
15 the distribution, it was important to have a good
16 distribution of data points to come up with an accurate
17 structure.

18 Q. And is the area that is shown as the unitized --
19 or the unit, is that the boundary following contraction of
20 the unit, or is that the original unit boundary?

21 A. The actual colored area is the original unit
22 boundary. The contracted area is shown in a black line
23 just inside that, and it's identified back down in the
24 lower left-hand corner of the diagram as the approximate
25 unit outline, and you can see that it's just a dark line.

1 It shows also some of the windows that are present in the
2 Bravo Dome field, as far as leasing and so forth.

3 Q. This map also has the zero net pay isopach line
4 shown on it, does it not?

5 A. Yes, it does. It skirts around the outside and
6 is identified as it was in Case 11,122, where we defined
7 that line.

8 Q. This exhibit was prepared by you?

9 A. Yes, it was.

10 Q. And the information shown on this exhibit
11 reflects the current status of the development and
12 operation of Amoco in the Bravo Dome unit; is that right?

13 A. It does. It has been reconfigured to include the
14 additional drilling that took place in 1995. We've
15 reflexed the structures and recontoured the maps in the
16 area where we have additional well control, and that way we
17 can accurately represent the reservoir.

18 Q. All right, Mr. Wacker, let's go to the enlarged
19 map of the Leg 9 area, and I would ask you to review the
20 information contained on that portion of this exhibit for
21 Mr. Catanach.

22 A. In the Leg 9 area there are ten well locations.
23 they are all unorthodox locations, and they are identified
24 by a red dot and an arrow above them.

25 There are two provinces that we talk about in Leg

1 9. One is the northern province outlined in green, and the
2 southern province outlined in brown. Later on, I'll be
3 showing a cross-section that goes across the Leg 9 area --
4 also known geologically as the Clapham Anticline -- that
5 the cross-section will go generally from north to south and
6 demonstrate the porosity configuration for the Leg 9 area.

7 Q. Would you like to go to that cross-section now,
8 and then we can come back and look at the wells in Exhibit
9 6 and 7?

10 A. That would be great.

11 Q. Let's move to what has been marked as Amoco
12 Exhibit Number 7, and again I'd ask you to first identify
13 this and then explain the significance of this exhibit to
14 the Examiner.

15 A. Exhibit 7 is a structural cross-section through
16 Leg 9. It shows the structural latitude of the Cimarron
17 anhydrite, which is important because the base of the
18 Cimarron anhydrite defines the top of the Bravo Dome unit.

19 It also shows an approximate gas-water contact.
20 The wells that we show on here are the wells that were
21 drilled in 1995. We haven't actually drilled through the
22 gas-water contact in any of those.

23 The objective in this cross-section is to
24 demonstrate how broadly continuous the porosity is in the
25 Bravo Dome reservoir.

1 On the right-hand side of each log is a bulk
2 density curve. The vertical line going through the bulk
3 density curve identifies the 12-percent porosity cutoff
4 that we determine to be the porosity cutoff for Bravo Dome
5 reservoir.

6 To the left of that line is porosity greater than
7 12 percent, up to 30 percent. And it clearly shows that
8 the reservoir is continuous from well to well. In drilling
9 the thirty wells, we had no dry holes. The production was
10 good in each one, and the tops came in more than -- More
11 than half of them were plus or minus 12 feet of the
12 predicted interval.

13 So we feel like we have a reservoir that is
14 predictable, continuous and relatively easy to describe
15 geologically.

16 Q. In this area, what generally or approximately is
17 the gross pay thickness that you're encountering?

18 A. The maximum gross pay out here is 250 feet. It
19 drops down to 100 to 150 as you move further to the south
20 on the southern part of Leg 9.

21 Q. Let's go back now to your Exhibit Number 6, and
22 let's look at the enlarged portion of that exhibit that
23 relates to the locations on Leg 6 and 7 of the gathering
24 system.

25 A. In the lower right is the outline of the 6 and 7.

1 It's a 1-to-4 base map, pretty much the same as the one
2 above it, which is the Leg 9.

3 The area in yellow is the area of particular
4 interest to us. It shows four dots. One is an orthodox
5 location. The other three, identified by red arrows, are
6 unorthodox locations.

7 What you'll see there is also a red line, which
8 defines the Bueyeros Fault. It's a fault that was active
9 fairly recently. Based on information that we've got, it's
10 Quaternary or Ogallala in age, and it has offset the
11 reservoir.

12 The drilling of these wells up against this fault
13 will help drain the acreage between the fault and the
14 existing wells.

15 Q. You again have a trace for a subsequent cross-
16 section on this exhibit?

17 A. Yes, I do.

18 Q. Let's go to that cross-section, which has been
19 marked Amoco Exhibit Number 8, and would you please review
20 that for Mr. Catanach?

21 A. Yes. Exhibit 8 shows five wells, two of them on
22 the downthrown side of the Bueyeros Fault and three on the
23 upthrown side. It also shows the position of the
24 unorthodox locations between the Bueyeros Fault and the
25 first well to the south, which would be 1835161M.

1 What's important to notice here is that there is
2 a variance in the gas-water contact, which helps us
3 identify the Bueyeros Fault as a sealing fault. The fact
4 that it's sealing demonstrates that there won't be any
5 drainage from the south side of the fault by wells that are
6 drilled on the north side.

7 Again, you can see the massive porosity in the
8 density curve marked on the right-hand side of each of the
9 wellbores identified on the cross-section. The 12-percent
10 porosity line is shown, and the blue identifies the
11 porosity that's characteristic of the wells in those areas.

12 Q. Basically, what is the thickness in this area
13 we're looking at in terms of gross pay?

14 A. The gross pay is somewhat thinner here; it's
15 about 50 to 75 feet. But the pressures are slightly
16 higher, and I'm encouraged by the fact that the porosity is
17 excellent.

18 Q. If we look at where we're proposing unorthodox
19 locations on this cross-section, is it fair to say we're
20 proposing to develop an area that probably cannot be
21 efficiently drained without some additional drilling and
22 development?

23 A. That's right.

24 Q. Let's go to what has been marked as Amoco Exhibit
25 Number 9. Will you identify and -- Explain first, what

1 this is?

2 A. This includes two pieces of information. The
3 colored photograph on the right-hand side is a photograph
4 of the sediment that is present in the well, on the center
5 well, in the cross-section 1835101K. The blue represents
6 porosity, the white represents the sand grains.

7 What's important to notice is the fine-grained
8 nature of this particular reservoir. The formation itself
9 is called a loessite. This loessite is broadly distributed
10 throughout the Bravo Dome area and constitutes a good,
11 uniform, continuous, porous interval.

12 One of the characteristics of this rock is that
13 it has relatively uniform porosity and predictable
14 permeability characteristics, based on the cores that we've
15 taken and the logs that we've evaluated in Bravo Dome.
16 That includes 40 cores and all 500 wells or so that are in
17 the province.

18 What's important here is the fine-grain nature.
19 The formation is really coarse silt, which identifies it as
20 loess or loessite, and it says that -- it's a little bit
21 different from what we normally think of as coarse
22 sandstones that are regionally productive in the rest of
23 the Permian Basin. It's just a little bit different
24 reservoir. More like a sand-dune concept than what we
25 usually think of.

1 Q. Mr. Wacker, what geological conclusions can you
2 reach concerning this portion of the Bravo Dome and its
3 suitability for infill development?

4 A. The summary of the concepts is shown on Exhibit
5 10, and it does a good job characterizing the reservoir
6 properties of Bravo Dome. The porosity is 12 to 30
7 percent. It averages 5 to 40 millidarcies. It has a gross
8 pay thickness in this area of 50 to 250 feet, and the water
9 saturations are about 30 percent.

10 The characteristics of Bravo Dome Reservoir are
11 such that they are almost textbook, as far as modeling.
12 The facies are broadly distributed and easily described
13 geologically. And by taking the facies distribution and
14 the porosity, ϕh , maps that we've put together we have been
15 able to develop excellent properties for engineering
16 modeling.

17 Q. Now, these properties that you have developed
18 through your geological work, they were then in turn taken
19 and input into the modeling effort to select not only areas
20 for infill development but actual well locations --

21 A. That's right.

22 Q. -- is that not correct?

23 A. That is true.

24 Q. And will Amoco be calling an engineering witness
25 who will review exactly how that modeling took place?

1 A. Yes, they will.

2 Q. Were Exhibits 6 through 10 prepared by you or
3 compiled under your direction?

4 A. They were.

5 Q. Did you tape them together this morning like
6 this?

7 A. Yes, I did. And if you would like replacements,
8 I'll get replacements for you later.

9 MR. CARR: Mr. Catanach, we would move the
10 admission into evidence of Amoco Exhibits 6 through 10.

11 EXAMINER CATANACH: Exhibits 6 through 10 will be
12 admitted as evidence.

13 MR. CARR: And that concludes my direct
14 examination of Mr. Wacker.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Wacker, the wells located on the Legs 6 and 7
18 have geologic considerations as to why infill wells are
19 needed in those -- in that area.

20 Are there similar geologic considerations in Leg
21 9, or are those basically --

22 A. Those are engineering.

23 Q. -- drainage-type situations?

24 A. That's right.

25 Q. So there's no geologic factors up here?

1 Q. -- in Township 18 North, from where you have the
2 Bueyeros Fault drawn in, it appears possibly that this will
3 be a standard location, or is that something that you know
4 the fault is there but you can't pinpoint it?

5 A. If you'll look at the location of the two seismic
6 lines --

7 Q. Uh-huh.

8 A. -- those two locations really do kind of -- that
9 location in Leg 8 kind of splits the seismic lines, and I
10 lose control geologically between the well numbered
11 1835081C and the next point of control, which would be
12 1835181G. So it's a geologic interpretation as to where
13 that fault goes. Thank you, Mr. Johnson.

14 Q. So your confidence level on this position --

15 A. It degrades towards an unorthodox location.

16 Q. Okay. Do you have an estimate of the size of
17 this pool? Can you give me an estimate in acres, how big
18 is it?

19 A. The CO₂ Bravo Dome reservoir?

20 Q. Yes, sir.

21 A. No. No, I don't.

22 Q. You wouldn't want to hazard a guess?

23 A. Well, what I know is what we defined for the unit
24 when we had the unit-contraction hearing. I'm not sure how
25 far it goes outside. We know that there is CO₂ outside by

1 west Bravo Dome. I mean, there's another unit abutting
2 ours. I wouldn't want to hazard the guess of the single
3 continuous reservoir.

4 Q. Well, Bravo Dome is what? Currently a little
5 over 900,000 acres?

6 A. That's right.

7 Q. And you would say probably the bulk of that would
8 be inside the unit -- inside the gas --

9 A. From the information that I have right now,
10 geographically the answer is yes.

11 Q. Okay. What percentage has Bravo Dome been
12 developed?

13 A. I haven't taken the time to calculate that
14 number.

15 Q. Hazard a guess?

16 A. No.

17 MR. JOHNSON: That's all, David.

18 FURTHER EXAMINATION

19 BY EXAMINER CATANACH:

20 Q. Just one more. Mr. Wacker, the geologic
21 properties within the zone, permeability, porosity, that
22 kind of thing, do they vary from area to area considerably,
23 or not much?

24 A. Within all of the areas, the permeability seems
25 to be fairly consistent between 5 and 40 millidarcies as a

1 gross interval. Occasionally, we'll get a few stringers
2 that are 100 or 200 millidarcies. Some of them are even
3 higher than that, but they're just thin spikes and
4 generally are not good representatives, samples of the
5 reservoir as a whole. But we do have some that are really
6 quite high.

7 Q. Porosity varies?

8 A. Porosity varies, but -- that is productive
9 between 12 and 30. Occasionally we'll get it a little
10 higher than that, but for the most part it -- For an
11 average, I would pick something in that range.

12 Q. Is this Amoco's first attempt at infill drilling
13 the unit?

14 A. We've drilled interference wells back in the
15 1970s, but I'm not familiar with any of that work. I
16 wasn't involved with it. That was different from
17 interference -- that was different from infill drilling.

18 Q. Is it possible at this point to tell how much of
19 the unit may eventually be infill drilled?

20 A. I wouldn't alone be able to answer that right
21 now. I haven't been part of that kind of estimate.

22 EXAMINER CATANACH: I believe that's all I have,
23 Mr. Carr.

24 MR. CARR: Thank you, Mr. Catanach.

25 At this time, Mr. Gallo will present Mr.

1 Griffin's testimony.

2 MR. GALLO: At this time we'll call Mr. Bill
3 Griffin.

4 BILL GRIFFIN,

5 the witness herein, after having been first duly sworn upon
6 his oath, was examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. GALLO:

9 Q. Mr. Griffin, would you please state your name for
10 the record?

11 A. William Griffin. I go by Bill Griffin.

12 Q. And where do you reside, sir?

13 A. Houston, Texas.

14 Q. And by whom are you employed?

15 A. I'm employed by Amoco Production Company as a
16 petroleum engineer in the regulatory affairs group.

17 Q. How long have you been in the regulatory affairs
18 group?

19 A. Since 1979, or approximately 15 years.

20 Q. Have you testified before administrative agencies
21 in the past?

22 A. Yes, sir, I've testified before this board as
23 well as in the states of Texas, Louisiana, Michigan and
24 Pennsylvania.

25 Q. And are you a registered professional engineer

1 anywhere?

2 A. Yes, sir, within the State of Texas in the field
3 of petroleum engineering.

4 Q. Are you familiar with Amoco's Application in this
5 matter?

6 A. Yes, sir, I am.

7 Q. Are you a member of the team that made a study of
8 the Bravo dome unit to determine the feasibility and
9 desirability of performing additional drilling within the
10 Bravo Dome unit?

11 A. Yes, sir, I was.

12 Q. What was your role as a member of that team?

13 A. Well, my part was to examine the very detailed
14 infill drilling evaluation based on our computer
15 programming, and compared what that indicated that we would
16 like to do and what we ultimately decided we would like to
17 do with the rules and regulations that govern our activity
18 in the Bravo Dome area.

19 And if exceptions were necessary to implement
20 that particular program, I was to digest our complex
21 computer program and the results it was indicating and put
22 it in a form where we could officially present it to the
23 regulatory body to gain approval for the exceptions.

24 MR. GALLO: At this time we would tender Mr.
25 Griffin as an expert petroleum engineer.

1 EXAMINER CATANACH: He is so qualified.

2 MR. GALLO: Thank you.

3 Q. (By Mr. Gallo) Mr. Griffin, have you prepared or
4 had prepared under your direction and supervision certain
5 exhibits summarizing the results of Amoco's study?

6 A. Yes, sir, I've prepared 11 exhibits.

7 Q. Let's go ahead, then, and turn our attention to
8 what has been previously marked as Amoco Exhibit 11, which
9 I believe is the first of your series of exhibits. Would
10 you please tell us what that shows?

11 A. Okay, Amoco's Exhibit Number 11 is the starting
12 point, the criteria that we use to simultaneously satisfy
13 or call or high-grade the potential drilling opportunities
14 that we might have in the Bravo Dome unit as a result of
15 what our computer program is telling us.

16 There's three bullet points here.

17 We want to locate drilling areas where infill
18 drilling can maximize ultimate recovery, of course.

19 We also want to locate areas where infill
20 drilling will result in wells with relatively high
21 deliverabilities. This first pass, we were looking at
22 wells that generate rates of 2.5 million cubic feet per day
23 or greater. Of course, these areas are closely related to
24 the higher pressure areas.

25 Then finally, we want to identify areas where our

1 drilling cost and completion cost would be minimized.

2 These areas correspond directly to those where current
3 gathering lines exist and, in addition to that, where the
4 current gathering lines have additional capacity that could
5 carry additional gas.

6 Q. What type of study did Amoco perform to determine
7 if infill drilling would increase ultimate recovery and
8 where the best spot was to perform that drilling?

9 A. We performed pretty well sophisticated computer-
10 model studies, actually two of them, one for representing
11 properties beneath the earth, up through the wellbore, and
12 then the second one was a sophisticated model that modeled
13 the surface flow.

14 Q. Have you prepared an exhibit that shows the
15 configuration and interrelation of these two models?

16 A. Yes, sir, that's Amoco's Exhibit Number 12.

17 Q. Let's turn our attention to what we've previously
18 marked as Amoco Exhibit 12, and if you would, please, tell
19 us what that shows.

20 A. Okay, Amoco's Exhibit Number 12 is a model or a
21 horizontal cross-section through the Bravo Dome unit.

22 What it shows up at the top is surface
23 facilities, including a wellhead, flow lines or gathering
24 lines. And over on the right at the top is the central
25 facility, represented with a square with the letter F in

1 it.

2 Now, toward the bottom I've shown the reservoir
3 which the CO₂ is originating from, and that's labeled the
4 top of the Tubb formation and the base of the Tubb
5 formation.

6 Now, to explain how our model works, I've
7 identified certain points on this exhibit.

8 Looking at the lower left, point "A", that's the
9 inter-well area. Gas flows, of course, when the well is
10 placed on production from the inter-well area, point A to
11 point B. And then from point B it flows, of course, up the
12 wellbore to the wellhead at point C.

13 Now, this is the portion where our reservoir
14 model performs its work. It's a very sophisticated model.
15 It simulates the entire developed area. There's 350 wells
16 out there. The input parameters for this model include the
17 net pay, the porosity, the permeability, as well as the
18 wellbore configuration that represents what we model from
19 point B to C as the gas flows from the reservoir to the
20 surface.

21 Now, I've also shown here the surface model, and
22 that's the model for flow from point C to point F.
23 Included in that model is -- This flow to our central
24 facility is not entirely radial. It flows into gathering
25 systems. And as this exhibit indicates, the pipe diameters

1 get larger and larger, and that's what's represented by
2 these headers.

3 Now, input into that particular model are pipe
4 lengths, pipe diameters, bends, relative roughness and
5 things of that nature to represent pressure drop as one
6 flows from point C to point F.

7 Now, we merged these models into one composite
8 model. And what we wanted to do, we felt like in order to
9 use these models to predict future performance, we had to
10 calibrate them against some standard. Fortunately, in this
11 case we've had production since 1984, so we have ten years
12 of production that establishes a standard with which to
13 calibrate this model, and that's what we did.

14 The method that we used to calibrate the model is
15 shown on this verbiage on the right-hand side of the
16 exhibit. We first calibrated the reservoir model. We
17 input the reservoir parameters for the model area and the
18 wellbore configuration for each of the 350 active
19 producers.

20 For this first pass, we used our best estimate of
21 reservoir parameters, porosity, permeability and effective
22 wellbore diameter that we got from engineering and geologic
23 studies.

24 Then we allowed the model to run, to simulate
25 production from 1984 through 1995, in monthly increments.

1 The model predicts the flow rate and flowing tubing
2 pressures at point C for each of the 350 wells.

3 We then compared these predicted flow rates with
4 actual flow rates from historical data. And we adjusted
5 the effective wellbore radius, since that was the item that
6 we felt the least secure about in our input data, with --
7 We adjusted effective wellbore radius as necessary to
8 approach a match from our simulator to actual field
9 conditions.

10 The reason we had to adjust the effective
11 wellbore radius, because we felt like the reservoir was
12 rather uniform from well to well, so we didn't have great
13 permeability variations. However, each one of these wells
14 has received some sort of fracture stimulation. We know
15 the diameter or the radius of each wellbore, and of course
16 that is one of the components in the flow equation.

17 However, when you fracture-stimulate these wells,
18 it alters the effective wellbore radius somewhat, and in
19 varying matters, and that's what we adjusted to fine-tune
20 this model to calibrate the predicted performance during
21 the historical mode against actual performance.

22 Q. Now, did the model compare the -- or did you
23 compare the model's predicted pressures with historical
24 pressures as well?

25 A. Yes, sir, and that was at point C.

1 Q. And once you got it calibrated on the reservoir,
2 what did you do?

3 A. Then we calibrated our surface model, and that's
4 also shown in the verbiage on the right-hand side. We went
5 again and input the pipe parameters, the diameters, the
6 lengths, the valves, roughness, et cetera, for the
7 gathering system within the model area and the flow rate at
8 point C for each of the 350 active producers. We input
9 inlet pressure at the central facility each month, which
10 varies from 90 pounds to 175 pounds.

11 The surface model was allowed to run to simulate
12 flow and pressure drops at the surface, again, from 1984
13 through 1995 in monthly increments. The model, the surface
14 model, calculates flowing tubing pressures at given rates
15 at point C for each well.

16 Then we compared that flowing tubing pressure
17 with the actual conditions on a monthly basis and adjusted
18 our parameters within our surface model to match historical
19 performance of the flowing tubing pressures at point C.

20 The big unknown for our surface facilities is not
21 pipe diameters or length; those are measurable. However,
22 things like the relative roughness of the pipe or the flow
23 efficiency of the pipe itself, that we can adjust to
24 achieve our history match.

25 And in this particular case at this point C we

1 would continue our adjusting until our pressures were
2 within one or two pounds of what we actually experienced in
3 the field.

4 Q. And when you reached that plus-or-minus-two-pound
5 match at point C, you considered the model calibrated; is
6 that right?

7 A. That's correct, we considered that both models
8 are then calibrated to the real conditions that exist, both
9 beneath the earth and at the surface, in real life out in
10 the field.

11 And we feel like, then, we have a composite model
12 that's tuned and that is ready for us to use to predict
13 anticipated performance in the area developed of the Bravo
14 Dome unit under various that we might want to pick to
15 examine, such as infill drilling.

16 Q. Can you describe for Mr. Catanach the size of the
17 computer model?

18 A. Yes, the computer model is modeling an area that
19 was shown on Mr. Culpepper's Exhibit 2, which is roughly 40
20 miles in the north-south direction and 24 miles in the
21 east-west direction. The grid size within the model is
22 1320 feet, so we're modeling each governmental quarter-
23 quarter section.

24 But when you talk about size of computer models,
25 the modelers usually like to envision how long it takes to

1 make a single run. And when we flipped the switch on this
2 model -- Well, when you flip the switch on a normal model,
3 if it takes six or eight hours to run, that's considered a
4 fairly sophisticated, large-scale, fine-tuned model.

5 This particular model for each run takes a little
6 greater than 36 hours per run, which is the biggest model
7 that I'm familiar with. And that's a pretty good size
8 model, take that amount of time to run.

9 Q. Do you have an exhibit which shows the modeled
10 area as well as the surface facilities?

11 A. Yes, sir, that's Amoco's Exhibit Number 13.

12 Q. All right. If you would, please, turn your
13 attention to what we've previously marked as Amoco Exhibit
14 13 and tell us, please, sir, what that shows.

15 A. Amoco's Exhibit Number 13 is a map that's similar
16 -- It's almost identical to that that Mr. Culpepper
17 presented as Exhibit Number 2. It's a map of the eastern
18 portion of the Bravo Dome area

19 The scale of this map is roughly one inch to
20 16,000 feet. And as you can see, each one of those squares
21 is a section.

22 And it shows the location of 350 wells within the
23 modeled area of the Bravo Dome unit.

24 Also, we talk about legs in reference to our
25 gathering system out there, and I'd like to identify those.

1 Those are color-coded. The legend for the legs is shown on
2 the lower left-hand portion of the exhibit.

3 Plus there's little numbers. They're a little
4 more difficult to see in there. There is -- The one I'm
5 really looking at is toward the upper portion where our 10
6 recommended infill drilling wells will be located, and
7 that's Leg 9, and you can see a little "9" there.

8 Now, Legs 1 through 7 are generally down in the
9 southern portion of this area, and Legs 1 through 7 were
10 developed from 1979 through 1985.

11 Leg 8, that extends to the northwest from our
12 central facility, was developed in 1993.

13 Then Leg 9, that just goes due north, was
14 developed basically last year.

15 Q. Can you see on this exhibit the central facility
16 where all the gathering lines converge?

17 A. Yes, sir, that's located in the southern portion
18 of the unit, roughly at Township 19 North and Range 34
19 East.

20 Q. And as I understand it, the red outline shows the
21 entire modeled area; is that right?

22 A. That's correct.

23 Q. Do you have an exhibit which shows the results of
24 the history matching part of your computer model study?

25 A. Yes, sir, that's Amoco's next exhibit, Exhibit

1 Number 14.

2 Q. If you would, please, turn your attention to
3 Exhibit 14 and tell us what that shows.

4 A. Well, I'm going to preface my discussion of this
5 exhibit by mentioning, as Mr. Wacker already previously
6 mentioned, that this is almost a perfect reservoir for
7 modeling. That is, there's no major changes over
8 relatively short distances in permeability. And that makes
9 modeling much, much easier.

10 Now, the format of this exhibit on the left side,
11 or the Y axis, is in MCF per day. It goes from zero to
12 roughly 500 million cubic feet per day.

13 And on the bottom is a chronological scale that
14 starts January 31st, 1984, and goes through January 31st,
15 1996. It's divided into annual increments. Each one of
16 those little dashed lines there represents a year.

17 Now, the green line is the actual producing rate.
18 As you can see, production from the unit started in 1984,
19 and the current rate is roughly 400 million cubic feet of
20 gas per day.

21 The red squares are the results of our history
22 match, our modeling results. And you can see I've
23 represented four per year, so this is the result of a
24 history matching at the end of each quarter. They almost
25 -- It's almost a perfect history match, again, due to the

1 outstanding pay quality in this reservoir.

2 Q. And what does the excellent nature of this
3 history match tell you about the quality and reliability of
4 your model?

5 A. Well, an excellent history match such as this
6 tells us two things.

7 One, that our reservoir and gathering system
8 parameters that we've input into the model are almost
9 exactly as they appear in nature, in the field, and hence
10 we've got almost a perfect history match here.

11 The second thing this near-perfect history match
12 tells us is that it will be an excellent tool for
13 predicting future performance under various scenarios.

14 And that's the key. You want an excellent
15 history match to know that your model is accurately
16 calibrated, so it's an excellent tool to predict
17 performance in the future.

18 Q. And this history match is for the entire modeled
19 area; is that right?

20 A. That's correct.

21 Q. Do you have history matches that you'll show for
22 individual wells, based on the final model run?

23 A. Yes, sir, and those individual wells, as Mr.
24 Johnson mentioned, are located -- they're shown as green
25 dots on Amoco's Exhibit Number 2.

1 Q. Okay, but we're not going to get to those just
2 yet?

3 A. A little later, yes, sir.

4 Q. Now, did this model resolve any of the questions
5 you originally posed on Exhibit 11 about the criteria for
6 infill drilling?

7 A. Yes, sir, it did.

8 Q. And what did the model help you determine?

9 A. Okay, as I showed on Exhibit Number 1, we wanted
10 to use the model to identify any areas, if they do exist,
11 where we can anticipate an increase in ultimate recovery
12 through infill drilling, and the model did provide that
13 answer.

14 We also wanted to know within those areas, if we
15 could increase ultimate recovery, could we expect a
16 respectable producing rate to make the economics
17 attractive? And it did tell us that answer.

18 Q. Do you have an exhibit that shows the increase of
19 ultimate recovery, the model predicted, as we place infill
20 drilling wells at various locations within the unit?

21 A. Yes, sir.

22 Q. And that's Exhibit 15?

23 A. Yes, sir, Exhibit Number 15.

24 Q. All right, let's turn our attention to what we've
25 previously marked as Exhibit Number 15, then, and if you

1 would, please tell us what that shows.

2 A. Okay. Amoco's Exhibit Number 15 is a two-part
3 exhibit. On the left side I've shown a model grid
4 configuration. This is simply just four sections. I've
5 located an existing well in location number G in each one
6 of these sections.

7 On the right side is the same four-section grid,
8 except that I've added contours that were generated by the
9 model to show the anticipated increase in ultimate recovery
10 as one locates an infill well and as he moves about these
11 existing units with the existing wells.

12 Intuitively, you feel like that if you locate a
13 well, geometrically, the maximum distance away from
14 existing wells, that that's where you could locate a well
15 and gain or achieve a maximum increase in ultimate
16 recovery.

17 That may or may not be true. That would only
18 occur if all the characteristics of each of the four wells
19 were identical.

20 So the model helped us locate where we should
21 drill an infill well, if one was warranted, the area where
22 we would get the maximum increase in ultimate recovery --
23 in this case, and you can see this, at the exact geometric
24 center of a fivespot.

25 However, the thing where the model proved the

1 most benefit was telling us how much incremental recovery
2 we could expect, because intuitively you put your well
3 where there are no wells, at least within the fivespot.
4 But the amount of incremental recovery, that's the key
5 question that the model was used to answer.

6 Q. And Exhibit 15, as I understand it, the
7 concentric circles radiating areally from the wellbores are
8 percents of increased recovery; is that right?

9 A. That's correct. And of course, it's zero where
10 existing wells were, and it moves out to a maximum of seven
11 percent incremental increased recovery.

12 Q. And as to the 13 unorthodox locations involved in
13 this Application, have you determined how much additional
14 CO₂ we will recover by drilling wells at unorthodox versus
15 orthodox locations?

16 A. Yes, sir, on the average. But the incremental
17 increase in recovery moving from an orthodox location -- I
18 mean -- yeah, from an orthodox location to an unorthodox
19 location will exceed one BCF of gas.

20 Q. So for these 13 proposed wells, no less than 13
21 BCF of additional reserves will be recovered by drilling at
22 unorthodox locations versus orthodox locations?

23 A. That's correct.

24 Q. If you would, now, turning back to your Exhibit
25 11 -- or our Exhibit 11, explain how you went about high-

1 grading the drilling opportunities to come up with the
2 location that we've proposed here today.

3 A. Okay, I took Amoco's Exhibit Number 11 and I used
4 the format from it and expanded it a little bit, and that's
5 included as Amoco's Exhibit Number 16, which shows how we
6 used our high-grading method to select a given number of
7 wells for our initial infill drilling program, 14 wells in
8 this case. Looking at Exhibit Number 16, it also -- it
9 duplicates the criteria that we examine.

10 We of course wanted to locate an area where
11 infill drilling can maximize ultimate recovery. We first
12 placed wells in every undrilled location between existing
13 wells, so that would be roughly 350 wells. Then we
14 surrounded the existing developed area with a halo of wells
15 to evaluate those at the same time.

16 After looking at item number 2, after our model
17 was run in the predictive mode, we sorted the wells by the
18 highest predicted producing rate, which also means the
19 cumulative gas production, for the first three years.

20 The predictive mode, by the way, started January
21 1st, 1996.

22 From that group or from that high-grading, we
23 selected the top 35 candidates, based on the highest three-
24 year producing rate or cumulative. With those 35 wells, we
25 further simulated their anticipated performance for a total

1 of 20 years. Then we sorted those again by the highest
2 cumulative.

3 At this point we've got a sort of 35 wells, when
4 we move down into our second criteria, which is to locate
5 an area where the infill drilling will result in wells with
6 relatively high deliverabilities. We selected those. As I
7 mentioned, our computer model will tell us how much each
8 well will produce if it were drilled. And we eliminated
9 all of those wells in that 35-well group with a producing
10 capability less than 2.5 million cubic feet per day.

11 Now, with those wells that we had left, we
12 entered into our third criteria, which was to minimize the
13 cost of drilling, completing and hooking up the wells, by
14 locating them near existing surface facilities. We
15 eliminated the wells which were not located close to the
16 existing gathering lines, as well as those that are located
17 near existing gathering lines but the gathering lines were
18 relatively loaded. This was --

19 Q. What was the result -- Sorry. What was the
20 result of that analysis?

21 A. This resulted -- when we started out with -- We
22 started out with 450 potential candidates. Those were
23 high-graded first to 35, and then we ended up under this
24 particular program, 14 potential infill drilling locations.

25 Q. And are all of those wells located at unorthodox

1 locations?

2 A. No, sir, 13 are located at unorthodox locations
3 and one at an orthodox location.

4 Q. And if you would, please, describe for us why
5 unorthodox versus orthodox locations are necessary here.

6 A. Well, the rules require that wells be 1650 feet
7 from the unit boundary or the section boundary, as well as
8 330 feet from any quarter-section boundary.

9 Of course, all of these wells, as we saw on the
10 previous exhibit, Exhibit Number 15, will be located very
11 close to the corner of each section. Therefore, they will
12 be unorthodox locations, all of them but one of them,
13 anyway.

14 Q. And so to drill that close to the section
15 boundary, we needed an exception to the spacing rule for
16 the Bravo Dome unit?

17 A. That's correct.

18 Q. All right. Then let's turn back to Exhibit 15.
19 Which groups of wells are represented by the recovery
20 profile distribution shown on this exhibit?

21 A. This -- Amoco's Exhibit 15, the production
22 profile that's indicated on the right-hand side is
23 represented -- It's an average of the 14 proposed
24 development wells we are recommending be drilled.

25 The range actually was from 6.5 -- In the maximum

1 increase in ultimate recovery area, was from 6.5 to 7.5
2 percent. And here I've shown the average as 7 percent.

3 Q. And as I understand it, our Exhibit 2, again,
4 shows where these 14 wells are located in the areas with
5 the green box, the brown box, and the yellow box; is that
6 right?

7 A. That's correct.

8 Q. Okay. And if you would just describe for the
9 Examiner how Exhibit 2 fits into your analysis of the
10 infill drilling program.

11 A. Okay, I'm looking at Exhibit 2 that was
12 introduced by Mr. Culpepper, and again it shows the three
13 basic areas where we would like to infill drill.

14 To the north -- and we refer to it as the Leg 9
15 area -- the northern Leg 9 area, you see six wells outlined
16 in green. The southern Leg 9 area, which is the middle
17 area outlined in dark brown, there's four wells. That's
18 the southern Leg 9 area. Then down in the south is the Leg
19 6 and 7 area, outlined in yellow. There's four wells down
20 there.

21 Now, the three green dots Mr. Johnson -- I'm glad
22 he was able to see those. I was worried because the dots
23 were kind of small. But what I wanted also to show was the
24 results of individual well history matching within the
25 vicinity of these three areas.

1 Now, of course the Leg 9 area was developed in
2 1995, so I didn't have a whole lot of history versus
3 computer performance to compare, so I moved over here into
4 Leg 9, and that's -- I'm going to be comparing the
5 northwesternmost green dot with that in the upper Leg 9
6 area wells.

7 Moving on down is the middle green dot which we
8 consider representative of those in the southern Leg 9
9 area. Then down in the south you see a green dot just to
10 the north of the yellowed area that I'll be showing the
11 actual performance versus the history match on that
12 individual well.

13 Q. And as I understand it now, our next three
14 exhibits, which we've labeled 17A, -B and -C, are
15 individual history matches for those three wells
16 represented by those three green dots?

17 A. That's correct.

18 Q. Let's go ahead, then, and turn our attention to
19 what's been previously marked as Exhibit 17A, and if you
20 would tell us what that shows.

21 A. Okay, Amoco's Exhibit 17A, the format is the same
22 as I previously showed for the fieldwide model matching,
23 and that was Exhibit Number 14. This particular exhibit is
24 a lot of Well Number 081G, which is located in Township 21
25 North, Range 33 East. It was the well located up in the

1 upper northwest portion of the unit that's offsetting the
2 upper Leg 9 area.

3 And it shows -- Now, this is in the Leg 8 area,
4 and as I mentioned earlier in my testimony, it first came
5 on production in 1993. And you can see a relatively good
6 history match in this case, so we feel like, of course, in
7 this area our model is calibrated.

8 I would like to point out, now, that the green is
9 the actual production, and the red diamonds is the model
10 prediction. You can see in the early days -- and this will
11 occur on the next two exhibits also -- that the model
12 predicted flow rates as less than that which actually
13 occurred in the early stages of production from the well.
14 That's because the model grid is quite large in relation to
15 a wellbore.

16 The model grid size is 1320 feet in each
17 direction, and of course a wellbore may be a foot by a
18 foot. Therefore what's happening in actual production,
19 there's some flush production that's occurring -- that
20 occurs in actual conditions that's not able to be seen by
21 the model with its larger grid. So it takes a little while
22 for the model to catch up, and that's what you see there.

23 But after that, after the model does catch it, it
24 appears to be an excellent history match.

25 Now, moving on to Amoco's Exhibit Number 17B,

1 this is the green dot that was in the middle of the
2 previous exhibit, and this is for Well Number 161G, which
3 is located in Township 20 North, Range 34 East, and this
4 represents a history match in the area of wells in the
5 lower Leg 9 area. Again, the model had to catch up due to
6 flush production when it came on in late 1984, but other
7 than that it's an excellent history match that we saw, even
8 on a fieldwide basis. But this is for the individual well.

9 Now, moving on down to a well representative of
10 the southern area, the Leg 6, Leg 7 area, I have on Exhibit
11 Number 17C the model versus actual for well Number 041G,
12 which is located in Township 18 North, Range 35 East. And
13 you can see again an excellent history match on an
14 individual basis, as we saw with the fieldwide model.

15 Q. Now, when you couple the excellent history match
16 you have on a well basis with the match you had on a
17 fieldwide basis, did it lead you to any conclusion about
18 the model?

19 A. Uh-huh.

20 Q. And what's that?

21 A. I mean, yes, sir.

22 Based on my examination of these individual
23 history matches -- and I looked at several more besides
24 these -- it indicates that again it really confirms that
25 the model is a very good tool to predict performance under

1 various scenarios.

2 Q. Now, does your simulator model the reservoir
3 pressures in the inter-well area in both the calibration
4 and predictive mode?

5 A. Yes.

6 Q. And does the model allow you to generate isobar
7 maps to show that?

8 A. Yes, sir, it does. We can generate isobar maps
9 or pressure maps, pressure distribution maps, really
10 anytime in the life cycle, whether I'm in the history mode
11 or the predictive mode.

12 Q. Do those isobar maps help you in your examination
13 for the reason these 14 wells were selected during the
14 high-grading process?

15 A. Yes, sir. Again, one can intuitively feel like
16 the best place to locate them is in the geometric center of
17 a fivespot, and we see relatively large incremental
18 recoveries for some of our wells, but we would like to
19 generate pressure isobar maps to help us feel comfortable
20 that the reason these wells are indicated by the computer
21 is that these are located in wells that are of relatively
22 high pressure, and that's where the isobar maps become an
23 essential tool.

24 Q. And our next two exhibits, 18 and 19, which
25 actually also are our last two exhibits, as I understand

1 it, show those isobar maps and how they helped you
2 determine locations for these wells?

3 A. That's correct.

4 Q. If you would, then, please, turn your attention
5 to Exhibit 18 and tell us what that shows.

6 A. Amoco's Exhibit Number 18 is also a two-part
7 exhibit. On the left side I've shown the Leg 9 area wells.
8 Those scribed by the green at the top are the six wells
9 located in the upper Leg 9. Those scribed by the brown
10 toward the lower right is the lower Leg 9 area.

11 Now, over on the right-hand side I've shown the
12 same map, except the green and the brown scribing is
13 removed. However, it's the isobar map.

14 Now, this isobar map occurs after a particular
15 point in time. It occurs after a year in the predictive
16 mode of our computer run, and it shows pressures after the
17 wells were shut in for 24 hours. And you can see that
18 where there are existing wells, there are pressure sinks.

19 The exceptions are located down toward the lower
20 right-hand portion. You see Well Number 181K and 191F, and
21 these wells are located in the Leg 9 area, and they are
22 relatively new, and the effects of their withdrawals have
23 not yet been seen, is what the deal is there. The other
24 wells have been on a little longer than these.

25 You can also see the location of our proposed

1 infill drilling wells, and they are located exclusively in
2 areas of higher pressure.

3 Now, this tells us two things. One, that they're
4 located where we can expect to maximize our increase in
5 ultimate recovery, as well as a maximum incremental
6 producing rate, as compared to other areas.

7 Q. Now, if we turn our attention to what's been
8 previously marked as Exhibit 19, as I understand it, this
9 shows the four wells in the more southern part of the unit.
10 Tell us, please, what that shows.

11 A. That's correct. Amoco's Exhibit Number 19 is a
12 format similar as our Exhibit Number 18. It shows the four
13 wells in the southern area. Looking at the left, the wells
14 that are located to -- the three wells on the -- to the
15 right in the square are the unorthodox-location wells, with
16 proposed Well Number 072K in the upper left is the well
17 that's at an orthodox location.

18 Now, on the right-hand side, again, is the isobar
19 map. Now, the isobars terminate at this northwest-
20 southeast trending fault that Mr. Wacker referred to
21 earlier. All of the pressures in all of those wells on the
22 north side -- or on the northeast side of that fault are
23 roughly 200 pounds, so you can see that this fault in this
24 area is definitely sealing.

25 Now, the drilling opportunities down here in the

1 south in this particular area are different than those in
2 the north in that there's two reasons these wells will
3 recover incremental reserves.

4 The first, of course, they're located in the
5 inter-well area, between wells.

6 The second, as Mr. Wacker pointed out, is,
7 they're in an area between the existing wells and this
8 sealing fault where there's relatively high pressure and
9 there's a lot of reserves out there that are yet to be
10 recovered or could not be recovered with existing wells.

11 Q. So as to the northern area, there's an
12 engineering basis for the need for the wells at unorthodox
13 locations. As to the southern area there is both an
14 engineering and geologic reason for the wells?

15 A. That's correct.

16 Q. To summarize, then, have you made a comparison of
17 whether wells at unorthodox locations will recover more
18 reserves than wells at orthodox locations?

19 A. Yes, sir, we have.

20 Q. And what was the result of that analysis?

21 A. The results are that the wells at unorthodox
22 locations will recover typically at least a BCF of reserves
23 more than if that well were located at an orthodox
24 location.

25 Q. So the bottom line is, if we don't get permission

1 to drill these 13 wells in this Application at unorthodox
2 locations, something more than 13 BCF of CO₂ will be left
3 in the ground?

4 A. That's correct.

5 Q. In your opinion, will the drilling of the
6 proposed wells at the proposed locations increase the
7 ultimate recovery of CO₂ from the unit and prevent the
8 waste of CO₂?

9 A. Yes.

10 Q. Now, on our Exhibit 18, the isobar exhibit, there
11 appear to be other additional areas for possible infill
12 drilling; is that right?

13 A. That's correct.

14 Q. At this time do we intend to drill in those
15 areas?

16 A. We're looking at those. As you recall in my
17 testimony, we initially high-graded our list of 450
18 candidates down to 35. We selected the top 14 candidates,
19 but that left 21, at least in that group, that we're still
20 looking at. Many of those are located in this Leg 9 area,
21 in these higher-pressure areas not indicated by existing
22 wells.

23 We were definitely -- We decided on these first
24 14, and now we're looking at our second grouping and
25 anticipate one or more wells might come out of that

1 evaluation.

2 Q. Would the analysis and justification for those
3 wells be the same as what we presented here today?

4 A. Yes, sir, it would be almost identical.

5 Q. Does Amoco request that future applications be
6 granted administratively, pursuant to Rule 104 or that an
7 administrative procedure be established by this order?

8 A. Yes, sir.

9 MR. GALLO: At this time I have no further
10 questions for Mr. Griffin.

11 Oh, and I'd move to admit our Exhibits 11 through
12 19.

13 EXAMINER CATANACH: Exhibits 11 through 19 will
14 be admitted as evidence.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Griffin, once you have all your isobar data
18 and everything else, how do you specifically go about
19 locating a well at any given location?

20 A. The computer actually picks it out, down to
21 roughly a quarter section, down to a 40-acre location,
22 because we can move those wells around in that model, we
23 can place them anywhere we want to in each section.

24 And the computer model tells us, of course -- We
25 output these isobar maps to kind of give us a hint as to

1 where we ought to place them in our model in the first
2 place, and that's in the area of the highest pressures.

3 Q. By fine-tuning these locations, will you recover
4 more reserves in the infill well?

5 A. Yes. Incremental recoverable?

6 Q. Yes.

7 A. Yes, sir. Yes, sir.

8 Q. Do you know what the range of recoveries on these
9 infill wells is?

10 A. Not exactly. I know they're greater than a BCF
11 though.

12 MR. GALLO: I would point out, Mr. Catanach, that
13 one of the reasons we didn't give a little bit more
14 specificity is because a lot of proprietary information
15 goes into ultimate recoveries and reservoir -- ultimate
16 production from the reservoir, a lot of things that we
17 don't really want to have in the public record, and so
18 that's why we used just the -- we used a number that we
19 felt could substantiate the wells, and didn't get more
20 specific on that.

21 Q. (By Examiner Catanach) Basically, you're saying
22 that drilling at these unorthodox locations, you'll recover
23 1 BCF more than if you had to drill at standard locations?

24 A. That's correct.

25 Q. That's what you're using to justify it?

1 A. Yes, sir.

2 MR. GALLO: And I hope we were clear in saying
3 that that was the bare minimum, that we were going to be at
4 least one BCF and that it would be something more than
5 that.

6 EXAMINER CATANACH: Right.

7 Q. (By Examiner Catanach) Now, as I understand it,
8 these infill wells will recover gas that will not be
9 recovered by the existing wells?

10 A. That's correct.

11 Q. It's not just accelerating it, but it's --

12 A. It's incremental recovery, a BCF, yes, sir.

13 Q. There's a possible 21 more wells that you might
14 drill eventually?

15 A. I hate to place a number on it. I just used that
16 as an example to show that there were 35 that passed our
17 original criteria. It could be more than 21. It could be
18 less, of course. It could be more than 21. But we got to
19 this point with this criteria that we set out, 14 of these
20 wells popped out of our analysis. Now, we start looking at
21 the next group in detail.

22 Q. Is it possible that your criteria could change?

23 A. Yes, sir.

24 Q. Is that dependent on, say, economics?

25 A. Yes, sir.

1 Q. The model that you guys ran, is it two separate
2 models, or is it one that incorporates surface and
3 downhole?

4 A. It's two separate models. The downhole model
5 models through the reservoir down to the wellhead --

6 Q. Uh-huh.

7 A. -- and then the other one models just surface
8 conditions. But we marry them where they run together,
9 basically, because once those models -- We calibrated them
10 separately, and once they were calibrated they run
11 together, they run predicting the flow from point A to the
12 bottomhole at point B, up to the wellhead at point C, on up
13 through our gathering system and all the junctures and
14 everything, D and E, to the tailgate of that central
15 facility at point F.

16 Q. So your history match on Exhibit 14, that
17 represents both models combined?

18 A. Running together, yes, sir. That's one reason
19 why it takes so long, 36 hours plus.

20 EXAMINATION

21 BY MR. JOHNSON:

22 Q. Mr. Griffin, these areas up here on Leg 9 --

23 A. Yes, sir.

24 Q. -- the bulk of those wells up there are
25 tubingless completions. Did that have any real big effect

1 on your modeling when you did that, and especially when you
2 started making these isobar maps?

3 A. Whether they're tubingless completion or cased
4 and perforated -- I mean, however they're completed, the
5 thing that we adjusted to fine-tune that model was the
6 effective wellbore diameter. And therefore that took into
7 consideration whatever completion technique that we used,
8 regardless of whether that well was -- had a drill diameter
9 of 4 1/2 inches or a drill diameter of 7 5/8.

10 Q. That's built into your modeling?

11 A. Yes, sir. Yes, sir.

12 Q. These 14 wells you're proposing to drill, are
13 they all going to be fiberglass casing, or do you know?

14 A. I don't know. I don't know that.

15 Q. Are these 14 locations specifically designed to
16 achieve better recovery in the long run, or is there
17 something going on at the plant, with the demand for gas --

18 A. There is a demand --

19 Q. -- justifying these locations?

20 A. There is a demand for the gas that we anticipate
21 to be incrementally produced from these wells.

22 The primary driving force was to increase
23 ultimate recovery, but of course we married, you know, both
24 criteria. If we could increase ultimate recovery and had
25 no demand for the gas, you know, then no pay out. So they

1 have to be -- It has to be a simultaneous circumstance.

2 (Off the record)

3 EXAMINER CATANACH: I believe that's all we have.

4 MR. CARR: That concludes our presentation in
5 this case, Mr. Catanach.

6 EXAMINER CATANACH: Okay, just -- The amended
7 Application reflects the current correct locations for the
8 13 wells; is that correct?

9 MR. CARR: Yes, sir, it does.

10 EXAMINER CATANACH: Okay. And I think we've
11 agreed that there's no need to readvertise the case or
12 continue it?

13 MR. CARR: It would be exactly the same as what
14 we've gone out with before.

15 EXAMINER CATANACH: Yeah. Okay, I think that's
16 all we have in the case.

17 If there's nothing further, Case Number 11,497
18 will be taken under advisement.

19 (Thereupon, these proceedings were concluded at
20 2:40 p.m.)

21 I do hereby certify that the foregoing is
22 a complete record of the proceedings in
23 the Examiner hearing of Case No. 11497,
24 heard by me on March 21 1996.

25 David R. Catanach, Examiner
Oil Conservation Division

