

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )  
APPLICATION OF PECOS PRODUCTION COMPANY )  
FOR APPROVAL OF A COOPERATIVE WATERFLOOD )  
PROJECT AND TO QUALIFY THE PROJECT FOR )  
THE RECOVERED OIL TAX RATE, EDDY COUNTY, )  
NEW MEXICO )

CASE NO. 13,377

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

November 18th, 2004

Santa Fe, New Mexico

2004 DEC 2 AM 11 43

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, November 18th, 2004, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

November 18th, 2004  
 Examiner Hearing  
 CASE NO. 13,377

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESS:	
<u>AARON DOVER</u> (Engineer)	
Direct Examination by Mr. Bruce	6
Examination by Examiner Catanach	20
YATES WITNESS:	
<u>DAVID F. BONEAU</u> (Engineer)	
Direct Examination by Mr. Carr	24
Cross-Examination by Mr. Bruce	34
Examination by Examiner Catanach	36
REPORTER'S CERTIFICATE	39

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	19
Exhibit 2	8	19
Exhibit 3	13	19
Exhibit 4	14	19
Exhibit 5	15	19
Exhibit 6	19	19
Exhibit 7	35	38

\* \* \*

Yates	Identified	Admitted
Exhibit 1	26	34
Exhibit 2	26	34
Exhibit 3	27	34
Exhibit 4	27	34
Exhibit 5	28	34
Exhibit 6	29	34
Exhibit 7	29	34
Exhibit 8	30	34
Exhibit 9	30	34
Exhibit 10	31	34

\* \* \*

## A P P E A R A N C E S

FOR THE APPLICANT and  
DEVON ENERGY PRODUCTION COMPANY, L.P.:

JAMES G. BRUCE  
Attorney at Law  
P.O. Box 1056  
Santa Fe, New Mexico 87504

FOR YATES PETROLEUM CORPORATION:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR  
110 N. Guadalupe, Suite 1  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: WILLIAM F. CARR

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2 9:56 a.m.:

3  
4           EXAMINER CATANACH: And at this time I'll call  
5 Case 13,377, the Application of Pecos Production Company  
6 for approval of a cooperative waterflood project and to  
7 qualify the project for the recovered oil tax rate, Eddy  
8 County, New Mexico.

9           Call for appearances.

10          MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,  
11 representing the Applicant.

12          I have one witness.

13          EXAMINER CATANACH: Additional appearances?

14          MR. CARR: May it please the Examiner, my name is  
15 William F. Carr with the Santa Fe office of Holland and  
16 Hart, L.L.P.

17          We represent Yates Petroleum Corporation in this  
18 matter, and I have one witness.

19          EXAMINER CATANACH: Any additional appearances?

20          MR. BRUCE: Mr. Examiner, I am also entering an  
21 appearance for Devon Energy Production Company, L.P., which  
22 does not object to the Application.

23          EXAMINER CATANACH: Okay, will the witnesses  
24 please stand to be sworn in?

25          (Thereupon, the witnesses were sworn.)



1 EXAMINER CATANACH: Any objection?

2 MR. CARR: No objection.

3 EXAMINER CATANACH: Mr. Dover is so qualified.

4 Q. (By Mr. Bruce) Mr. Dover, could you identify  
5 Exhibit 1 for the Examiner and just briefly discuss what  
6 Pecos seeks in this case?

7 A. Yes, it is a land map of the leases, the Benson  
8 Federal and the State 2 leases, which Pecos operates, and  
9 -- showing the wells in the Queen that we want to convert  
10 to injection, to begin a waterflood project there, and we  
11 have the half-mile radii drawn around each proposed  
12 injector.

13 Q. Okay. And on this map, Section 2 is a single  
14 state lease; is that correct?

15 A. Yes, that's correct.

16 Q. And then the northeast quarter of Section 3 is  
17 one federal lease?

18 A. Yes.

19 Q. And the southeast quarter of Section 3 is a  
20 separate federal lease?

21 A. That's correct.

22 Q. And these leases are identified in the  
23 Application; is that correct?

24 A. Yes.

25 Q. The five wells that you seek to convert to

1 injection are the darker-circled wells within the green  
2 outlined area?

3 A. Yes, they are.

4 Q. There's one other well that's highlighted on here  
5 in yellow. What is that well?

6 A. That is the Yates Benson Number 4 well, I  
7 believe, the well that Yates is appearing to object to our  
8 Application on behalf of Yates.

9 Q. Okay. Now, Pecos is not seeking to unitize this  
10 area, is it?

11 A. No.

12 Q. It will operate these leases just as a  
13 cooperative waterflood?

14 A. That's correct.

15 Q. And each lease will be attributed just its actual  
16 production?

17 A. That's correct.

18 Q. And the pool into which you are objecting --  
19 injecting -- is the Shugart Pool?

20 A. Shugart, yes, Yates-Seven Rivers-Queen-Grayburg.

21 Q. Okay. Let's move on to your Exhibit 2. What is  
22 that exhibit?

23 A. A copy of the Form C-108 and all the accompanying  
24 documentation for the answers to the questions on the form.

25 Q. Okay. Now, pages have been numbered, Mr. Dover,

1 I think pages 3 --

2 A. Yes, beginning at page 3 we have --

3 Q. -- 3 through 17?

4 A. Three through 17 would be the injection well data  
5 sheets and their accompanying wellbore diagrams for the  
6 wells that we propose to convert to injection, indicating  
7 casing sizes, depths and cement tops on all of the wells  
8 that we propose to convert to injection. Those wells are  
9 all cemented with volumes circulating to the surface, with  
10 the exception of one well, which is the last one on page  
11 15, 16 and 17, on which a cement top was noted at 60 feet  
12 from the surface, still adequate to protect all of the  
13 zones necessary to protect, but --

14 Q. It just wasn't quite to the surface?

15 A. Just didn't quite make it to the surface.

16 Q. Okay. But in your opinion all of these wells  
17 have been adequately cased and cemented?

18 A. Yes, and they're relatively new in their vintage,  
19 1990s-vintage wells.

20 Q. Okay, moving on to Exhibit 18, which is basically  
21 the same -- or page 18, which is the same as Exhibit 1,  
22 behind that is a tabulation of data on all wells in the  
23 area of review?

24 A. Yes, we have researched the area within the area  
25 of review and listed those wells in tabular form with their

1 locations and API numbers, status, and then the casing  
2 information and cement information, their perforations and  
3 dates of completion.

4 I might make note of one well in the area, the  
5 Benson 3 Federal Number 1, which is in Section 3, operated  
6 by Gruy Petroleum, a gas well. That well, according to our  
7 research and records, has cement behind the 5-1/2 casing to  
8 a depth of -- the cement top is at 9000 feet, as indicated  
9 by a temperature survey.

10 Q. Okay.

11 A. And so that would leave the Queen without cement,  
12 is the note -- or the point that I wanted to make.

13 Q. Okay, and we'll address that again a little bit  
14 later --

15 A. Yes.

16 Q. -- will we not, Mr. Dover?

17 A. Yes.

18 Q. Other than that, were all of the wells in this  
19 area properly cased and cemented to prevent any movement of  
20 fluid between zones?

21 A. Yes, they were.

22 Q. And again, other than one or two of these wells,  
23 the wells in the area of review are fairly new wells, are  
24 they not?

25 A. Yes, they are recent wells, most in the 1990 --

1 late 1980s to mid-1990s vintage.

2 Q. Now, the well that Yates mentioned in its  
3 prehearing statement is not on this list because it is  
4 outside the area of review; is that correct?

5 A. That's correct, it is outside the area of review.

6 Q. Okay. Now, behind page 19 are several pages of  
7 diagrams of plugged and abandoned wells within the area of  
8 review. Have those all been properly plugged and  
9 abandoned?

10 A. Yes, they have, and you can see the wellbore  
11 diagrams which are of record for each well that was plugged  
12 in the area of review.

13 Q. Okay, so no additional work would need to be  
14 performed on those wells?

15 A. No.

16 Q. Let's move on to page 28, which is the injection  
17 summary. Could you just briefly go through that for the  
18 Examiner?

19 A. Yes, we are applying -- anticipating an average  
20 daily injection rate of 1000 barrels of water per day in  
21 our five injectors, with a maximum anticipated injection  
22 rate of maybe 2000. We are applying for a maximum  
23 injection pressure of 1500 p.s.i. and an average injection  
24 pressure of 1000 pounds.

25 Q. Now, with respect to the injection pressure,

1 Pecos does recognize that it will be limited initially to  
2 the .2-p.s.i.-per-foot limitation that the Division has; is  
3 that correct?

4 A. Yes, that's correct, and so we understand and  
5 recognize that in order to increase that, we would need to  
6 do some step-rate testing and prove the proper injection  
7 pressure needed to stay under the frac pressure.

8 Q. Okay. And what is the source of the water -- the  
9 injection water, that you will be using for this project?

10 A. We have -- of course, we have produced water  
11 there, Yates-Seven Rivers-Queen water, actually from the  
12 Queen, and we have spoken with SDX, who operates some wells  
13 to the north, about getting some water from them, and then  
14 also with Chi Energy, who operates some Delaware wells to  
15 the east of us in their Munchkin lease, about taking their  
16 produced water, and so those are the sources that we've  
17 been able to discuss at this point with operators in the  
18 area.

19 Q. And are pages 30 through 34 an analysis of water  
20 from various wells?

21 A. Yes, we've done an analysis of the produced water  
22 from our Benson and our State 2 leases and then also the  
23 Chi Delaware water. There is a little bit of calcium  
24 carbonate scale tendency indicated by these waters that we  
25 would need to treat with chemical. However, the mixing of

1 the two appears to be more favorable. The scaling tendency  
2 does decrease when the Queen water is mixed with the  
3 Delaware water.

4 Q. And based on this analysis, do you see any  
5 incompatibility between the injection water and the  
6 formation water?

7 A. No.

8 Q. And finally, with respect to this exhibit,  
9 approximately where is the nearest freshwater well?

10 A. We've done a research of the records we found,  
11 and we found a well about two miles north, drilled to 240  
12 feet, that supplies water for cattle, most likely coming  
13 from quarternary alluvium gravels, but we don't know of any  
14 freshwater underlying the injection interval.

15 Q. There aren't any wells in the State Engineer's  
16 records, in the project area?

17 A. No.

18 Q. Could you move on to your Exhibit 3 and discuss  
19 that for the Examiner?

20 A. Exhibit 3 is a type log showing the pay interval  
21 in the Queen, beginning at -- I've highlighted the pay  
22 strings. It's a compensated neutron lithodensity log  
23 indicating pay. I've highlighted over 18-percent porosity  
24 beginning at about 2940 feet, down to a depth of three  
25 thousand and approximately sixty feet.

1 Q. And let's move on to your Exhibit 4. What does  
2 that show?

3 A. Exhibit 4 is a structure map of the Queen pay in  
4 this area. We've highlighted the wells that are proposed  
5 to be converted to injection in yellow. We're showing the  
6 crest of the structure centering around our State 2 Number  
7 4 well, which is the type-log well, and then we're  
8 indicating a cross-section, which is the next exhibit,  
9 marked on that map, running from the State Benson -- I mean  
10 the Benson Federal 3 well on the east end of the cross-  
11 section, across Section 3 over to the Yates well to the  
12 west.

13 Q. Before we move on to the cross-section, does this  
14 map show that the project area is underlain by a relatively  
15 continuous Shugart reservoir?

16 A. Yes, it is. The Queen pay extends over to that  
17 line that we've got marked as an updip porosity loss, which  
18 sets up the trap for this field.

19 Q. Okay. And could you point out the producing --  
20 what you anticipate as the producing wells in this project?

21 A. The producing wells would be up in the far  
22 northeast, the State 2 lease, Well Numbers 2 and 3, and  
23 then moving to the center of the State 2 lease, the Number  
24 4, and then on the southeast edge of that the Number 6, and  
25 then the producer over on the Benson lease would be the

1 Number 3. And we also anticipate trying to re-enter the  
2 Number 7 well to put it on production.

3 Q. Let's move on to your cross-section, and maybe  
4 keep the structure map in front of you at the same time.  
5 Could you discuss what happens in the Shugart reservoir as  
6 you move to the west?

7 A. Yes, if you look on the cross-section, to the  
8 east again I have highlighted the pay section exceeding 18-  
9 percent porosity cutoff, and we have -- that is in the  
10 Benson 3 Federal Number 3 well on the east side of the  
11 cross-section.

12 As we move west, the next well is the Benson 3  
13 Federal Number 5, which is a dryhole. And there's just a  
14 small stringer in the bottom of that well, indicating  
15 porosity greater than 18 percent.

16 And then by the time we get to the Benson Deep  
17 Unit log, the porosity seems to have been greatly reduced  
18 throughout the section.

19 Q. Okay, so the Benson Deep Unit Number 4, that's  
20 the Yates well; is that correct?

21 A. Yes, that's correct.

22 Q. And so what you have is, you have the updip loss  
23 of porosity; is that correct?

24 A. Yes.

25 Q. And based on your review, does it appear that the

1 Yates well would be productive in the Shugart Pool?

2 A. No, it does not.

3 Q. Let's get back to this in a minute, but with  
4 respect to this project you've identified five injection  
5 wells, correct?

6 A. That's correct.

7 Q. And a potential of six producing wells?

8 A. Yes.

9 Q. What will be the cost, approximate cost, of the  
10 project?

11 A. We're estimating the cost of additional  
12 facilities at about \$500,000, and a total cost for the  
13 project, by the time we re-enter the wells and convert them  
14 to injection and lay some lines, in the neighborhood of a  
15 million dollars.

16 Q. What type of primary production was obtained from  
17 the Shugart Pool wells in the project area?

18 A. In total, between the two leases, it's  
19 approaching a half million barrels, and that's about an  
20 average of 50,000 barrels a well.

21 Q. Okay. And with this project, what type of  
22 recovery would you anticipate?

23 A. We would estimate that the secondary recovery  
24 potential would be on the order of a 1-to-1 secondary-to-  
25 primary ratio, so that would equate to another half million

1 barrels of secondary potential there.

2 Q. Okay. And based on what you've seen and your  
3 price estimate, would this be an economic prospect?

4 A. Yes, it would, and...

5 Q. And when would you anticipate commencing  
6 injection if the Division approves this project?

7 A. We would hope to get started in January of 2005,  
8 assuming all the necessary approval is received.

9 Q. Okay. Now, Yates has objected because it's --  
10 and I don't mean to put words into Yates' mouth, but  
11 because their well is not -- is open across the injection  
12 zone; is that correct?

13 A. Yes, no cement behind the Queen.

14 Q. Based on Pecos' proposal, do you believe that  
15 this is a problem, that the injection project is a problem  
16 with respect to Yates' well?

17 A. No, we don't, it's outside the review area, and  
18 as we've attempted to show, we think that it's not  
19 continuous in terms of pay interval, and we also think that  
20 the pressure sink that we will create in the producers will  
21 pull pressure to the east instead of to the west, which is  
22 the direction that their well lies.

23 Q. Okay. Would the same apply to the Benson 3  
24 Number 1 in the northwest quarter -- northeast -- northwest  
25 quarter, northeast quarter --

1 A. Yes, that's --

2 Q. -- of Section 3?

3 A. -- that is correct. We also think that that well  
4 is in the same position as the Yates well.

5 Q. Okay. So between the porosity pinchout and the  
6 pressure sink being in the opposite direction, you do not  
7 think that those wells are a problem?

8 A. I don't anticipate problems at all, no.

9 Q. Okay, and so you would request that no remedial  
10 work be required on the Benson 3 Number 1?

11 A. That's correct.

12 Q. One final matter. The Yates well, what zone is  
13 that currently completed in?

14 A. Currently in the Bone Springs.

15 Q. And what is the approximate production?

16 A. My records indicate that the well's making maybe  
17 a barrel and a half a day of oil, and there's no gas  
18 reported.

19 Q. In your opinion, is the granting of this  
20 Application in the interests of conservation and the  
21 prevention of waste?

22 A. Yes, it is.

23 Q. And were Exhibits -- Excuse me, one other matter.  
24 Were Exhibits 1 through 5 prepared by you or under your  
25 supervision --

1 A. Yes, they were.

2 Q. -- or compiled from company business records?

3 And finally, looking at Exhibit 6, Mr. Dover,  
4 were all pertinent offset operators or lessees notified of  
5 this Application?

6 A. Yes, they were, and --

7 Q. And does Exhibit A list all of those interest  
8 owners?

9 A. That's correct, and we have the proper  
10 notification and receipts there as well.

11 MR. BRUCE: Mr. Examiner, at this time I would  
12 move the admission of Pecos Exhibits 1 through 6.

13 MR. CARR: No objection.

14 EXAMINER CATANACH: Exhibits 1 through 6 will be  
15 admitted.

16 Q. (By Mr. Bruce) And one final matter, Mr. Dover.  
17 The surface of this land is state and federal land, is it  
18 not?

19 A. That's correct.

20 MR. BRUCE: Mr. Examiner, I did -- Exhibit 6 does  
21 not contain my -- through a mistake, does not contain my  
22 notice letter to the Land Office and to the BLM. I had a  
23 separate letter to them, and so I will need to submit that.

24 EXAMINER CATANACH: But they were notified?

25 MR. BRUCE: They were notified.

1 EXAMINER CATANACH: Okay, you can submit that  
2 later on.

3 Mr. Carr?

4 MR. CARR: No questions.

5 EXAMINER CATANACH: No questions, okay.

6 EXAMINATION

7 BY EXAMINER CATANACH:

8 Q. Mr. Dover, within the project area, is your  
9 company the only interest owner or...

10 A. Yes, within the project area we are the only  
11 owner.

12 Q. Okay, and that would be state and federal royalty  
13 under those two leases?

14 A. That's correct.

15 Q. Okay, and that production is going to be  
16 allocated just on a straight lease basis, on a well basis?

17 A. Yes, based on the production on each lease.

18 Q. Okay. The wells that you plan to convert to  
19 injection, are those currently producing wells?

20 A. Yes, they all are except for the State 2 Number  
21 7, which is a dryhole.

22 Q. Is that currently plugged?

23 A. It is.

24 Q. And has this reservoir basically been depleted as  
25 to primary production?

1           A.    Yes, it's very close to its primary life.  It's  
2 produced 95, 98 percent of its primary production.

3           Q.    Do you know what the current rate of production  
4 from the wells are?

5           A.    Oh, they're running around two barrels a day per  
6 well, there.

7           Q.    And this is the Shugart-Yates-Seven Rivers-Queen-  
8 Grayburg.  The Queen is the only producing formation --

9           A.    Yes, it is --

10          Q.    -- in this area?

11          A.    -- it's the only producing formation.  We've even  
12 tried some other zones in the Seven Rivers, but to no  
13 avail.

14          Q.    With regards to the State 2 Well Number 1 on page  
15 5 of your exhibit, would you guys have any problem with  
16 plugging back that well to a depth, maybe, of 3400 or 3500  
17 feet, setting a bridge plug or some other --

18          A.    No, I don't think so.

19          Q.    It would be open down to 4450 feet at the current  
20 time, correct?

21          A.    Right.  Yes, that's correct.  It was originally a  
22 deep well.  Did you say about 3400; is that --

23          Q.    Approximately --

24          A.    Yeah.

25          Q.    -- something like that.

1 A. I'll make a note.

2 Q. The Benson well is located in the northeast  
3 quarter of Section 3?

4 A. Which well, I'm sorry?

5 MR. BRUCE: Northwest quarter, northeast quarter  
6 of Section 3.

7 Q. (By Examiner Catanach) Northwest northeast.  
8 Okay. That's not shown on the -- that is the -- I'm sorry,  
9 who's the operator of that well?

10 A. Of which well?

11 Q. Of the Benson 3 Federal --

12 A. -- Number 1? That would be Gruy.

13 Q. Okay, and that is northeast northeast of Section  
14 3; is that correct? That's what you have on the area of  
15 review.

16 A. No, northwest northeast.

17 Q. Northwest, northeast okay.

18 A. Yeah, the Number 2 is the northeast northeast,  
19 and then if you go one line below that, the Number 1 is the  
20 northwest of the northeast.

21 Q. Okay. Did you look at the log for that well, Mr.  
22 Dover?

23 A. Yes, and unfortunately I don't have a copy of  
24 that log with me, but it is also in the updip pinchout  
25 region that we have identified. I'd be happy to submit it

1 later if somebody want -- if you'd like to see it.

2 Q. Yeah, I think that might be helpful and --

3 A. Yeah.

4 Q. -- might help you guys out, but you found the  
5 same thing in that well as you did in the Yates well;  
6 there's just --

7 A. Yes.

8 Q. -- not any porosity in that zone?

9 A. Right.

10 Q. So you don't think that any water would  
11 ultimately reach either of those two wells?

12 A. No, and again not only for that reason but also  
13 because of the pressure sink direction.

14 Q. Now, your Well Number 2 up in the northeast  
15 northeast would be the closest well to that well, your  
16 proposed injection well?

17 A. Yes, uh-huh, proposed injector there. And we  
18 have offset production to the south and to the east of that  
19 well.

20 EXAMINER CATANACH: Okay, I think that's all I  
21 have of this witness.

22 MR. BRUCE: I have no further questions of the  
23 witness.

24 EXAMINER CATANACH: Okay, this witness may be  
25 excused.

1 MR. CARR: May it please the Examiner, at this  
2 time we call David Boneau.

3 DAVID F. BONEAU,  
4 the witness herein, after having been first duly sworn upon  
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. CARR:

8 Q. Would you state your name for the record, please?

9 A. David Francis Boneau.

10 Q. Dr. Boneau, where do you reside?

11 A. Artesia, New Mexico.

12 Q. By whom are you employed?

13 A. Yates Petroleum Corporation.

14 Q. And what is your position with Yates Petroleum  
15 Corporation?

16 A. I'm an engineer with Yates Petroleum Corporation,  
17 my title is engineering manager.

18 Q. Have you previously testified before the New  
19 Mexico Oil Conservation Division?

20 A. Yes, sir, I have.

21 Q. At the time of that testimony, were your  
22 credentials as an expert in petroleum engineering accepted  
23 and made a matter of record?

24 A. Yes, they were.

25 Q. Have you reviewed the Application filed in this

1 case by Pecos Production Company?

2 A. Yes, I have done that.

3 Q. Have you made a study of the area that is  
4 involved in this Application?

5 A. Yes, sir.

6 Q. Are you prepared to share the results of your  
7 work with the Examiner?

8 A. But of course.

9 MR. CARR: We tender Dr. Boneau as an expert in  
10 petroleum engineering.

11 EXAMINER CATANACH: Any objection?

12 MR. BRUCE: I don't think so.

13 EXAMINER CATANACH: Dr. Boneau is so qualified.

14 Q. (By Mr. Carr) Would you briefly state what Yates  
15 seeks with this Application, or in this case?

16 A. Yes, we have not applied. There's a problem, and  
17 we think that it needs some solution, deny injection into  
18 some wells, or set up some kind of way to monitor or some  
19 kind of a sink to the west. I think it will become -- you  
20 know, we want to describe the problem, and then I think the  
21 solution will pop up or not pop up to the Examiner, we'll  
22 see.

23 Q. Is it Yates' position that the injection as  
24 proposed by Pecos Production Company may pose a threat or  
25 damage offsetting Yates properties?

1           A.    Yes, that is our concern.

2           Q.    Let's go to the exhibits you've prepared.  Let's  
3 start with Yates Exhibit Number 1, and would you first  
4 explain what that shows and then review it for Mr.  
5 Catanach?

6           A.    Yes, surely.  Exhibit Number 1 is a hand-drawn  
7 map of Sections 2 and 3, and it shows in the red arrows the  
8 five wells that Pecos Production is proposing to use as  
9 injectors.  It shows in black circles the wells that are  
10 now producing from the Queen.  Some of those are going to  
11 be converted to injectors.

12                    In Section 3, of interest, the Yates well is  
13 marked AAZ.  It's in F of Section 3, and then the  
14 discussion will, as it has already, lead to the discussion  
15 of the Benson 3 Number 1 well, which is in B, and it's  
16 shown with a gas symbol and just a number 1.

17                    So Exhibit 1 is an orientation map.

18           Q.    And what is Exhibit 2?

19           A.    Exhibit 2 is the same map, with some numbers  
20 under the black circles.  Those numbers indicate cumulative  
21 production through July, the last point for which I have  
22 numbers.  The first number is thousands of barrels of oil  
23 produced, the second number is thousand barrels of water  
24 produced.  And so the Benson 3 Number 2 has made 27,000  
25 barrels of oil and 27,000 barrels of water, et cetera.  The

1 good wells are kind of down the middle, as the Examiner can  
2 see.

3 The highest production is from the State 2 Number  
4 3. It has produced 123,000 barrels of oil.

5 Q. If we look at the map, there is no Queen  
6 production shown from the Yates AAZ well; is that right?

7 A. There is no Queen production from --

8 Q. It's --

9 A. -- the Yates well.

10 Q. -- completed in what interval?

11 A. It's completed -- It was drilled as a deep well,  
12 it produced very, very well from the Strawn, as did the  
13 Benson 3 Number 1, and it is now producing from the Leo-  
14 Bone Spring South Pool.

15 Q. Let's go to Exhibit 3. What is this?

16 A. Exhibit 3 is again the same map, and it simply  
17 shows under each well the current rate -- actually, it's  
18 the July, 2004, rate, but the current rate of the wells.  
19 And as the previous engineer testified, the rates are two  
20 to one to a fraction of a barrel of oil per day.

21 So the wells really are near the end of their  
22 primary production and an improved recovery project has  
23 come -- time for an improved recovery project has come.

24 Q. Would you identify now and review Exhibit 4?

25 A. Exhibit 4 is a tabular listing of what I think of

1 as basic information about the wells in Section 2 and 3,  
2 all the wells in Section 2 and 3. The Yates well is item  
3 15. It was drilled as Benson Deep Unit Number 4. It's not  
4 a unit well in the Bone Spring, and so it was renamed  
5 Benson Deep AAZ Number 1, and that is the current name, but  
6 it's item 15. And like I say, it was drilled in 1984,  
7 completed in the Benson-Strawn, produced 250,000 barrels  
8 and a BCF of gas out of the Strawn, was recompleted in 1993  
9 to the Bone Spring and has been producing from the Bone  
10 Spring since 1993.

11 And anyway, so the Examiner needs to hear about  
12 our well, but if there are questions about any other wells,  
13 there's a chance the information is on this page, but we're  
14 not going to read every line, surely.

15 Q. Let's go to Yates Exhibit Number 5, the map, and  
16 could you explain what the circles on that map show?

17 A. Yes, Exhibit Number 5 actually has three pages  
18 but they're very, very similar.

19 Page 1, it's a Midland map of the area with a  
20 half-mile circle around the Benson 3 Number 6, which is one  
21 of the injection wells, and also a two-mile circle. So it  
22 shows both areas of review I've talked about in the C-108,  
23 and it shows that the Yates well is just a little bit  
24 outside the half-mile circle and very much inside the two-  
25 mile circle.

1 Q. Let's look for a minute at the Benson Deep AAZ  
2 Well Number 1, and I'd ask you to refer to Exhibit Number 6  
3 and review this for Mr. Catanach.

4 A. Okay, Exhibit 6 is wellbore sketch of the Yates  
5 well, the Benson -- what I'm -- well, the well name at the  
6 top has a mistake in it, which -- it's either the Benson  
7 Deep Number 4 or the Benson AAZ Federal Number 1, but it's  
8 the Yates well.

9 Like I say, it was drilled in 1984. It has  
10 13-3/8-inch casing shallow at 350 feet cemented to the  
11 surface, 9-5/8-inch casing at 1900 feet cemented to the  
12 surface, and drilled to a TD of 12,116, run 4-1/2-inch  
13 casing, we ran a DV tool to try to bring the cement up  
14 fairly far, and the top of the cement is at 6000 feet, but  
15 there's an interval from 1900 feet to 6000 feet with no  
16 cement, and the Queen is approximately 3000 feet, so there  
17 is no cement across the Queen.

18 Q. Okay. What is Exhibit Number 7?

19 A. Exhibit Number 7 may not -- Well, Exhibit Number  
20 7 shows that the casing program for our well was originally  
21 scheduled to have intermediate casing down to 3300 feet,  
22 and pretty much at the last minute it was changed to bigger  
23 casing, down to 1900 feet, and Exhibit 7 is the piece of  
24 paper showing that that was approved. And as you heard,  
25 the Meridian-Gruy other deep well nearby has exactly the

1 same casing program as ours, and so it's just to confirm  
2 that the casing program was done as legally approved by the  
3 BLM.

4 Q. Let's go to the production plot for the Benson  
5 Deep AAZ Well Number 1, Exhibit Number 8. Review that,  
6 please.

7 A. Exhibit 8 is a decline curve, a production plot  
8 for the Bone Spring in the Yates well, and as you heard,  
9 it's been producing since 1993, it started out as a 10- or  
10 20-barrel-a-day well, and it is now a 2-barrel-a-day well.  
11 It makes two barrels a day, it makes about \$1000 to \$1500 a  
12 month for us. It's an economic well, but it's a 2-barrel-  
13 a-day well.

14 Q. Now we've got a log comparison, Exhibit Number 9.  
15 What does this show? And identify the two wells for us.

16 A. Surely. Exhibit 9, I think, starts to be  
17 important. Exhibit 9 simply compares, shows side by side  
18 the logs in the Queen interval of two wells. The well on  
19 the left is the Yates well, Benson Deep AAZ Number 1. And  
20 the well on the right is actually about a mile away; it's  
21 the Pecos Production State 2 Number 7, in K of Section 2.  
22 And that is the well that Pecos Production is proposing as  
23 an injector. It is not now a producer, but they're  
24 proposing it as an injector.

25 My point is to simply show side by side the

1 porosity in the Queen in these two wells, and I think it's  
2 obvious to everyone, but it looks to me like the Queen in  
3 our well is of the same quality as the Queen in the  
4 proposed injector, the State 2 Number 7. Our well actually  
5 has 17- or 18-percent porosity in one of those zones.

6           Anyway, the Queen in our well is comparable to  
7 the Queen that they're going to inject to in the State 2  
8 Number 7.

9           Q. All right. Let's go now to the cross-section,  
10 Yates Exhibit Number 10, review the trace for the cross-  
11 section and then the data on this exhibit.

12           A. Exhibit Number 10 is another hand-drawn cross-  
13 section, and down in the left corner I show the trace of  
14 the cross-section from A to A'. It starts at the State 2  
15 Number 3 well, which is the best oil producer in the field,  
16 and proceeds west to the Benson 3 Number 2, our proposed  
17 injector, through the Deep Well Benson 3 Number 1, and then  
18 to our well.

19           And if you look above -- it's a structural cross-  
20 section, and so the -- it's pretty darn flat, actually, but  
21 it shows that the Yates well is not very much above -- or  
22 it's not above at all the injection well, the Benson 3  
23 Number 2.

24           And also I've marked in red porosity, and the  
25 well on the right, the best well in the field, has the best

1 porosity, solid red, tall porosity. But the other three  
2 wells to the west are relatively comparable. And again, my  
3 point is that it does look, at least sort of coming from  
4 the northwest towards our -- from the northeast towards our  
5 well, that the Queen is pretty consistent, from the  
6 injector at the Benson 3 Number 2 through the Benson 3  
7 Number 1 and to our well. It looks to us like there is  
8 Queen sand in a consistent manner through that portion of  
9 the reservoir.

10 And so we're concerned that especially injection  
11 into the Benson 3 Number 2 could proceed through this Queen  
12 sand to our well.

13 Q. When you look at this data, do you see the updip  
14 loss of porosity in the Queen that sets up a trap as shown  
15 on Pecos Production Company's Exhibit Number 4?

16 A. I don't see that as being very definitive, no.

17 Q. Summarize for us your conclusions.

18 A. Well, we think there's a possible problem. We  
19 think that just to blow it off is not the right answer,  
20 especially in view of the -- there's really two wells that  
21 are involved, and we just happen to look and check it all  
22 out. So we think that there is definitely a possible  
23 problem, and what could be done about it is deny injection  
24 into one or two of these wells and -- I mean, this project  
25 needs to be done, and so I -- you know, I don't totally

1 like that.

2 I think a better solution would be some kind of  
3 -- would be either a producer or a monitor well to the west  
4 of their lines of injectors, and the candidates are the  
5 Benson 3 Number 1 well or the Benson 3 Number 5 well,  
6 either as a monitor well or as a producer, would be a way  
7 better way to go.

8 But I think just to do nothing and --

9 Q. As it is now --

10 A. -- assume nothing will happen is just an ostrich-  
11 in-the-sand approach.

12 Q. As it is proposed now, you wouldn't know if there  
13 was a problem in the Benson Deep AAZ Number 1 well until it  
14 occurred; isn't that correct?

15 A. That's definitely correct, yes.

16 Q. And what you're recommending is that either  
17 injection in the Number 2 and Number 6 be -- the request  
18 for those be denied, or that something be proposed that  
19 would enable you to monitor the movement of injection  
20 fluids, fluids to the west of the injection wells in this  
21 cooperative flood?

22 A. Well, we think that Pecos Production would want  
23 to do that, just to know what they're doing, yes, sir.

24 Q. Were Exhibits 1 through 10 prepared by you?

25 A. They were prepared by me, yes, sir.

1 MR. CARR: May it please the Examiner, at this  
2 time I'd move the admission of Yates Exhibits 1 through 10.

3 EXAMINER CATANACH: Any objection?

4 MR. BRUCE: No objection.

5 EXAMINER CATANACH: Exhibits 1 through 10 will be  
6 admitted.

7 MR. CARR: That concludes my direct examination  
8 of Dr. Boneau.

9 EXAMINER CATANACH: Mr. Bruce?

10 CROSS-EXAMINATION

11 BY MR. BRUCE:

12 Q. Mr. Boneau, looking at your -- First of all, on  
13 your Benson AAZ Number 1, what type of life do you expect  
14 in that in the Bone Spring?

15 A. Five years or so. There are other zones we could  
16 test -- there are other zones on the logs in the Bone  
17 Spring, and the Yates way is test things that -- we would  
18 probably test something else. But the answer to your  
19 question is approximately five years in this zone.

20 Q. Has Yates ever proposed or attempted a completion  
21 in the Shugart Pool in this well?

22 A. No.

23 Q. One of your cross-sections had the State 2 Number  
24 7 well on it, together with the Benson AAZ.

25 A. Yeah, I think that's Number 9.

1 Q. And the State 2 Number 7 has no production from  
2 the Shugart Pool; is that correct?

3 A. That is correct, yes, sir.

4 Q. Okay. And then your other cross-section that  
5 goes across the northern portion of these sections, from  
6 the State 2 Number 3 and over to the Benson leases and  
7 production drops off quickly to the west, does it not?

8 A. In Exhibit 10, the well on the right-hand side  
9 made 123,000, the next well made 27,000, and the two wells  
10 on the left have made nothing from the Queen.

11 Q. I hand you what's been marked Pecos Exhibit  
12 Number 7, Dr. Boneau. Have you reviewed the file on the  
13 Benson Deep Unit Number 4, which is now the Benson AAZ  
14 Number 1?

15 A. Yes, sir.

16 Q. And is that the original drilling program that  
17 Yates -- or I should say that was proposed for the -- for  
18 that well by Yates?

19 A. Yeah, I think -- this is the piece of paper that  
20 preceded the piece of paper that I showed --

21 Q. Okay.

22 A. -- showing that change. So this was the -- like  
23 I said, the original plan, and what you would call at the  
24 last minute it was changed to the 1900-foot intermediate,  
25 and that was approved on the piece of paper that I showed.

1 Q. Okay. If the original plan had continued in  
2 effect, then there wouldn't be an issue --

3 A. There wouldn't -- we would not be here, we'd be  
4 fishing with Mr. Carr.

5 MR. CARR: I wish I was.

6 EXAMINER CATANACH: Me too.

7 (Laughter)

8 THE WITNESS: But the follow-on to that is, the  
9 other deep well has the same casing program we have, and --

10 MR. BRUCE: That's all I have, Mr. Examiner.

11 MR. CARR: I have no redirect.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. Dr. Boneau, do you anticipate any kind of attempt  
15 to complete the Queen in your well?

16 A. It's quite unlikely. With Yates you never say  
17 no, but it's unlikely, or it would be in the future, or it  
18 would be because some of their oil came to us or something.  
19 The logs don't look encouraging for a completion in that  
20 zone in our well.

21 Q. So it doesn't look like it would be productive  
22 in your well?

23 A. I don't -- My opinion would be that if we ran  
24 cement and all that and perforated it and opened it now,  
25 that we would get little or no Queen production, oil

1 production.

2 Q. But you believe that the formation is continuous  
3 enough to where water could reach your wellbore?

4 A. That's what it looks like to us, yes. And I've  
5 tried to -- well, especially Exhibit 10 is my attempt to  
6 show that.

7 Q. Is another alternative maybe to isolate that  
8 Queen zone in your wellbore by means of cement squeeze?

9 A. Theoretically that's possible. You would  
10 probably want to do that in the Number 1 well first, but  
11 yes.

12 Q. And if water did break through to your wellbore,  
13 would that put in danger Bone Spring reserves?

14 A. Yes.

15 Q. And at the time that happened, you would be  
16 forced to repair the well, or to try and shut off the water  
17 flow?

18 A. Yes.

19 EXAMINER CATANACH: I have nothing further.

20 MR. CARR: I have nothing further in this case.

21 MR. BRUCE: I have nothing further, Mr. Examiner.

22 EXAMINER CATANACH: Okay. Did you want to -- Is  
23 this an exhibit, Mr. Bruce?

24 MR. BRUCE: Yeah, could I submit that as Exhibit  
25 7?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. CARR: No objection.

EXAMINER CATANACH: Okay, Exhibit 7 will be admitted.

And there being nothing further, Case 13,377 will be taken under advisement.

(Thereupon, these proceedings were concluded at 10:50 a.m.)

\* \* \*

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 13377 heard by me on November 18, 2008  
David R. Catanch Examiner  
Oil Conservation Division


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
 COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL November 27th, 2004.



STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 16th, 2006