

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF MEWBOURNE OIL COMPANY)
FOR COMPULSORY POOLING, LEA COUNTY,)
NEW MEXICO)

CASE NO. 13,359

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

October 21st, 2004

Santa Fe, New Mexico

2004 NOV 4 AM 11 55

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, October 21st, 2004, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

October 21st, 2004
 Examiner Hearing
 CASE NO. 13,359

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESS:	
<u>STEVEN J. SMITH</u> (Landman)	
Direct Examination by Mr. Bruce	6
Voir Dire Examination by Mr. Hall	7
Direct Examination (Resumed) by Mr. Bruce	9
Cross-Examination by Mr. Hall	31
Cross-Examination by Mr. Kellahin	74
Redirect Examination by Mr. Bruce	81
Further Examination by Mr. Kellahin	84
Recross-Examination by Mr. Hall	85
REPORTER'S CERTIFICATE	89

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	9	31
Exhibit 2	12	31
Exhibit 3	12	31
Exhibit 4	15	31
Exhibit 5A	19	31
Exhibit 5B	19	31
Exhibit 6	30	31

* * *

Finley	Identified	Admitted
Exhibit 1	44	87

* * *

A P P E A R A N C E S

FOR THE APPLICANT:

JAMES G. BRUCE
Attorney at Law
P.O. Box 1056
Santa Fe, New Mexico 87504

FOR JAMES D. FINLEY and FINLEY RESOURCES, INC.:

MILLER, STRATVERT P.A.
150 Washington
Suite 300
Santa Fe, New Mexico 87501
By: J. SCOTT HALL

FOR CHESAPEAKE OPERATING, INC.:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 9:00 a.m.:

3 EXAMINER STOGNER: Okay, let's go back on the
4 record. At this time I'll call Case Number 13,359. This
5 is the Application of Mewbourne Oil Company for compulsory
6 pooling, Lea County, New Mexico.

7 Call for appearances.

8 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
9 representing the Applicant. I have one witness.

10 EXAMINER STOGNER: Other appearances?

11 MR. HALL: Mr. Examiner, Scott Hall, Miller
12 Stratvert, PA, Santa Fe, appearing on behalf of James D.
13 Finley and Finley Resources, Incorporated. I may have one
14 witness this morning.

15 EXAMINER STOGNER: That's Finley Resources?

16 MR. HALL: Yes, F-i-n-l-e-y.

17 EXAMINER STOGNER: Inc.

18 MR. HALL: Incorporated, yes.

19 EXAMINER STOGNER: Any other appearances?

20 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
21 the Santa Fe law firm of Kellahin and Kellahin. I'm
22 appearing this morning on behalf of Chesapeake Operating,
23 Inc. I have no witnesses.

24 EXAMINER STOGNER: Other appearances?

25 At this time I'd like both witnesses, or the

1 witness and the potential witness, to stand to be sworn at
2 this time.

3 (Thereupon, the witnesses were sworn.)

4 EXAMINER STOGNER: Is there need for opening
5 remarks, comments at this time?

6 MR. BRUCE: I wasn't going to make one.

7 MR. HALL: No.

8 EXAMINER STOGNER: Mr. Kellahin?

9 MR. KELLAHIN: No, sir.

10 EXAMINER STOGNER: Okay, then we'll get right to
11 it.

12 STEVEN J. SMITH,

13 the witness herein, after having been first duly sworn upon
14 his oath, was examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. BRUCE:

17 Q. Would you please state your name and city of
18 residence for the record?

19 A. Steven James Smith, Midland, Texas.

20 Q. Who do you work for and in what capacity?

21 A. Mewbourne Oil Company, and I am a senior landman.

22 Q. Have you previously testified before the
23 Division?

24 A. Yes, I have.

25 Q. And were your credentials as an expert petroleum

1 landman accepted as a matter of record?

2 A. Yes, they were.

3 Q. And are you familiar with the land matters
4 involved in this case?

5 A. Yes, I am.

6 MR. BRUCE: Mr. Examiner, I'd tender Mr. Smith as
7 an expert petroleum landman.

8 EXAMINER STOGNER: Any objection?

9 MR. HALL: If I might briefly voir dire the
10 witness on one point.

11 EXAMINER STOGNER: Voir dire away.

12 VOIR DIRE EXAMINATION

13 BY MR. HALL:

14 Q. Mr. Smith, the Application filed in this case
15 indicates that you're going to be asking the Division's
16 Examiner to issue an order that incorporates cost
17 adjustment provisions from the COPAS bulletin.

18 My question to you is, are you going to render
19 testimony, and specifically opinion testimony, about the
20 fairness and reasonableness of the cost allocations between
21 the upper zones and the lower zones, pursuant to the COPAS
22 bulletin?

23 A. It's my understanding that we were not asking to
24 incorporate the cost allocation formula into the order. It
25 was offered as part of an effort to allow Finley to

1 participate in the well on a cost-adjusted basis. I was
2 anticipating that the Commission would issue the order in
3 whatever fashion they chose to.

4 Q. Do you anticipate you'll be called on to opine
5 about the fairness of the accounting provisions, the
6 accounting adjustments, from your proposed allocation
7 formula?

8 A. The fairness, yes, I believe so.

9 Q. And do you have any specific background in
10 petroleum accounting?

11 A. No.

12 MR. HALL: Mr. Examiner, we don't object to Mr.
13 Finley's [sic] qualification as an expert petroleum
14 landman. We don't believe he's qualified to opine about
15 the fairness and reasonableness of accounting matters that
16 I believe will come up in this hearing. So with that
17 caveat, we have no objection to his qualification.

18 EXAMINER STOGNER: So noted. Mr. Bruce, anything
19 further?

20 MR. BRUCE: Not really, Mr. Examiner. I'd rather
21 present the testimony, and if Mr. Hall has some objections
22 at that time he could make them and you could issue a
23 ruling at that time.

24 EXAMINER STOGNER: Okay. Mr. Kellahin, do you
25 have any comments?

1 MR. KELLAHIN: No, sir.

2 EXAMINER STOGNER: Okay, please continue. And,
3 I'm sorry, before we continue, Mr. Smith is so qualified as
4 an expert landman.

5 DIRECT EXAMINATION (Resumed)

6 BY MR. BRUCE:

7 Q. Mr. Smith, could you identify Exhibit 1 and
8 describe briefly what Mewbourne seeks in this Application?

9 A. Exhibit 1 is a photocopy of a Midland map. I
10 have shown the proposed proration unit for our proposed
11 well, being the north half of Section 9. I've color-coded
12 and numbered it to show the tracts as they appear on the
13 tract ownership on the next page.

14 The red dot in the southeast corner of the
15 northeast quarter is the proposed location of our well, and
16 at the time when we were preparing this we were still
17 dealing with the potential to force pool Chesapeake.

18 I went ahead and showed a well on a proration
19 unit that Chesapeake operates in the southwestern portion
20 of Section 3, in which they have recently completed a
21 Morrow well, and it's my understanding that it is awaiting
22 connection to pipeline.

23 Q. What is the well's -- your proposed well's
24 footage location?

25 A. The location of our proposed well is 1980 from

1 the north and 660 from the east of Section 9, and we
2 propose to drill it to a depth of 12,500 feet to adequately
3 test the Morrow formation.

4 Q. Now, besides pooling the north half or 320-acre
5 zone, is Mewbourne also seeking to pool the northeast
6 quarter and/or the southeast quarter, northeast quarter,
7 for 160-acre and 40-acre zones?

8 A. Yes, we are, we seek to pool the southeast,
9 northeast quarter, for any and all formations developed on
10 40 acres, including the Undesignated Osudo-Wolfcamp and the
11 Undesignated Osudo-Strawn Pool; as to the northeast quarter
12 we seek to pool any and all formations pooled on 160 acres,
13 including the Undesignated South Osuda-Wolfcamp Gas; and
14 then as to the north-half 320 we seek any and all
15 formations pooled on 320 acres, including the Undesignated
16 South Osudo-Morrow Gas Pool.

17 Q. Now, could you turn to page 2 of Exhibit 1 and
18 briefly discuss the interest ownership in the well units?

19 A. Yes, this is a breakdown of the north half. We
20 begin with Tract 1, which is a representation of the
21 ownership of the northeast quarter. From surface to 10,000
22 feet Mewbourne Oil Company has ownership of 3.125 percent
23 interest, and James D. Finley is the record owner of 96.875
24 percent to that depth.

25 As to depths below 10,000 feet, Mewbourne owns

1 100, subject to a farmout from Apache.

2 The northwest quarter, being Tract 2 on the map,
3 is at all depths owned by Chesapeake Oil -- Operating,
4 Inc., 100 percent. I took the liberty to show what a
5 pooled north-half unit ownership would be, surface to
6 10,000 and depths below 10,000.

7 Q. Okay, so as to, first, the 10,000-foot cutoff,
8 approximately what have you been told as to what that depth
9 cutoff is?

10 A. It would approximately be the base of the Bone
11 Spring, top of the Wolfcamp, but it could be slightly off.

12 Q. Okay.

13 A. We could have part of the Wolfcamp above that.

14 Q. Now, insofar as pooling Chesapeake, they own 100
15 percent of the northwest quarter, so you would only be
16 pooling Chesapeake -- and we'll get to that in a minute --
17 as to 320-acre zones?

18 A. That's correct.

19 Q. And you would be pooling Finley as to 40- and
20 160-acre units, and 320-acre units if there are any in at
21 this depth?

22 A. That would be correct.

23 Q. Okay. Let's move on to your efforts to obtain
24 the voluntary joinder of these parties, and I would refer
25 you first to Exhibit 2. Could you briefly discuss the

1 status of your negotiations with Chesapeake?

2 A. Exhibit 2 would be the total written
3 correspondence with Chesapeake and with notations as to my
4 phone conversations. Bottom line, we proposed the well to
5 Chesapeake on July 23rd of '04 and offered them an
6 opportunity to term-assign if they chose not to.

7 They informed us that they would participate, and
8 on August 27th I sent them an operating agreement, being a
9 1989 model form JOA, for their review and consideration.
10 As of yesterday, my office informed me that Chesapeake has
11 signed the JOA and has fax-signed signature pages. I don't
12 have them, but I would anticipate that there's a very high
13 degree of -- I mean, that we've got a verbal agreement, and
14 we simply need to finalize the paperwork, and at that point
15 in time Chesapeake will be dismissed.

16 Q. And when you receive all the final documents from
17 Chesapeake, you will dismiss them from this pooling
18 Application?

19 A. Absolutely.

20 Q. Let's move on to your discussions with Finley.
21 What is Exhibit 3?

22 A. Exhibit 3 is both written pieces of
23 correspondence that I've had with Finley, Mr. Finley's
24 office, and I've to some degree noted dates and
25 conversations that I've had and voice messages that I've

1 had with Mr. Finley's office.

2 The July 21st letter of '04 proposes the well to
3 Mr. Finley, proposes the formation of a working interest
4 unit in which their interest would be pooled across the
5 entirety of the 320 as to depths from surface to 10,000
6 feet. We offer to do that based on a cost allocation
7 formula that is attached. This cost allocation formula is
8 one that has been used. Actually the first time I saw it
9 was a Yates Petroleum effort, it --

10 Q. Was it a force pooling case or just voluntary --

11 A. Just a voluntary agreement. It may have involved
12 force-pooling, but ultimately all parties ultimately agreed
13 to participate. It's been used by our office several times
14 before with various companies. I'm aware that Pecos
15 Petroleum in Midland has used this form. It, I believe,
16 after having read the COPAS Bulletin 2, which is the
17 guideline provided by COPAS -- as the COPAS Bulletin 2
18 states, there's no one way to do it, but this would fall
19 within the guidelines of reasonableness as a proposed
20 methodology.

21 The next letter was written after some verbal
22 discussions that Mr. Scott Ramsey and I had. Mr. Ramsey
23 informed me after some conversations on the phone that they
24 counterproposed to my July 21st letter that they wanted to
25 trade part of their shallow rights for part of our deep

1 rights. And after discussing with my management, due to
2 the fact that we have a relatively -- you know, only start
3 off with half subject to a farmout, we felt that it was not
4 prudent to trade interest in the primary objective for
5 interest in a potential bailout zone.

6 So my letter of August 18th was written after
7 receiving Mr. Finley's proposal, and in that letter I
8 offered another series of options to Finley Resources to
9 entice them to either participate or grant an assignment,
10 and in that -- in this letter we offered to let them stay
11 whole in the northeast quarter, not pool, and so again,
12 subject to a cost allocation formula that -- the one
13 previously sent.

14 And in the alternative, if they chose not to, we
15 offered to take a term assignment of the wellbore only.
16 Basically, we would have rights in that well only at an 80-
17 percent NRI, allowing them to keep an override and to pay
18 them \$150 an acre for their -- which was the equivalent of
19 -- per acre, that we offered for the full section.

20 There have been numerous efforts to engage Finley
21 Resources in negotiations over the phone. I've left
22 numerous messages, I've had two or three conversations with
23 Mr. Ramsey, never in substance about my proposal, other
24 than their counterproposal to trade shallow for deep. And
25 we finally arrived at the point where we were staring at

1 our anticipated spud date of mid-December and needed to
2 move forward with this proposal. We've got a farmout that
3 has a limited shelf-life, and we got on the docket.

4 Q. So besides the two letters, there have been
5 several phone calls, and you've called and left messages?

6 A. Yes, we've traded messages. We've had, I think,
7 two or three actual conversations. Again, friendly, but
8 there were never any other counterproposals from Finley,
9 other than their proposal to trade shallow for deep, and no
10 objection was made at any time in those conversations about
11 our proposal.

12 Q. Okay. In your opinion, has Mewbourne made a
13 good-faith effort to obtain the voluntary joinder of the
14 interest owners in the well?

15 A. I do.

16 Q. Would you identify Exhibit 4 for the Examiner and
17 discuss the cost of the proposed well?

18 A. Exhibit 4 is a photocopy of the AFE that we sent
19 out to both Chesapeake and Finley Resources. This happens
20 to be the one that Chesapeake has signed. Again, it is a
21 little-over-\$1.5-million-drill-and-complete AFE. We've
22 broken it down. Dryhole cost would be \$943,800, completed
23 is \$567,900.

24 Q. Is this cost in line with the cost of other wells
25 drilled to this depth in this area of --

1 A. It is.

2 Q. -- Lea County?

3 A. It is. With increasing costs and steel costs, it
4 is just an estimate, but we think it is certainly
5 reasonable as of the date that it was issued.

6 Q. Okay, and we'll get just in -- I'd like to finish
7 up a couple more questions, Mr. Smith, and then we'll get
8 to the highlighted portions of this AFE.

9 A. Sure.

10 Q. Does Mewbourne request that it be designated
11 operator of the proposed well?

12 A. We do.

13 Q. Do you have a recommendation for the amounts
14 which Mewbourne should be paid for supervision and
15 administrative expenses?

16 A. Well, in light of the fact that I believe we've
17 reached agreement with Chesapeake and that really the only
18 issue here now is pooling shallower depths, I would
19 recommend that the overhead rate for the shallower interval
20 be \$5000 drilling and \$500 producing.

21 Q. And would these amounts be equivalent to those
22 normally charged by Mewbourne and other operators in this
23 area for wells of this depth?

24 A. At 10,000 feet, yes.

25 Q. Okay. And would you request that the overhead

1 rates be adjusted periodically as provided by the COPAS
2 accounting procedure?

3 A. Yes, I would.

4 Q. And does Mewbourne request a maximum cost-plus-
5 200-percent risk charge on a nonconsenting owner?

6 A. We do.

7 Q. Let's go back to your Exhibit 4, Mr. Smith, and
8 talk a little bit more about the cost allocation formula.
9 And now, this isn't a -- this cost allocation formula that
10 you proposed to Finley was not something set forth by
11 COPAS?

12 A. No, the COPAS Bulletin 2 clearly states that cost
13 adjustments can fit within a very large realm. The
14 bulletin is written to address any number of potential
15 reasons for cost allocation, and they offer up a multitude
16 of options and methodologies to arrive at adjustments, and
17 in their conclusion they clearly state that it is up to the
18 parties to negotiate a reasonable and acceptable cost
19 allocation formula.

20 This was presented simply because it's been used.
21 It's been accepted by industry, and I've used it very
22 recently in a well with Hudson Oil Company, Mariah
23 Resources, Brothers Production Company, and I'm aware that
24 Pecos Production Company in Midland has also used it, and I
25 know that the basis of it came from a form that I copied

1 from Yates Petroleum.

2 Q. Okay, so you are familiar with the Yates form.
3 And did you personally revise this --

4 A. I did -- Yates's form was one page, and it was
5 not as in detail, it didn't attempt to address all of the
6 potential scenarios. And you can't address all of them,
7 because any time you do, you know you'll find one that
8 comes back at you.

9 But I expanded it to try to cover all realistic
10 potential occurrences in a situation where you have an
11 ownership variance at depth, and you're drilling a deep
12 well.

13 And again, the whole purpose of the cost
14 allocation formula is to afford an owner in the shallow
15 rights the opportunity to participate in a well on a cost-
16 reduced basis at such times as the well is either initially
17 -- subsequently completed above the ownership-change
18 interval.

19 Q. Okay, and so the outlines of this cost allocation
20 formula weren't just done for this case?

21 A. No, this form has been used multiple times --

22 Q. Okay.

23 A. -- multiple situations.

24 Q. And as part of your job, you are required to
25 negotiate items like this with other interest owners?

1 A. Yes, I am.

2 Q. Let's -- Just so the Hearing Examiner can see how
3 this would work in practice, I'd refer you to Exhibit 4 and
4 your Exhibits 5A and 5B, and did you personally prepare
5 Exhibits 5A and 5B?

6 A. I did, that was prepared in an XCel spreadsheet.
7 It's in table form and it's designed to, in essence, walk
8 you through the effect of what will happen in the various
9 scenarios that might -- most likely will occur in a well
10 where you're drilling a deep zone and have an ownership
11 change above that zone.

12 Q. Okay, why don't you just first go through Exhibit
13 5A and compare that -- or discuss it, and then perhaps
14 discuss for the Examiner the meanings of the highlighted
15 items on the AFE?

16 A. Okay. First I'll just say, 5A represents -- I
17 did 5A and 5B to show the difference that would occur in
18 the two offers that I made Finley. The first offer was
19 that he would pool as to all depths within the 320. So 5A
20 represents cost allocations where the 320 acres is pooled
21 as to all depths.

22 And if you'd like, you might want to refer back
23 to cost allocation formula in the printed form, so that you
24 can see that it tracks.

25 In the cost allocation form and the printed form,

1 first thing you do is designate the shallow and deep units,
2 based upon the point at which ownership breaks. In this
3 case, it's -- surface to 10,000 would constitute the
4 shallow depth or interval 1, and depths below that would be
5 the deep unit, all depths below 10,000 feet.

6 In Scenario A in the cost allocation formula it's
7 very straightforward. If a well is drilled to the shallow
8 unit, everybody in the shallow unit just bears costs; it's
9 straight up. There are no allocations.

10 Situation B is, if the well is drilled to a deep
11 unit and the initial casingpoint election provides for a
12 completion attempt in the deep unit, then the entire cost
13 of drilling the well is borne by the participants in the
14 deep unit. In other words, the shallow interest owner is
15 at no risk, bears no cost and stays in that position until
16 such times as the well is recompleted uphole. And at that
17 point he's given an election under a JOA to come in or out.

18 Q. Okay, and let me just re-emphasize. So in other
19 words, in this case, assuming Mewbourne drills this well,
20 Chesapeake joins in and it's drilled to and completed in
21 the Morrow, 100-percent of the well costs will be paid by
22 Mewbourne and Chesapeake?

23 A. Correct, and Finley would be at no exposure.
24 They would also have the benefit of getting -- if they
25 signed the JOA and joined in the well, they would get

1 copies of logs, well information, the daily drilling
2 reports. In other words, they would get a free look at the
3 well at no cost.

4 Q. Okay, go ahead.

5 A. Under B, first thing you do is that you allocate,
6 under B1 --

7 Q. When you say B, you're talking about item B on
8 the --

9 A. Item B on the --

10 Q. -- cost allocation --

11 A. -- formula.

12 Q. -- formula?

13 A. The first step is to deal with the drilling
14 costs, and in drilling costs, you're going to allocate them
15 based upon a footage basis. And those costs that are
16 allocated are only those that are not attributable to one
17 zone or the other; i.e., if you took cores in a deep zone,
18 the shallow unit owner would never be asked to pay any of
19 that. It's borne solely by the deep units. If you run
20 specific logs for the deep, those costs are not allocated.

21 So under the formula -- and if you want to, you
22 can look back and forth. The first thing you do is
23 allocate cost to interval 1 based upon footage. In this
24 case we're talking about a 12,500-foot well. The total --
25 if you add up all of the yellow costs on the AFE, they

1 total the -- to \$750,300. That is, as I've done, allocated
2 what I believe to be drilling costs.

3 Now, there's some hairsplitting there. You might
4 choose to allocate portions of these differently, but this
5 intended to be simply an example of how it might work if my
6 allocations were acceptable to all parties.

7 You allocate first by footage \$602,640 of the
8 \$753,000 to interval 1, based upon footage, and then
9 \$150,660 of the total to the deep. Under the formula, the
10 shallow participants, then, are only asked to pay half of
11 that amount. They're getting a discounted cost to drill
12 the shallow units, and the deep players pay the other half.

13 Then as to the deep participants, they pay 100
14 percent of the cost to go from the base of the deep --
15 shallow unit down. So when you allocate total costs,
16 \$301,320, really, is all that's borne by the participants
17 in the shallow unit, and \$451,980 are borne by the deep,
18 even though the deep only is 20 percent of the wellbore.

19 Moving on to completion costs, completion costs
20 are unique to a zone and not subject to allocations, so we
21 can -- that's straightforward, we can move on.

22 The rest of the costs that appear on the AFE that
23 are called allocate or downhole equipment, surface
24 equipment, on the example AFE I've color-coded again -- and
25 I would admit, there may be different -- some hairsplitting

1 to be done as to what portions might go one way or the
2 other.

3 But by way of example only, I've allocated
4 \$405,500, all of the costs colored in green as downhole
5 equipment, being pipe, sub pumps, surface casing,
6 production casing, tubing, et cetera. That is shared on a
7 footage basis, according to the formula. And first thing
8 you do, you've got -- if you assume you have 12,500 feet of
9 pipe in the ground and surface -- downhole equipment, you
10 simply take \$405,500, divide by 12,500, and it comes to
11 \$32.44 a foot.

12 Then you allocate to the intervals based on a
13 footage basis, and we've done it two-thirds to the shallow
14 unit, one-third to the deep unit. In this case the
15 justification for that is that we're talking about a
16 tangible that has salvage value. And as such, the parties
17 that end up owning it should have -- bear a higher cost.

18 Again, in the same methodology we did in the
19 drilling costs, we allocated downhole equipment based upon
20 the -- sharing the shallow between deep and shallow, and
21 you're sharing -- the deep is paid wholly by the deep. In
22 the final analysis, we allocate \$216,000 and change to the
23 shallow and \$189,000 and change to interval 2.

24 The part that's surface equipment we would
25 propose to allocate 50-50, and that's fairly

1 straightforward.

2 On page 3 of this exhibit, we've tried now to
3 show the effect of an election by Finley to come into a
4 wellbore after receiving an election on a pool basis.

5 The first one is assuming the well is completed
6 below 10,000 and is subsequently recompleted uphole,
7 interval 1 and interval 2 are simply allocations. The
8 third row there shows that the initial costs are borne
9 totally by Mewbourne Oil Company and Chesapeake Oil
10 Company, \$618,400 each.

11 MR. HALL: Excuse me, Mr. Examiner, where are we
12 exactly in the exhibit?

13 THE WITNESS: All right, on page 3 of the
14 table --

15 MR. HALL: 5A, 5B?

16 THE WITNESS: Exhibit 5A, correct, we've never
17 left 5A.

18 EXAMINER STOGNER: Okay, we're still on 5A.

19 THE WITNESS: The top half of that page is the
20 summary of what -- total cost allocations assuming the well
21 is drilled and completed below 10,000 and subsequently
22 recompleted above 10,000 after elections.

23 Interval 1 is allocated as the ownership in the
24 interval would be, on a pool basis. Interval 2, the costs
25 associated with that are allocated, again, based upon the

1 ownership in that interval. Initially the well is paid for
2 by the deep players. At such time as Finley chose to after
3 being given an election, if they chose to come in, they'd
4 have to pay \$269,597, which is a discounted amount of money
5 for their share of that wellbore.

6 Q. (By Mr. Bruce) So -- and let me -- First of all,
7 this is for, again, where Mewbourne, Chesapeake complete,
8 say, in the Morrow --

9 A. Correct.

10 Q. -- produce for a while, later come back uphole?

11 A. Right.

12 Q. They would pay 100 percent of the well costs
13 until such time as it's recompleted above 10,000 feet?

14 A. That's correct.

15 Q. And at that time Finley would be asked to pay
16 approximately \$270,000?

17 A. After being given an election to be in or out
18 under the JOA.

19 Q. And they would also have well information?

20 A. And they would have a free look, full knowledge
21 of what we're proposing to do, and a discounted opportunity
22 to join the well.

23 Q. And that \$270,000, \$269,000-plus figure, that
24 would -- that is not inflation-adjusted. So if the
25 election took place five, six, eight years from now,

1 they're still just paying that \$269,000 --

2 A. They're paying us back with dollars worth less
3 than what we used to pay for it, that's correct.

4 Q. And then the second half of that page 3 is --
5 Well, just briefly go over that.

6 A. Wait a minute. I am, okay, on 5 --

7 Q. -- A.

8 A. 5A, the next page, or the next table, deals with
9 the situation which would apply to the second offer which
10 we made to Finley where we offered to leave them whole in
11 their 160, they keep their full interest. And this would
12 be --

13 Q. Which exhibit are you --

14 A. I'm sorry, I'm on the wrong exhibit. This is on
15 the pool basis again, that's correct.

16 MR. HALL: You are still Exhibit 5A --

17 MR. BRUCE: 5A.

18 THE WITNESS: Correct.

19 MR. HALL: -- page 3?

20 THE WITNESS: I had the wrong one open myself,
21 and I've shifted and I'm now on the right one.

22 Q. (By Mr. Bruce) Yeah, 5A.

23 A. Interval 1 is allocated as shown, because it's
24 pooled. Interval 2 shows that Mewbourne and Chesapeake pay
25 their cost to the deep as shown. If all parties elected to

1 be in Chesapeake -- All right, I'm turned around.

2 Q. Again, this is -- what you're looking at is
3 drilling cost allocation --

4 A. No, no, no, here -- okay, now -- I know what it
5 is. This is complicated, but it needs to be clear. This
6 second summary deals with drilling costs only. It has no
7 part of pipe, surface, downhole equipment. I'll direct you
8 back to page 1. What we're talking about here is
9 allocating the \$753,300 that is the cost to drill to
10 casingpoint.

11 Q. Okay.

12 A. That's what this is.

13 Q. Okay.

14 A. Assuming we have now -- after we've drilled the
15 well to the deep, we have failed in the deep but we have
16 identified a prospective zone in the shallow unit that is
17 -- we desire to try to try to complete in, we would propose
18 the well to Finley, they would have the opportunity to come
19 in, and at that point an adjustment in the actual cost to
20 drill the well would be made, because Mewbourne drops in
21 this situation to a 1.5625 percent, we dropped from
22 \$618,400 to -- excuse me, \$84,000. But we're paying 11
23 percent of the cost to get there for a 1.5625.

24 Because Chesapeake has no variance on either side
25 of the equation, their costs stat the same. Finley would

1 be at that point asked to compensate Mewbourne for coming
2 in, they would be asked to pay \$291,904. That's 38.75
3 percent of the cost to drill the well for a 48.4375-percent
4 interest.

5 Q. Okay.

6 A. And then at that point -- it's a casingpoint
7 election, and you would be in or out for the cost of the
8 pipe and the completion effort and any surface equipment
9 that's installed.

10 Q. Okay. Now, Exhibit 5B is -- we won't go into as
11 much detail here, Mr. Smith, but this is the same type of
12 exhibit, but for the situation --

13 A. It's -- the difference is that under the scenario
14 where we've allowed -- or offered to allow Finley not to
15 pool across. It's basically the same summary. I'll point
16 out that the difference is, really, only above 10,000 feet.
17 But -- and if you compare the two tables, the cost to come
18 in after the well has already been completed at depth is
19 the same, but I will add that Chesapeake has an ownership
20 in some pipe in the ground, and they're going to leave the
21 wellbore at that point. They will no longer have an
22 interest in the wellbore if Finley decides to participate.

23 So in order for that to happen, we would have to
24 compensate Chesapeake for the salvage value, before
25 adjustments are done.

1 Q. Okay.

2 A. The difference, mainly, about this is, what
3 happens if Finley chose to come in -- after the well is
4 drilled to TD, there's nothing in the deep zone and we've
5 come uphole. In this case, because Chesapeake has no
6 interest, surface to 10,000, they'd be asked to pay none.
7 Mewbourne and Chesapeake own their rights from 10,000 to
8 whatever -- they pay their \$150,660. In the roll-up,
9 Mewbourne would pay \$94,163. That's 12.5 percent to drill
10 the well to casingpoint for 3.125-percent interest.
11 Chesapeake would pay 10 percent, because they've got to pay
12 something, they had to get there. And Finley would pay
13 77.5 percent, being \$583,000 for a 96-percent interest.

14 Again, the whole purpose of my proposed cost
15 allocation formula is to avoid -- or offer the owners in
16 the shallow an equitable means of participating in the
17 wellbore at such times as they have the opportunity to come
18 in on a cost-discounted basis.

19 It is a proposal, we've never heard anything back
20 from Finley, other than they wanted to trade shallow for
21 deep. As the COPAS bulletin clearly states, it's something
22 that parties have to negotiate, and we've offered.

23 Q. So assuming that Chesapeake joins in the well
24 voluntarily, which is what you anticipate, and Finley does
25 not, would Exhibit 5B be the situation we would be looking

1 at under a -- in essence, under a pooling order?

2 A. Correct, assuming that we -- that -- yes, if an
3 order is issued and --

4 Q. There would have to be some way to -- In other
5 words, what we're not looking at under a pooling order is,
6 assuming Mewbourne and Chesapeake drill a deep well --

7 A. Uh-huh.

8 Q. -- produce it or not in the deeper zones, and
9 then it's later recompleted uphole, Finley doesn't get a
10 wellbore for nothing?

11 A. That's correct, there's no reason they should be
12 able to step in for nothing.

13 Q. And --

14 A. We've taken all the risk.

15 Q. And Exhibit 5B would be, in your opinion, a
16 reasonable way to allocate those costs in the event a well
17 is at some point completed above 10,000 feet, which is
18 where Finley owns its interest?

19 A. It is our -- Yes, I believe it would be
20 reasonable. It's been one we've used in the past.

21 Q. Okay. Were Chesapeake and Finley notified of
22 this hearing?

23 A. Yes, they were.

24 Q. And is Exhibit 6 the notice Affidavit?

25 A. Yes, it is.

1 Q. In your opinion, is the granting of Mewbourne's
2 Application in the interests of conservation and the
3 prevention of waste?

4 A. Most certainly.

5 Q. And were Exhibits 1 through 6 prepared by you,
6 under your supervision or compiled from company business
7 records?

8 A. They were.

9 MR. BRUCE: Mr. Examiner, I'd move the admission
10 of Mewbourne Exhibits 1 through 6.

11 EXAMINER STOGNER: Any objection?

12 MR. HALL: No objection.

13 EXAMINER STOGNER: Exhibits 1 through 6 will be
14 admitted into evidence.

15 Thank you, Mr. Bruce.

16 MR. BRUCE: I pass the witness.

17 EXAMINER STOGNER: Mr. Hall?

18 CROSS-EXAMINATION

19 BY MR. HALL:

20 Q. Mr. Smith, would you explain to the Hearing
21 Examiner and I which provisions of which exhibit you're
22 asking the Examiner to incorporate in an order that would
23 address cost allocations?

24 A. Well, in that if we -- not -- if we don't pool
25 across -- in other words, if Finley Resources chose not to

1 participate, then the only one that could work would be 5B.

2 Q. And as I understand Exhibit 5B, as you've
3 explained it, that is in essence a reflection of intangible
4 drilling costs to casingpoint; is that accurate?

5 A. Well, it's -- there are two scenarios here. One
6 is if the well is drilled to the Morrow or below 10,000
7 feet and is completed in the Morrow for any period of time,
8 and then in that event, later, we complete it uphole, there
9 is one set of numbers that would apply. And I would direct
10 you to page 3 of 5B. The top half of that page addresses
11 that scenario where the well is completed in the Morrow but
12 subsequently completed uphole.

13 The bottom half of the page deals with the
14 scenario where the well is drilled to the Morrow, or below
15 10,000 feet, fails below 10,000 feet, and the initial
16 casingpoint election is above 10,000 feet, in the zone in
17 which Finley owns. Those are the distinctions on page 3.

18 Q. All right. So if we were to compare them to
19 anything else, say your Exhibit 3, your cost allocation
20 formula --

21 A. Uh-huh.

22 Q. -- narrative, on Exhibit 5B, page 3, the top
23 section addresses basically --

24 A. B, would be --

25 Q. -- a recompletion with production in both the

1 Morrow and uphole, correct?

2 A. It addresses a scenario where the initial
3 casingpoint election is below 10,000 feet, whether
4 successful or a failure.

5 Q. And so --

6 A. In other words, pipe is set, a completion rig is
7 put on zone, and there's an effort for -- however
8 strenuously made, to obtain production from an interval
9 below 10,000, whether successful or not. That is the top
10 half of the page, and if you look at the cost allocation
11 formula narrative, that would be item B on the narrative.

12 Q. All right, so the top is item C, then, basically
13 the Morrow dryhole scenario; is that right?

14 A. No, no, no, the top part of page 3 is C -- is B,
15 excuse me.

16 Q. Right.

17 A. The bottom half is C.

18 Q. All right.

19 MR. BRUCE: Scott, if I may -- and again, Mr.
20 Smith, you're referring to your cost allocation formula
21 attached --

22 THE WITNESS: The narrative, and I believe that
23 by stating there that we were talking about the written
24 formula, yes.

25 Q. (By Mr. Hall) Is it Mewbourne's intention to

1 have the terms and provisions of the cost allocation
2 formula attached to Exhibit 3, your narrative, incorporated
3 into an order the Examiner issues in --

4 A. I would propose it to the Examiner and allow him
5 to determine if there is more -- a more reasonable way.
6 But this is what we've proposed. It's been used in the
7 past.

8 Q. Let me ask you, what are -- would Mewbourne
9 proceed with its Morrow project if it didn't have its 3-
10 percent interest in the bailout zones in the shallow unit?

11 A. Would they? It's a possibility. But we have
12 correlative rights in the shallow. But we have standing to
13 be asking for this, or we wouldn't be here.

14 Q. Do you regard your 3-percent interest in the
15 shallow zone as critical to the success or failure of the
16 project?

17 A. Critical, no. But it could potentially recoup
18 costs, if -- I mean, we -- my job is to -- is risk
19 management and to protect the assets of Mewbourne Oil
20 Company at every turn, and to allow us the opportunity to
21 make a profit or recoup costs at any opportunity.

22 Q. Let's go back to your Exhibit 3, which is your
23 July 21, 2004, well proposal letter to Finley.

24 There the -- Let's go through some of those terms
25 of the offer. The third paragraph --

1 A. Right.

2 Q. -- you had offered \$150 per net acre to Finley to
3 deliver their interest; is that right?

4 A. Correct.

5 Q. And you offered \$200 to Chesapeake?

6 A. That's correct.

7 Q. Okay.

8 A. Chesapeake owned all rights at all depths and
9 owned in the primary objective. Finley owned depths to
10 10,000 feet only in what we deem to be potentially
11 productive but more of a secondary objective.

12 Q. I see. Then in the second paragraph on the first
13 page there, you set out Finley's ownership down to 10,000,
14 96.8 --

15 A. There is a typographical error in that number.

16 Q. And what's the correct --

17 A. Forty -- it would be, as -- it is 48.4375, and I
18 believe I inadvertently struck a 9 when I typed this. I'm
19 not the best typist in the world.

20 Q. All right. In the shallow rights, Finley owns
21 96.875 percent --

22 A. -- unpooled in the northeast quarter.

23 Q. Correct. And so explain to me what the 48-
24 percent number is. Is that on a --

25 A. If they --

1 Q. -- 320 basis?

2 A. If they pooled across. And it clearly states
3 that we're proposing a pooled unit, and that's what their
4 interest would be if they were to join, and in doing so,
5 have not only an interest in the northeast, but they would
6 share in the northwest quarter. That's the functioning of
7 a working interest unit.

8 Q. Now, what 320-acre pool targets are there above
9 10,000 feet, do you know?

10 A. Well, there is Strawn production in the area,
11 there's Wolfcamp production in the area, there's a little
12 bit of Bone Spring. I will say that I am not a geologist,
13 but --

14 Q. Are any of those on 320s, do you know?

15 A. No.

16 Q. So basically when you say Finley's interest above
17 10,000 feet, as I understand the letter -- correct me if
18 I'm wrong, let me make sure I understand this correctly --
19 you're proposing that they would be reduced to 48 percent
20 regardless --

21 A. In exchange for spreading their interest from the
22 northeast into the northwest, so that they would share in
23 any shallow production obtained in the northwest quarter,
24 as well as the northeast.

25 Q. Again, presuming there's a 320-acre unit --

1 A. No, no --

2 Q. -- to pool?

3 A. No, a working-interest unit spreads interest
4 across the 320. That way, if a 40-acre well were drilled
5 in the northwest quarter, where Finley would otherwise have
6 nothing if they didn't pool, they would have an interest in
7 a 40-acre proration unit in the northwest quarter. A
8 working interest unit is different than a proration unit.

9 Q. And there's no reference to the formation of a
10 working interest unit in your July 21st letter, is there?

11 A. Yes, there is, the last sentence of the first
12 paragraph.

13 Q. Okay. When you proposed the well to Chesapeake
14 and Finley along with your cost allocation formula in July,
15 at that time did you have what's now in the form of
16 Exhibits 5A and 5B to discuss with them?

17 A. Yes, I did.

18 Q. Did you provide Exhibits 5A and 5B to --

19 A. No, I didn't.

20 Q. -- Finley?

21 A. No, I did not. About all he would have had to do
22 is ask, inquire and engage me in discussions, and they
23 would have been his.

24 Q. Well, did you inform Finley that these were
25 available for discussion?

1 A. No, they were generated, really, for internal
2 consumption and -- so that we would have a sense of what we
3 were entering into and the effect upon our interest.

4 Q. Well, Exhibits 5A and 5B are dated October 21st,
5 2004. When were they actually generated?

6 A. Probably in April. In fact, if you'd like to --
7 well, my computer shows that they were dated -- done in
8 April.

9 I have actually various scenarios. What we
10 rolled out was the most generous one, to Finley.

11 Q. So there were other well proposals, there were
12 other --

13 A. No, no, no, there were other --

14 Q. -- proposals for allocation --

15 A. -- tables that I ran for my management's
16 consumption to evaluate what we were talking about doing.
17 And in that I did one where we, in the drilling cost, split
18 it 50-50 between the zones. I did another one where we did
19 it 60-40, in other words, asked the shallow to pay more. I
20 did another one at 70-30, asking the shallow rights to pay
21 more.

22 But what we proposed to Finley was what we felt
23 -- a more equitable formula for cost-sharing, which shares
24 the cost of drilling 50-50 between the shallow and the
25 deep.

1 Q. Did you discuss with you management the
2 possibility of increasing Mewbourne's interest in the
3 shallow rights?

4 A. I had authority to buy -- Oh, you're talking
5 about the proposal that Scott Finley -- or excuse me --

6 Q. Ramsey.

7 A. -- Ramsey was made, to trade shallow for deep?

8 Q. Yes.

9 A. Absolutely, I -- absolutely.

10 Q. And tell me about that decision-making --

11 A. Well, again --

12 Q. -- process --

13 A. -- we --

14 Q. -- why wasn't that done?

15 A. -- we have 50-percent in the well with a farmout
16 from Apache. We felt that in the Morrow and the Atoka,
17 where we took our farmout, was certainly more valuable and
18 deep, we were not willing to reduce our position, which was
19 already less than what we wanted, in the primary objective,
20 in order for an increased interest in something that is
21 what we would call secondary.

22 Q. Did Mewbourne perform a geologic evaluation of
23 the shallow unit?

24 A. We have maps covering the shallow, yes.

25 Q. Did your geologic evaluation lead Mewbourne to

1 conclude that the shallow unit had little value to
2 Mewbourne?

3 A. It has potential, but it certainly doesn't hold a
4 candle to the value of the deep. We're drilling primarily
5 for a Morrow well, but there's the potential uphole for
6 zones that could, if -- on a going-forward basis, help you
7 recoup costs.

8 Q. Where is that shallow unit potential, if you
9 know?

10 A. There's Strawn production, there's Wolfcamp
11 production, there's -- not Delaware, Bone Spring production
12 in the area.

13 Q. Let me make sure we have a better understanding
14 of your cost allocation formula. As I understand from what
15 you testified, your cost allocation formula was derived
16 from COPAS Bulletin 2; is that --

17 A. It is in compliance with COPAS Bulletin 2. If
18 you've read -- and I would ask you, if you're going to
19 quote COPAS Bulletin 2, you tell me what date you've got,
20 because there is a very recent one out. And I am speaking
21 of the most recent one, and I would direct you to the
22 conclusion -- the summary at the back, where it clearly
23 states that they in no way try to tell you how to do this.
24 They offer options and various scenarios, and it's up to
25 the parties to negotiate what reasonable -- I have put

1 forth a formula that's been used and has been deemed
2 reasonable by others. And it's in compliance with COPAS
3 Bulletin 2?

4 Q. And how did you make that determination, it's in
5 compliance with COPAS Bulletin --

6 A. I read the bulletin.

7 Q. Did you seek a review by a member of COPAS?

8 A. No, why would we?

9 Q. Do you have a petroleum accountant in-house at
10 Mewbourne?

11 A. Yes, we do.

12 Q. And did you review your cost allocation
13 formula --

14 A. As a matter of fact --

15 Q. Excuse me, let me just finish my question so we
16 have a clear record.

17 A. Sure.

18 Q. Did you review your cost allocation formula with
19 your in-house accountant?

20 A. Truth be known, the accountant prepared the XCel
21 spreadsheet that ultimately resulted in Exhibit 5A and 5B.

22 Q. So when Mr. Bruce asked you earlier whether you
23 had prepared Exhibits 5A --

24 A. -- were prepared under my supervision.

25 Q. So is Exhibit 5A and 5B your product or not?

1 A. The skeletal structure of it -- okay, it was
2 prepared -- the formula and the table was prepared for the
3 use of this very table in another scenario with another
4 party. I simply took that table and plugged the numbers as
5 I allocated them or chose to -- and again, I'll admit
6 there's some hairsplitting here; you could choose to shift
7 parts or all of these numbers from one category to another
8 -- and I plugged them into the XCel spreadsheet. So that's
9 where they came from.

10 Q. Just so I'm clear in my understanding, the
11 determination that your cost allocation formula that you
12 proposed to Finley is in compliance of COPAS Bulletin 2 was
13 yours and yours alone?

14 A. Okay, I will -- the accountant did not see this
15 table right here. I prepared that using his XCel
16 spreadsheet formula to use this table or this summary.

17 So reasonableness, I would say it's reasonable in
18 the sense that the formula has been used by other parties.

19 Q. Again, let me make sure you understand my
20 question. I don't think you're responding to the question
21 asked.

22 The cost allocation formula I'm asking you about
23 is what was sent to Finley on July 21st.

24 A. Yes.

25 Q. Now, again, the question to you is, in making the

1 determination that the cost allocation formula you proposed
2 to Finley was in compliance with COPAS Bulletin 2, that
3 determination was yours and yours alone; is that right?

4 A. I guess in a strict reading of your question,
5 yes, no one else has been asked to review it from a
6 compliance standpoint in this specific scenario.

7 Q. When you compiled your cost allocation formula --
8 correct me if I'm not stating your answer accurately that
9 you said you relied on a COPAS bulletin in part?

10 A. I read the COPAS Bulletin 2 to try to find an
11 answer to a problem that presented it to me. I asked
12 friends and co-workers and associates if they had any ideas
13 on how to do this, and I got a copy of Yates's methodology.
14 I looked at it, I again looked at the COPAS Bulletin 2, it
15 seemed to fit within the guidelines that say there's no one
16 way to do this, guys, there's no one way to do this. It's
17 a negotiated deal.

18 In that Yates has utilized this and it's been
19 negotiated, we rolled it out.

20 Q. When you asked all your colleagues about an
21 appropriate way to formulate cost allocations, did you get
22 the same answer from everybody?

23 A. Actually, the only example I got was Yates's.
24 This is outdated.

25 Q. Mr. Smith, I'm going to hand you what's been

1 marked as Finley Exhibit Number 1. Can you identify that?

2 A. I have seen this bulletin too. In fact, I have a
3 copy in my file.

4 Q. And this COPAS Bulletin 2 has a cover date,
5 anyway, of September, 1965. Do you see that there?

6 A. Yes, I do.

7 Q. Did you rely on this version --

8 A. No.

9 Q. -- or another version?

10 A. No.

11 Q. What version did you rely on?

12 A. There is a 2003 or 2004 version available from
13 COPAS for a fee to anyone willing to pay for it.

14 Q. Since you relied in part on the COPAS bulletin,
15 can you tell us, if you can, the major differences between
16 the 1965 version and the current version?

17 A. The 1965 version attempts to address the
18 multitude of potential reasons for cost allocations that
19 have surfaced since 1965. They expound upon the -- any
20 number of possible reasons for it, and they clearly state
21 that it is a complicated issue, and no two situations are
22 the same. This is a very -- I mean, the -- let's just say
23 that the modern version is probably four times as thick as
24 this one.

25 And the substantive difference is that they do

1 expound upon -- the reasons for it and that it is a
2 complicated issue and that it's up to the parties to
3 negotiate.

4 Q. Let's look at page 4 of Finley Exhibit 1,
5 paragraph B.1.

6 EXAMINER STOGNER: Okay, which 4 are you
7 referring to? The 4 up on the top right-hand, or the 4 on
8 the bottom of the page.

9 MR. HALL: At the bottom, Mr. Stogner.

10 EXAMINER STOGNER: Okay.

11 Q. (By Mr. Hall) It's paragraph B.1.

12 A. (a) -- or (b) -- no, it's (a), where you've done
13 the underlining.

14 Q. Yeah, I don't know the source of these markings
15 on here, by the way, but --

16 A. Okay.

17 Q. -- I'm looking at page 4, as indicated on the
18 bottom of the pages --

19 A. Uh-huh.

20 Q. -- so it's COPAS Bulletin, page 4, paragraph B.1,
21 says, "The preferred method for the allocation of costs
22 between zones is from a detailed analysis of actual
23 expenditures when practical, utilizing well, drilling and
24 accounting records." Do you agree?

25 A. I would argue that we're looking at an outdated

1 piece of paper from which I did not rely upon to
2 determine -- This was not even looked at.

3 Q. Do you know if the current COPAS bulletin
4 contains --

5 A. I did not bring one with me.

6 Q. Do you know if the current COPAS bulletin
7 contains language similar to --

8 A. Well, one thing I would point out -- and if you
9 read the COPAS bulletin in total, that you can take a
10 statement anywhere in the bulletin and take it out of
11 context without reading the materials that lead up to a
12 statement, and it -- you can't then use it to make a
13 general statement. You have to read the allocation
14 suggestions in context of -- for which they're put forth.

15 Q. All right, Mr. Smith, I'd ask that you listen to
16 my question and wait till I'm finished asking the question
17 before you start your answer, for the court reporter's
18 sake.

19 My question to you is, do you know whether the
20 current COPAS bulletin has language similar to what I read
21 you?

22 A. Do I know? Not having memorized it, I would
23 think that it attempts to address these same situations.
24 But does it say the same thing? I do not know.

25 Q. Do you believe that this concept expressed in the

1 1965 version is, in fact, preferable today in that you
2 ought to be making these allocations based on actual known
3 well costs and expenditures?

4 A. Well, I'm not disagreeing that we use actual
5 well-cost expenditures for allocation. That's -- again,
6 I'm not saying that these numbers that I put forth are the
7 hard numbers that all allocations -- When and if something
8 happened, we would use real numbers, and we would decide
9 what costs should go in -- and it would be a negotiated
10 situation. We would propose it. If Finley said, No, that
11 cost should be in this category -- I mean, it's -- and of
12 course, under an order the Commission is the final arbiter
13 of what reasonable costs are.

14 Q. And should a pooling order issue in this case,
15 that would pool the shallow unit, do you understand that
16 Finley would have the option to make an election to tender
17 well costs in order to avoid the risk penalty and so-called
18 election, that that election is going to be based on your
19 AFE-estimated well costs?

20 A. No, at the time the election would be made, it
21 would be based upon as much known data as we have.
22 Assuming we've drilled and completed the well and it's
23 produced a while, we'll have hard numbers for the actual
24 costs.

25 But if we've got a drilling rig on location and

1 we've gone out and we've bailed out of the Morrow and we're
2 wanting to immediately move uphole, we'll have the best
3 numbers we have.

4 Q. Let me ask you, then, for purposes of
5 understanding the operation of the pooling order, is it
6 your understanding that Finley would not be required to
7 tender their proportional share of drilling cost, estimated
8 cost, until after the well is drilled?

9 A. Hm.

10 Q. How do they make the election and at what point?

11 A. Good question.

12 Q. You don't know?

13 A. I don't know, this is -- I've never crossed this
14 bridge before, to be honest with you. This is my first
15 time to encounter this.

16 Q. Let me ask you this: Under the formula, can you
17 tell the Hearing Examiner whether the cost to the shallow
18 unit owners to drill to, say, the San Andres, would exceed
19 what they would otherwise pay to drill just a stand-alone
20 well to the San Andres?

21 A. Well -- can you restate -- I want to make sure I
22 answer your question. Can you restate it again?

23 Q. Well, if we utilize Mewbourne's proposed formula,
24 will the cost to the shallow interest owners to drill a San
25 Andres well be more than had they just drilled their own

1 stand-alone well?

2 A. Yes.

3 Q. Do you believe that's reasonable and just?

4 A. The difference being is that they get to drill
5 and evaluate the entirety of the ownership interval in
6 which they own, logs would be run across any -- any zone
7 that might have been there that they would not have
8 encountered would be evaluated.

9 Q. Let's look at, if you would, your Exhibit 3
10 again, your cost allocation formula, so we can understand
11 some of these scenarios. Again, your scenario B is, if a
12 well is drilled to the deep unit and the initial
13 casingpoint election provides for a completion attempt in
14 the deep unit, then it explains -- there's no obligation on
15 the shallow --

16 A. To pay --

17 Q. -- interest owners to pay anything?

18 A. Correct.

19 Q. But then it goes on to say, first full paragraph
20 under letter B, if there is a subsequent recompletion,
21 that's when this reimbursement formula kicks in?

22 A. That's correct.

23 Q. And then it tries to explain how that would work,
24 and I think it's important for --

25 A. Yes, it does try, and it is a proposed effort.

1 Q. I understand. Let's make sure the Hearing
2 Examiner can understand this as well as I. It addresses
3 the allocation of first drilling costs.

4 A. Correct.

5 Q. Costs under that category, drilling costs.

6 A. But it excludes certain costs.

7 Q. Right, that's what I wanted to ask you about. It
8 says, "All pre-casing point drilling costs that can be
9 isolated..."

10 A. Right.

11 Q. Now, isolated costs, that's not a defined term --

12 A. No.

13 Q. -- anywhere, is it?

14 A. No.

15 Q. What's your understanding of those isolated
16 costs?

17 A. Well, it's -- if you were to drop a cone in the
18 hole at 8000 feet and have to fish for it, that cost would
19 be isolated to the shallow unit. If you take sidewall
20 cores above 10,000 feet, that cost is isolated to the
21 shallow unit. If you run a log specific to the shallow
22 unit, that cost is allocated to the shallow unit. If you
23 run a logging tool specifically designed to evaluate the
24 Morrow, that cost is allocated to the deep. If you run a
25 DST in the Morrow, the deep pays for it, not the shallow.

1 And you eliminate those costs and allocate them to the
2 different zones before you start allocating under the
3 formula.

4 Q. Well, let's talk about fishing. If, as you say,
5 you're on your way down to the Morrow, but say at about
6 5000 or 6000 feet you twist off --

7 A. Uh-huh.

8 Q. -- and you have to fish at that point --

9 A. Right.

10 Q. -- even though you're drilling to the Morrow,
11 that cost is an isolated cost attributable to the shallow?

12 A. Correct.

13 Q. Do you believe that's just as reasonable?

14 A. Well, if -- Yes, I do. I mean --

15 Q. Explain why.

16 A. Because it occurred in the shallow, and if you
17 want to drill further through the shallow, you'd have to --
18 you would incur those costs anyway. To evaluate the
19 totality of the shallow interval, you would have had to
20 have incurred those costs anyway.

21 If it occurred at 10,000 feet, then you've got a
22 -- you know, this can't address every possible scenario.
23 It's an attempt.

24 Q. And so do you agree with me that that fishing job
25 would benefit the owners in the deep unit?

1 A. Yes.

2 Q. And yet, as I understand it, there's no right of
3 adjustment between units. A hundred percent of that
4 fishing job cost is on shallow interest owners?

5 A. Well, I would like to offer the concept that this
6 was put forth to Finley in an effort to get them to join in
7 the well. I didn't even really think about it in context
8 of it affecting an order. It was designed to be negotiated
9 between parties who are subject to a voluntary agreement,
10 and to do that you have to negotiate.

11 Q. Would Mewbourne be willing to continue the
12 hearing in this case to allow the parties to negotiate
13 further?

14 A. We have a spud date of December 15th. Our rig
15 schedule is largely dependent upon hitting those. We have
16 four rigs that we keep busy, we've had the same four
17 Patterson rigs for numerous years, we're very comfortable
18 with them. We don't want to be put in a position where we
19 have to let a rig go in this environment, where if we let
20 it go we might never see it again.

21 So how long are you asking me to negotiate?

22 MR. HALL: Just a minute, Mr. Examiner.

23 EXAMINER STOGNER: Let's take a five- or ten-
24 minute -- let's take a 10-minute recess.

25 (Thereupon, a recess was taken at 10:08 a.m.)

1 (The following proceedings had at 10:28 a.m.)

2 EXAMINER STOGNER: Let's go back on the record.
3 I believe that you were cross-examining, Mr. Hall. You may
4 continue.

5 MR. HALL: Mr. Stogner, the parties during the
6 break discussed -- and Mr. Bruce will correct me if I'm
7 mistaken, but I believe Mewbourne is amenable to continuing
8 the hearing for two weeks to allow the parties additional
9 time to negotiate allocation formula, among other things,
10 and their participation in the well. But what we'd like to
11 do is proceed with Mr. Smith's testimony, since he's here
12 today, and continue the case at that time.

13 EXAMINER STOGNER: Mr. Bruce?

14 MR. BRUCE: Yes, that's correct, Mr. Examiner.
15 You know, the one issue that Mr. Smith did raise is, this
16 is on its drilling schedule, and if the parties are
17 unsuccessful we would like an order at some point
18 relatively quickly after that hearing, if necessary, so
19 that elections can be made according to the pooling order.

20 EXAMINER STOGNER: I will try to make myself
21 available November 4th. That is somebody else's hearing.
22 Please be aware -- I don't have it with me -- I have been
23 called for jury duty in Torrance County, however feel free
24 to subpoena me --

25 (Laughter)

1 EXAMINER STOGNER: -- and we will take that from
2 there and see what happens.

3 MR. BRUCE: Well, I'll have Mr. Kellahin do the
4 subpoenaing, because I would rather have him deal with the
5 judge.

6 EXAMINER STOGNER: And he can join me at the
7 Torrance County Detention Center for contempt.

8 With that, Mr. Hall?

9 Q. (By Mr. Hall) Mr. Smith, we were discussing the
10 cost allocation formula attached to your letter, Exhibit 3.

11 A. Yes.

12 Q. And again, we were discussing that there's no
13 separate definition in the document for isolated costs --

14 A. No.

15 Q. -- and remaining costs?

16 A. Well, remaining cost is defined, isolated are
17 not.

18 Q. Remaining cost is everything other than isolated?

19 A. Correct.

20 Q. Would you agree that both the older and
21 contemporary versions of the COPAS bulletin contain costs
22 based on intangible drilling costs?

23 A. Yes.

24 Q. Why didn't you elect to follow those traditional
25 definitions?

1 A. Well, I felt like I did. I mean, we -- to me,
2 drilling costs are the intangibles, and they're treated one
3 way. Downhole equipment and surface equipment are
4 tangibles, and they are treated differently. They are
5 separated conceptually along those lines, and we could use
6 different terms if you'd like, but that was -- the effort
7 was to divide between tangible and intangible.

8 Q. From you review of your cost-allocation formula
9 and then your AFE which separates costs out into tangibles
10 and intangibles --

11 A. Right.

12 Q. -- is there any overlap?

13 A. Like I said, when I submitted it -- this is --
14 there certainly could be discussions. This was simply done
15 for discussion purposes. I did not intend for this to be
16 concretely used as the numbers that would be used for
17 adjustments. It was just put forward for the purposes of
18 understanding the mechanics. There certainly would be
19 adjustments, and what I might have colored as intangible
20 here might have a portion or all of it, but I don't think
21 that all of it would shift. And conversely, parts of the
22 others could be shifted back and forth, and I would
23 certainly be agreeable to actual costs being used.

24 Q. And again, in the context of a compulsory pooling
25 order, should an order issue, when it comes time for Finley

1 to make its election to tender its share of well costs,
2 will we be utilizing the AFE, which is your exhibit?

3 A. Well, again, this is -- I would expect to
4 either -- Under the order, I would expect Finley to either
5 choose to participate or, if they go under the order, put
6 us on notice that they will go under the order. If I
7 understand the mechanisms correctly, if they choose to
8 participate under the order, we would expect to use real
9 costs inserted into this formula, or at the time it came to
10 pay, yes.

11 Q. Well, you understand when a compulsory pooling
12 order issues --

13 A. If asked -- to signify the decision as to whether
14 or not to go under the order or be force pooled --
15 participate under the order or be pooled under the order, I
16 think simply, rather than -- as the normal order says, you
17 must pay or tender your share of the drilling costs within
18 30 days receipt of notice or -- of the order, I would say
19 that he would -- Finley would simply have to issue a letter
20 stating that I choose to participate under the order, and I
21 agree to pay costs determined under the cost allocation
22 formula when those numbers are made available.

23 Q. I guess my question is, how much will Finley be
24 expected to tender in order to avoid the risk penalty under
25 each of the three scenarios as laid out under your cost

1 allocation formula?

2 A. Well, in that -- if we're going to use actual
3 well costs, I can't answer that question. Again, the
4 decision at the election point as to whether or not to
5 participate under the -- Is that what you're asking me
6 about, the 30-day election following receipt of an order?

7 Q. Yes.

8 A. I would say that they're not going to be expected
9 to pay any money at that point in time, because they're not
10 -- the proposal that we're making doesn't put the shallow
11 unit at risk for any money up front initially, until the
12 well is completed.

13 The well -- the participants in the deep will
14 bear all costs until the outcome of the well is known.

15 Q. Are you asking Examiner Stogner to formulate an
16 order that provides for an election point at some time --

17 A. No, they have to -- Finley would have to say I'm
18 either going to participate now, under the order, knowing
19 that the costs will be filtered through -- actual costs as
20 they're known through this formula -- or elect to not
21 participate and be force-pooled. There's no reason they
22 would tender money within the 30-day standard period upon
23 receipt of the order. There's no costs associated with
24 their participation at that point.

25 Q. Do you understand that in order to avoid the risk

1 penalty assessment against their interest, their 98-percent
2 interest, they would be obliged to tender their share of
3 well costs within 30 days of the order?

4 A. And that's -- well -- hm. At this point there
5 are no costs. I think I would read that since we're
6 proposing that there are no costs at this time, they don't
7 have to tender any, they simply have to make an election
8 now.

9 Q. What are they electing?

10 A. They're either going to participate outside the
11 voluntary agreement, pursuant to an order, and at such
12 times as they wanted to -- if they were given a -- well,
13 this is -- When and if costs are due, they have to pay them
14 within 30 days and put the 30-day clock upon them noticing
15 or receiving notice of the amounts due.

16 Q. Let me move on. Let's stay under your scenario B
17 under your cost allocation formula, which is your Morrow
18 completion and a subsequent recompletion --

19 A. Yes.

20 Q. -- upheld.

21 A. Right, right.

22 Q. Under paragraph B.3 it provides for an allocation
23 of costs for the downhole equipment --

24 A. Yeah.

25 Q. -- on the basis of two-thirds to the shallow unit

1 and one-third to the deep unit?

2 A. Right.

3 Q. Can you tell me whether, for instance, casing
4 costs increase incrementally with depth?

5 A. Incrementally?

6 MR. BRUCE: Do you mean --

7 MR. HALL: Strike that.

8 MR. BRUCE: -- proportionately?

9 Q. (By Mr. Hall) Do they increase --

10 A. By foot.

11 Q. -- exponentially?

12 A. No, they don't, exponentially.

13 Q. But do they increase on a footage basis?

14 A. Well, I'll say that you could -- depending on how
15 you design, sometimes different grades of pipe are run at
16 different points. And I have nothing to do with that, by
17 the way; I'm just aware of the fact that you might want to
18 run one grade here and a different, lesser grade, you might
19 even, you know, run a liner, a less expensive section of
20 pipe, at greater depth.

21 So there is the potential as you go through the
22 depths for pipe to cost different amounts.

23 Q. So with the hole drilled to 12,500 as you
24 propose, are we looking at a different casing program,
25 then, for a hole drilled to, say, 6000 feet?

1 A. Undoubtedly.

2 Q. More costly hole?

3 A. No question.

4 Q. And more costly casing program?

5 A. Well, there's more steel in the ground.

6 Q. It's like you say, if you're drilling to 12,500
7 feet, you would not need -- you would need incremental --
8 I'm sorry, intermediate casing string --

9 A. Correct.

10 Q. -- that you wouldn't have to a hole drilled
11 6000 --

12 A. Correct.

13 Q. Is a bigger rig required for drilling a --

14 A. No question.

15 Q. -- deeper hole?

16 If we refer back to the COPAS bulletin, our
17 Exhibit 1, on page 5 of that, if you will look at numbered
18 paragraph 2.(a) on page 5 of Exhibit 1, it provides for a
19 little bit different cost allocation scheme between zones.
20 Admittedly the scenario shown on the COPAS bulletin is for
21 three zones --

22 A. Right.

23 Q. -- but it seems to say -- see if this comports
24 with your understanding. It seems to say that once costs
25 have been allocated to the zones -- and let's assume that

1 they mean what you would call isolated costs.

2 A. Or by foot. I mean, you can allocate any way you
3 want.

4 Q. Yeah. The additional costs under COPAS, under
5 paragraph 2.(a), contemplates that those "costs identified
6 with the zone from the surface to the base of the first
7 producing formation should be allocated equally to all
8 formations..." Now, that's a departure from your proposal,
9 isn't it?

10 A. We're talking about -- this is intangible
11 drilling costs. I have apportioned the actual isolated or
12 nonisolated drilling costs equally to the two zones under
13 my formula.

14 Q. And where is that shown, so I know?

15 A. Well, if you look under drilling costs -- you can
16 look at either place, but let's look at the written
17 scenario. The shallow unit only pays one half of the
18 footage-allocated cost to that interval, and the other half
19 is equally borne by the deep. And then the deep zone pays
20 100 percent of that allocated to it.

21 MR. BRUCE: You're looking at item B.1 on your
22 allocation --

23 THE WITNESS: B.1, correct. That's where we're
24 talking about allocating intangible drilling costs.

25 Q. (By Mr. Hall) All right. Now, we were speaking

1 about your scenario for downhole equipment casing costs and
2 the like.

3 A. Well, and I would direct you back that what
4 you're directing us to read from is talking about
5 intangibles, not tangibles.

6 Q. Let's look at page 6 of COPAS Bulletin B, then.
7 It addresses tangible costs, specifically casing costs,
8 paragraph B.1.(a), and again it says the "Total average
9 cost of the casing from the surface to the base of the
10 first zone should be allocated equally to all...zones in
11 the wellbore."

12 A. Okay.

13 Q. And then you compare that to your narrative, your
14 allocation is two-thirds shallow, one-third deep?

15 A. Right.

16 Q. So that's a departure from --

17 A. It is a departure, but I would again -- this is
18 -- they're making suggestions, and as the conclusion
19 clearly states, they're just that, they're not telling
20 anyone how to do it, that it's up to the parties to
21 negotiate.

22 Q. Now, your depth cutoff for allocation of costs
23 between the shallow and deep zones is the 10,000 feet?

24 A. Which we believe is approximately, although not
25 known identically -- or perfectly, to be the base of the

1 Bone Spring and the top of the Wolfcamp, although those two
2 could vary somewhat.

3 Q. Do you believe it would be more appropriate to
4 have those costs allocated from, let's say, the bottom set
5 of perforations for a completion in the upper zone, rather
6 than all the way down to 10,000 feet?

7 A. Not -- We believe that what we proposed is
8 equitable, based upon the conditions today. The reason we
9 shifted this is, the tangible value of pipe is increasing
10 daily. Steel is becoming -- You almost can't get it. If
11 you don't have a connection to get pipe to run in the
12 ground, you might not get it in a timely fashion.

13 So there is salvage value associated with all
14 this tangible that is real and has value. And the people
15 that own it should pay for that.

16 Q. That's a good point. Let me ask you about your
17 scenario B for your casing.

18 A. B, okay.

19 Q. Downhole equipment.

20 A. Uh-huh.

21 Q. Who gets to depreciate the pipe?

22 A. I believe what would happen is that the parties
23 that paid for it initially would claim it in that year's
24 taxes. Or if you're asking to depreciate it in terms of
25 taxation, probably them that put it there initially.

1 Q. Does your formula address that in any way?

2 A. Only in the fact that once we've allocated two-
3 thirds, one-third, the parties then share the -- in other
4 words, the parties in the deep pay part of shallow, even
5 though they -- for instance, Chesapeake might own nothing.
6 There is designed in this an effort to give Finley a chance
7 to come in on a cost-reduced basis, because it's not a
8 perfect scenario, but we've got to come up with something
9 that allows them to come in on a cost-reduced basis, while
10 addressing the ownership of the steel in the ground.

11 Q. Are you asking Examiner Stogner to formulate an
12 order that addresses the ownership of the depreciation
13 rights?

14 A. Am I asking him? No.

15 Q. So that would simply be unaddressed --

16 A. Correct.

17 Q. -- in the compulsory order?

18 A. In the form of the proposed. And we believe
19 we've built in a shift in the cost to accommodate that.

20 Q. There's nothing preventing the operator from
21 taking 100 percent of the depreciation?

22 A. I think that's what would happen. Not the
23 operator, that would -- the working interest owners, in
24 proportionate ownership.

25 Now, that's under scenario B only, and that's --

1 assume -- well, there's no way of knowing exactly what will
2 happen here but, you know, let's say the well produces from
3 the Morrow for 10 years. Of course we're going to take the
4 depreciation.

5 And when Finley comes in, they're going to pay us
6 back on a discounted basis with dollars worth less than
7 what we used to pay to get there. The dollars repaid will
8 be based -- will be inflation-eaten-away dollars.

9 Q. Let's talk about your scenario C in your Exhibit
10 3, on page 2 of your allocation formula. That is basically
11 your Morrow dryhole scenario?

12 A. Bomb out below 10,000, no pipe is set, there's
13 been no casingpoint election. We've got a drilling rig on
14 location, and you're ready to try to recomplete in a zone
15 above 10,000 feet. All you've done is drill a hole.

16 Q. And the precatory sentence to Section C there
17 says, "If a well is drilled to the Deep Unit and the
18 initial casing point election provides for a completion
19 attempt in the Shallow Unit", then the following formula
20 apply.

21 Let me ask you, what are the criteria for the
22 casingpoint election?

23 A. Intangible costs to get there that are not
24 isolatable to one zone or the other.

25 Q. Is that a different decision --

1 A. Well --

2 Q. -- from making a determination that the Morrow is
3 nonproductive, you're not going to complete in the Morrow?

4 A. Is that a different -- Scenario C would only come
5 into play after the parties that took the risk and paid the
6 money to -- or in theory paid the money to get to the
7 Morrow evaluated, decided that they had no interest in
8 completing, and now they want to move up to a zone where
9 the ownership is different. And at that point in time, C
10 is intended to simply allocate the actual costs to drill
11 the well that are not isolatable to the deep or the
12 shallow.

13 If there are logs run in the Morrow, then the
14 shallow zone pays no cost. If there's a DST done, that's
15 isolated. If there are sidewall cores taken, that's
16 isolated. It is not charged back to the shallow unit.

17 Q. So that Finley would have no say-so in that
18 election process; is that correct?

19 A. Well, they own nothing in that deep right now.
20 What would happen is, if this were attached to a JOA or a
21 side letter agreement in connection with a voluntary
22 agreement, Finley would be put on notice that we have
23 bailed out, we want to complete in X zone above 10,000
24 feet, you have rigs on location, you've got 48 hours. In
25 or out.

1 And if they're in, then they -- we would -- at
2 the time I would think the real numbers were known, we
3 would have close estimates, the costs would be billed out
4 to the partners to get to that casingpoint election.

5 And again, the spreadsheet that I offered is just
6 a guesstimate. It was offered to show an example of what
7 that cost might be, actuals would be used.

8 Q. And you're referring to your Exhibit 5A, correct?

9 A. That would be under a voluntary agreement where
10 he pooled -- 5A or 5B, we've made him two offers.

11 5A would be if he pooled across the entirety and
12 formed a working interest unit at surface to 10,000 feet,
13 that would be one set of numbers.

14 5B would apply to the situation in our second
15 offer where we allow him to keep his full 90-plus-percent
16 interest, and it comes in at that point.

17 Q. Let's see if I understand how this would operate
18 under the compulsory pooling order. There's a
19 determination that the Morrow is nonproductive?

20 A. That's correct.

21 Q. That is the casingpoint election?

22 A. That's the initial casing- -- well, no, the --
23 well, if -- no. It can happen one of two ways. When we
24 set pipe in the Morrow and it depletes and we choose to
25 come uphole, or we drill to the Morrow, we evaluate it as a

1 reasonable and prudent operator whose risked his money to
2 get their -- decide it's not productive, and we at that
3 point, without having run pipe, all we have is a wellbore
4 in the ground, choose to go uphole.

5 Q. So those deep owners make that determination,
6 correct?

7 A. Yes, they're the ones that paid to not -- they
8 own the interval that they're choosing not to complete,
9 correct.

10 Q. And then Finley is the owner of 97 percent of the
11 shallow unit?

12 A. If that's under 5B, yes, that's -- 97 percent.

13 Q. So Finley as the owner of 97 percent in the
14 shallow unit, presuming it's a 160-acre --

15 A. Right.

16 Q. -- unit at that point, is faced with the decision
17 to elect to do what at that point? How does this operate
18 under the pooling order?

19 A. They would have to -- they're going to be getting
20 -- I would assume in this situation, in order for them to
21 make an informed decision, we would give them daily
22 drilling reports. They would have to choose whether they
23 felt it was worth their money to join in that well, and
24 they would either agree to be subjected to those costs run
25 through the formula, actual costs, or choose not to under

1 an order.

2 Q. And under that scenario -- By the way, let me ask
3 you, even if Finley goes nonconsent under the compulsory
4 pooling order, would you still be providing logs and daily
5 drilling reports to them?

6 A. If they chose to not have any exposure to costs
7 and be willing to pay for it down the road, no. And -- hm.

8 Q. So under this scenario, casingpoint election is
9 made by the deep owners, then it falls on Finley to make a
10 decision under your scenario C.1 about whether it wants to
11 incur the costs under the formula you've laid out here, and
12 let's talk about that briefly. These are basically
13 reimbursement costs to the deep owner, correct?

14 A. Correct.

15 Q. So the way that would work -- see if you agree
16 with my explanation --

17 A. It's reimbursement if the well has been completed
18 in the Morrow and come back. If we are the initial
19 completion, then they're real-time costs.

20 Q. So regardless of the depth of the recompletion in
21 the shallow unit -- it could be 4000 feet -- Finley would
22 be required to reimburse the deep owners based on this
23 formula, which is 100 percent of the footage to the base of
24 the shallow unit, in this case 10,000 feet, times the
25 remaining cost?

1 A. They were -- Yes.

2 Q. So it's the numerator under the formula?

3 A. Yes.

4 Q. The denominator is total depth, 12,500?

5 A. Correct.

6 Q. So generally speaking --

7 A. Eighty percent of the costs --

8 Q. -- 80 percent --

9 A. -- were used to evaluate surface to 10,000 feet.

10 It was drilled through and looked at.

11 Q. Eighty percent is the proportionate footage share
12 of the --

13 A. Correct, yes --

14 Q. -- shallow --

15 A. -- correct.

16 Q. -- the shallow well, or the shallow section for
17 the full wellbore?

18 A. Correct

19 Q. And the deep owners are only bearing 20 percent
20 of that cost?

21 A. That being 2500 feet over 12,500, 20 percent.

22 Q. In your opinion, is that allocation more just and
23 reasonable than having the shallow owner bear deep costs
24 measured from the bottom set of perforations in the upper
25 unit?

1 A. It is an allocation that has been used. I've
2 used it several times recently. It's been accepted by
3 others as being equitable.

4 Q. Those other scenarios, if you can recall, were
5 the allocations between formations. In those
6 circumstances, were the formations in closer proximity than
7 the --

8 A. It was a slightly shallower depth. I think the
9 Morrow was at 11,000 and the cutoff was at 8900, where the
10 ownership break occurred. It was in the...

11 Q. Let me ask you, again under your scenario in
12 Exhibit 3, Scenario D, nonconsent elections --

13 A. Yeah.

14 Q. -- how does that work?

15 A. Well, let's say that -- and I ran through this
16 morning because I knew you'd want to ask that. And again,
17 I would offer that this was perhaps put in there for the
18 purposes of use in a voluntary agreement where nonconsent
19 elections occur. This was utilized last in a unit, in a
20 voluntary agreement. It was not utilized in a compulsory
21 pooling situation.

22 So as to, I assume, someone who chose to go under
23 an order where there's really no nonconsent once you're in,
24 it would not apply. And there might need to be some
25 tinkering with this in a scenario where -- if this was

1 utilized in a compulsory pooling order.

2 Q. I'm not sure I understood your answer, but --

3 A. Well, how does --

4 Q. -- let me ask another question first. Wouldn't D
5 apply only in the circumstance where there was a
6 nonconsent?

7 A. Yes, on it's face that's what it says. It only
8 applies where there is a nonconsent, and it's designed to
9 have the value of any adjustment, whether positively or
10 negatively, applied towards any balance that there is in
11 place at the time of that nonconsent election.

12 Again, it was -- I think that was something
13 Hudson Oil wanted in there, and we thought it was equitable
14 and we put it in.

15 Q. Are you asking that this nonconsent election
16 provision be made a part of the pooling order?

17 A. No.

18 Q. You are not?

19 A. I don't think so. I would like to reserve that
20 answer for further analysis. I have to admit, I didn't
21 contemplate its use at the time it was put forth to Finley
22 Resources for utilization in a pooling order.

23 Q. Let me ask you again about your scenario B.
24 Scenario B contemplates a successful completion --

25 A. Yes, it does.

1 Q. -- or the well? A subsequent recompletion
2 uphole?

3 A. Yes, that's its -- yes.

4 Q. There's no time limit on the operator to make
5 that determination that the recompletion uphole occurs; is
6 that right? The Morrow could --

7 A. Yes, the Morrow could last 50 years.

8 Q. The Morrow could deplete, and then this election
9 could be made by the deep owners to go back uphole?

10 A. That's correct, and we don't know when that will
11 be. That's an unknown.

12 Q. So as you say, the Morrow could produce for 50
13 years --

14 A. Correct.

15 Q. -- and the shallow owners would not participate
16 in Morrow production?

17 A. That's correct.

18 Q. So after 50 years, the operator and deep owners
19 at that time could make the election to complete uphole
20 with by then antiquated equipment --

21 A. Yes.

22 Q. -- and the shallow owner would be obliged to
23 reimburse the deep owners for their deep well costs?

24 A. With a strict read of this, that would be
25 correct.

1 MR. HALL: Nothing further, Mr. Examiner.

2 EXAMINER STOGNER: Mr. Kellahin?

3 MR. KELLAHIN: Thank you, Mr. Examiner.

4 EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Smith, perhaps I'm the only one still
7 confused, but let me try to be concise.

8 A. Okay.

9 Q. If I understood your responses to Mr. Hall, the
10 primary objective is the Morrow?

11 A. That's correct.

12 Q. Can you satisfy all your contract obligations and
13 your commencement limitations that are pressing you to go
14 forward by commencing a well that's targeted to the Morrow?

15 A. Yes, I can.

16 Q. Do you have to actually spud the well?

17 A. I have to spud the well to prevent the farmout
18 from expiring.

19 Q. So by spudding the well that's targeted to the
20 Morrow, you save all your contracts, or satisfy your
21 contracts?

22 A. Yes, I do.

23 Q. And you're seeking at this time to pool what we
24 call the shallow rights?

25 A. Yes.

1 Q. I'm trying to figure out what you're asking Mr.
2 Stogner to write in his pooling order. Are you going to
3 require -- or ask him to prepare a pooling order that
4 includes a cost allocation spreadsheet like we saw in your
5 Exhibit Number 3, subject to some modifications, I think?

6 A. Yes.

7 Q. That's what you're seeking?

8 A. Yes.

9 Q. Am I correct in understanding that it's your
10 intent that Finley's election is going to be made at some
11 point in time when you have abandoned or exhausted the gas
12 out of the Morrow and are going to recomplete into the
13 shallow zones?

14 A. If he were subject to a voluntary agreement,
15 that's correct.

16 Q. When we look at the shallow zones, has Mewbourne
17 targeted any specific shallow formations?

18 A. We've identified potential productive intervals
19 in the area in the Strawn. There is Strawn production in
20 the area, there's potential Wolfcamp, and there's potential
21 Bone Spring.

22 Now, I don't know what is in that wellbore, but
23 my job as a landman is to try to make sure that we can
24 effectively and efficiently move up and down the wellbore
25 and drill and complete, produce that product at any

1 interval.

2 Q. I'm looking at the docketed advertisement of the
3 case, Mr. Smith -- I'll give one of these to you.

4 A. I think I've got one.

5 Q. Of all these pools with which this well may be
6 associated, it's only the Morrow that's spaced on 320
7 acres, correct?

8 A. That we're aware of. I mean -- and I think if
9 you were to, for instance, encounter a prolific Wolfcamp
10 zone, you might be able to justify asking for or getting
11 320. But as it currently stands, the known pools are as
12 stated in the order.

13 Q. So if you got a Wolfcamp gas, it's going to start
14 out at 160?

15 A. Well --

16 Q. -- that's the way this is advertised?

17 A. -- unless -- I guess it would. I don't -- hm.

18 Q. Well, let me ask you another question. If it's
19 Wolfcamp oil, then you've satisfied yourself, at least
20 according to this --

21 A. Yes.

22 Q. -- advertisement, that it's 40-acre oil?

23 A. Yeah.

24 Q. Do you see any problem with deferring this until
25 after the well is drilled, and pool the Finleys after the

1 fact?

2 A. The problem I see with it is, under Scenario --
3 we'll call it for all intents and purposes C in my formula,
4 and that is, we have a rig on location, we've drilled a
5 well, we've bombed in the Morrow, and we want to
6 efficiently, cost-efficiently, move on to the next zone.

7 If we have to stop, if we have to let the rig go
8 and there's another rig mobilization, that might render, on
9 a cost-forward basis, the zone that we would like to
10 produce uneconomic.

11 Q. All those shallower zones would be contained
12 within the northeast quarter of the section, it would
13 appear, if you're on the shallower zones, you're on 40s or
14 160s?

15 A. Correct.

16 Q. At least 160s or less.

17 And on the ownership spreadsheet, Mewbourne would
18 only have a 3-percent interest in the 10, and the rest of
19 that is Finley?

20 A. Correct.

21 Q. Are you proposing that Finley's election at the
22 time that you intend to go into shallower zones be made at
23 the time you execute that intent?

24 A. Are you speaking of an election, then, or a
25 voluntary agreement, or election under an order?

1 Q. No, I want to know only about orders. I don't
2 care about these voluntary things.

3 A. Okay.

4 Q. Under an order, what would happen?

5 A. Well, I'm not putting forth the option that he
6 has to interact under an order.

7 Q. Sort of like the voluntary casingpoint election?

8 A. Correct.

9 Q. You're not suggesting that Mr. Stogner --

10 A. -- that be incorporated in that --

11 Q. -- put that in there?

12 A. No, no, not at all.

13 Q. Mr. Stogner is not being asked to incorporate a
14 casingpoint election?

15 A. No.

16 Q. Are you aware of any pooling orders that have
17 thus far incorporated a casingpoint election in --

18 A. No, I'm not.

19 Q. Are you aware of any pooling orders that have
20 utilized the cost allocation method that you're proposing
21 with some modifications, that's attached to your Exhibit
22 Number 3?

23 A. No, I'm not.

24 Q. Are you aware of any compulsory pooling orders
25 that use what we call the original COPAS Bulletin 2 as an

1 allocation method?

2 A. No, I'm not familiar with them.

3 Q. Are you aware of any pooling orders that use what
4 we'll call the new revised COPAS Bulletin 2?

5 A. No, no, I'm not.

6 Q. That COPAS Bulletin 2 as revised, you have a
7 copy?

8 A. Yes, I do.

9 Q. You didn't bring it with you?

10 A. I don't have it with me in the -- no.

11 Q. Is there any reason you cannot furnish that to
12 Mr. Stogner?

13 A. I will be glad to, more than happy, I can -- if
14 I --

15 Q. We would ask that you furnish that to counsel and
16 to Mr. Stogner.

17 A. Be glad to.

18 Q. So we don't -- Mr. Stogner is being asked to
19 adopt a precedent under whatever you want to call it, it's
20 going to have to be a new procedure by the Division to
21 modify the pooling orders to include this cost allocation
22 method, and you want that done before the well is
23 commenced?

24 A. Yes.

25 Q. Is there something here where you can see what

1 the approximate share is of Finley's cost for making that
2 election?

3 A. Again, based upon my rudimentary effort to
4 allocate the costs --

5 Q. Just give me a gross number.

6 A. -- and there -- there are four potential numbers.
7 If you go to page 3 of 5A and 5B, under, let's say 5A, is a
8 -- I think actually, if we're going to stay under a pooled
9 order, we would go to 5B only, 5B only, page 3.

10 An approximation of what Finley would be asked to
11 pay if the well were drilled below 10,000 feet, completed
12 in the Morrow and at some later date -- or completed
13 uphole, they would be asked to pay -- and that adjustment
14 would go to Mewbourne --

15 Q. Uh-huh.

16 A. -- \$269,597. And that would be for -- no, wait,
17 wait, wait. I am --

18 Q. You've lost me, Mr. Smith.

19 A. Yes, I'm lost. Let's go down -- the only
20 scenario that applies here in an order situation would be
21 the last one on the bottom of page 3 of 5B --

22 Q. Uh-huh.

23 A. -- and the drilling cost allocation for that
24 would be \$583,800.

25 Q. Okay, the cost allocation. The \$753,000

1 represents what?

2 A. The isolatable intangible drilling costs.

3 Q. And those would include from the surface down
4 through the Morrow?

5 A. That would be actually -- no, that is -- yes, it
6 is, that's correct.

7 Q. And if it's unsuccessful in the Morrow or
8 depleted in the Morrow, then you would come up to a
9 shallower zone, and that exercise, you can test -- saying
10 this in a simple way, you can test and determine the
11 potential productivity of the Morrow for a cost of \$94,000,
12 because everything else is going to get reimbursed by
13 Finley?

14 A. That is the drill -- yes, that's correct.

15 MR. KELLAHIN: No, further questions.

16 EXAMINER STOGNER: Mr. Bruce, redirect?

17 MR. BRUCE: Just a few, Mr. Examiner.

18 REDIRECT EXAMINATION

19 BY MR. BRUCE:

20 Q. Again, Mr. Smith, what you are requesting is
21 something like the cost allocation formula --

22 A. Correct.

23 Q. -- in Exhibit 3 to be used, and it was put out to
24 Finley, and you've never received a response from Finley?

25 A. That's correct.

1 Q. Secondly, with respect to your Exhibit 4 and your
2 Exhibit 5B, what you are saying, those were for
3 illustrative purposes only?

4 A. They were -- yes, exactly, demonstrative, just
5 simply --

6 Q. To give some idea of costs --

7 A. Some idea of the mechanics, not necessarily hard
8 numbers. In fact, not hard numbers, these are just a sense
9 of how it would work.

10 Q. And under the normal pooling order, if there is -
11 - if parties are pooled, and whether or not they
12 participate voluntarily in a completion or recompletion,
13 those well costs can be reviewed by the Division, can they
14 not?

15 A. No question, I think that's -- at the behest of
16 Finley, they would be required to.

17 Q. And Mr. Hall asked you a question and you
18 admitted that assuming the scenario in Exhibit 5B where
19 there's a recompletion, say, in a quite shallow zone, a San
20 Andres or Yeso, that \$583,000 which Finley could pay, could
21 be more than just drilling down to that --

22 A. That's -- no question, that is a potential.

23 Q. On the other hand, drilling a 9000- or 10,000-
24 foot well, from the AFEs you've seen, would be quite a bit
25 higher than \$583,000?

1 A. Absolutely, for that interest.

2 Q. And just one final thing. When Mr. Hall was
3 asking you about a casingpoint election, that's usually
4 done when somebody actually proposes a completion in a
5 zone, correct?

6 A. Under a voluntary agreement, that's correct.

7 Q. So when you're talking about scenario C of your
8 cost allocation formula, the casingpoint election isn't
9 whether to -- if you bomb out in the Morrow, there's really
10 no casingpoint election because both parties have looked at
11 the available data and decided not to complete it, so the
12 casingpoint election talked about in item C is actually the
13 casingpoint election to complete in the Bone Spring or the
14 San Andres or something like that; is that --

15 A. I'm sorry, restate, please.

16 Q. Your item C says, "If a well is drilled to the
17 Deep Unit and the initial casing point election provides
18 for a completion attempt -- "

19 A. That's correct.

20 Q. " -- in the Shallow Unit -- "

21 A. Yes.

22 Q. The casingpoint election you're looking at there
23 isn't the decision to not complete or to not test the
24 Morrow, the initial casingpoint election is the uphole
25 zone; is that --

1 A. Correct.

2 Q. Okay. And just one final matter. Again, the
3 problem with respect to Finley, not pooling them now, is,
4 if at some point you are drilling and you need to make an
5 election whether to complete uphole, it may become -- you
6 need to make a quick decision.

7 A. Correct.

8 Q. The rig is on site. And you might not be able to
9 afford to move the rig off and/or move another rig on?

10 A. Correct.

11 MR. BRUCE: That's all I have, Mr. Examiner.

12 MR. KELLAHIN: Follow-up, Mr. Examiner.

13 EXAMINER STOGNER: Follow-up, Mr. Kellahin?

14 FURTHER EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Mr. Smith, at the point where you said you don't
17 want to pool after the fact because of this decision-making
18 process you make on site, if you find the Morrow
19 nonproductive --

20 A. Correct.

21 Q. -- what do you estimate to be the number of days
22 or the period of time that Mewbourne takes to make
23 internally a decision that they're going to come up
24 backhole and test a shallower zone?

25 A. Days, 36 hours, 24 hours sometimes, depending on

1 partners. We have Chesapeake, we would have to accommodate
2 them.

3 Q. And how many days with Chesapeake in the process?

4 A. Forty-eight hours.

5 Q. Forty-eight hours?

6 A. Uh-huh, with the rig on location.

7 MR. KELLAHIN: Thank you.

8 THE WITNESS: I believe -- whatever the '89 form,
9 I believe, is -- whatever the voluntary agreement provides
10 for.

11 EXAMINER STOGNER: Mr. Hall?

12 RE-CROSS-EXAMINATION

13 BY MR. HALL:

14 Q. Mr. Smith --

15 A. Yes.

16 Q. -- because Finley has no interest in the Morrow
17 anyway, Mewbourne is not going to wait for any decision
18 from Finley before it starts drilling the Morrow well, are
19 they? Under any scenario?

20 A. We would like -- the whole purpose in being here
21 is to try to either get a decision from Finley or some
22 sense that an order will be issued so that we will be able
23 to efficiently move up and down the wellbore.

24 Q. But without a compulsory pooling order, you have
25 100-percent participation now in the Morrow, correct?

1 A. Correct.

2 Q. You could start drilling tomorrow?

3 A. We could.

4 Q. And commencing your well tomorrow saves your --
5 is it an expiring farmout?

6 A. It does, and protects the fleet of rigs that
7 we've been so lucky to maintain.

8 Q. And does it also preserve your 3-percent interest
9 in the shallow unit?

10 A. The 3-percent is not at risk at this point, it's
11 a longer term.

12 Q. Okay. Under your scenario B again, there's
13 Morrow production, subsequent recompletion uphole.
14 Wouldn't it be the case that because the shallow unit owner
15 has to bear a significant portion of the total depth well
16 cost under the allocation formula, that the economics of
17 recovering uphole reserves are significantly affected by
18 those additional costs?

19 A. It depends on where and how -- what depth that --
20 and how prolific the production that may be found. We
21 don't know that there's anything there. There may never be
22 any completion above the Morrow, there may never be an
23 attempt above the Morrow. We don't know that.

24 Q. Wouldn't it be a more favorable outcome
25 economically for a separate stand-alone well to be drilled

1 to the shallower unit where the costs do not include these
2 additional allocated costs for the deep zone?

3 A. No, because then you would have drilled two
4 wellbores in the same proration unit, when one would have
5 been --

6 Q. Under a single-wellbore scenario, the owner of
7 the deep rights is looking at having to pay out well costs
8 that are significantly more than had he just borne well
9 costs down to the upper completion?

10 A. The upper being in the shallower interval.

11 Q. (Nods)

12 A. Yes.

13 Q. Let me refer you back to our Exhibit 1. Do you
14 recognize that Exhibit 1 is a true and exact copy of the
15 September, 1965, COPAS Bulletin 2 that industry has relied
16 on?

17 A. It resembles one. Having not read it word for
18 word, I can't say that it is. But it does on its face
19 appear to be the exact...

20 MR. HALL: We would move the admission of Exhibit
21 1, Mr. Examiner.

22 EXAMINER STOGNER: Any objection?

23 MR. BRUCE: I have no objection.

24 EXAMINER STOGNER: Exhibit 1 of Finley in this
25 case will be admitted into evidence.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Any redirect?

MR. BRUCE: No more questions.

EXAMINER STOGNER: You may be excused.

Do you wish to bring your witness forth?

MR. HALL: Mr. Stogner, I think we'll defer at this time and ask that the case be continued, as we've discussed earlier.

EXAMINER STOGNER: Okay, this case will be continued until the November 4th hearing, at which time I'll probably make myself available.

I believe also that Mewbourne is going to supply me a copy of the new and improved --

THE WITNESS: Yes --

EXAMINER STOGNER: -- COPAS agreement?

THE WITNESS: -- I can e-mail it to you as a --

EXAMINER STOGNER: Get with Mr. -- You're off the stand, by the way. Get with Mr. Bruce and he will decide which is the best way.


THE WITNESS: Okay.

EXAMINER STOGNER: With that, then we stand adjourned until November the 4th. Thank you. And with that, then we stand adjourned until November the 4th.

(Thereupon, these proceedings were concluded at 11:20 a.m.)

* * *

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 13359, heard by me on 21 October 2004.


STEVEN T. BRENNER, ^{Gen}Examiner
(505) 989-9317 Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL October 25th, 2004.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 16th, 2006