

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSIONER HEARING

Status Report of the Division and Geolex, Inc. on Events  
Concerning Acid Gas Injection Well Replacements at Targa  
Midstream's Monument Gas processing Facility,  
Lea County, New Mexico

April 4, 2017

Santa Fe, New Mexico

BEFORE: DAVID R. CATANACH, CHAIRPERSON  
PATRICK PADILLA, COMMISSIONER  
DR. ROBERT S. BALCH, COMMISSIONER  
BILL BRANCARD, ESQ.

This matter came on for hearing before the  
New Mexico Oil Conservation Commission on Tuesday,  
April 4, 2017, at the New Mexico Energy, Minerals and  
Natural Resources Department, Wendell Chino Building,  
1220 South St. Francis Drive, Porter Hall, Room 102,  
Santa Fe, New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR  
New Mexico CCR #20  
Paul Baca Professional Court Reporters  
500 4th Street, Northwest, Suite 105  
Albuquerque, New Mexico 87102  
(505) 843-9241

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES

FOR NEW MEXICO OIL CONSERVATION DIVISION:

PHILLIP GOETZE  
STATE OF NEW MEXICO OIL CONSERVATION DIVISION  
Energy, Minerals & Natural Resources Department  
Engineering Bureau  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87505  
(505) 476-3466  
phillip.goetze@state.nm.us

FOR GEOLEX, INC.:

ALBERTO M. GUTIERREZ  
GEOLEX, INC.  
500 Marquette Avenue, Northwest, Suite 1350  
Albuquerque, New Mexico 87102  
(505) 842-8000  
aag@geolex.com

1 (9:25 a.m.)

2 CHAIRMAN CATANACH: So the next order of  
3 business on the docket is a report -- status report  
4 that's going to be presented by the Division and Geolex,  
5 Inc. on events concerning acid gas injection well  
6 replacement at Targa's Midstream Monument Gas Processing  
7 Facility in Lea County, New Mexico.

8 And we'll turn it over at this time to  
9 Mr. Goetze and Mr. Gutierrez.

10 Good morning, Commissioners.

11 CHAIRMAN CATANACH: Morning.

12 MR. GOETZE: I am Phillip Goetze of the Oil  
13 Conservation Division, Engineering Bureau. We are here  
14 today, along with Alberto Gutierrez of Geolex, to give  
15 just a short presentation on the current situation for  
16 the Targa Monument area.

17 In the handout given to you is a summary, a  
18 chronology of what has happened of recent. A short  
19 synopsis of what happened there is, essentially, the  
20 well went out of -- not out of control, but we found  
21 that in the process of doing mechanical integrity  
22 testing, the well failed its MIT. Further investigation  
23 of it found that we had a well that was designed for 30  
24 years that eventually only lasted for four-and-a-half  
25 years, that the effort to remediate the situation found

1 there were numerous issues with the well. A lot of it  
2 seems to have stemmed from a variety of sources between  
3 material design, well completion, the operation of the  
4 well, as well as the participation of the OCD and  
5 oversight of it.

6 So to bring you up to speed on this, the  
7 well itself, the first notice that we had was the end of  
8 2016. At that time the OCD had gone and initiated -- we  
9 had a two-year cycle for MIT. The operator, Targa,  
10 initiated an initial MIT to see what the status of the  
11 well was. It found that it could not pass the integrity  
12 testing and approached OCD to go ahead and do remedial  
13 action on the well. This proposed activity was to pull  
14 the tubing -- fill the well, pull the tubing and then  
15 conduct casing integrity to see where we had situations.

16 In that effort to do it, the series of  
17 activities -- there is a subsurface safety valve, which  
18 was identified as being, at one time, an issue of having  
19 paraffin buildup. It found to have a different OD than  
20 specced, and, therefore, to get a plug down to the  
21 packer was not possible. With this came a series of  
22 events of trying to pull out the injection tubing, which  
23 required, essentially, using a kill material, kill fluid  
24 into the casing, which later also may have induced  
25 casing failure because of its weight. That was proposed

1 by what my district supervisor felt in Hobbs.

2           The final result of this is this well was  
3 plugged. It was plugged at best. The P&A is on the  
4 fourth page there. The district supervisor had  
5 stipulated our recoverable bridge plug be placed above  
6 the packer prior to any type of remediation on the  
7 casing. The effort to remediate the casing resulted in  
8 a cement plug at which could not be drilled through, and  
9 so the operator spent nearly 20 days trying to mill  
10 through his tubing and cement plug to get down to a  
11 lower leak and casing. At that point, it was then  
12 requested that the well be plugged and abandoned because  
13 the returns from the milling operation were starting to  
14 show casing and eventually showed cement from the  
15 exterior and some formation -- some San Andres  
16 Formation.

17           So with that, the Division was approached  
18 by Targa for a replacement well. We received a package  
19 from Geolex and went through the process. Most of the  
20 information for the first well was very much the same  
21 information. We did a notification process, and with  
22 the approval of this Commission, we issued an  
23 administrative order stipulating a second well to be  
24 placed and, therefore, online, hopefully to, at this  
25 point, deal with a large flaring issue which has now

1 occurred around Hobbs in the Monument, especially the  
2 Monument San Andres project that Apache has next door.  
3 It's been flaring a lot of gas.

4 At this point I will give you my friend  
5 over here, Mr. Alberto Gutierrez, on the progress on the  
6 D2, which is the replacement well, and we'll come back.

7 MR. GUTIERREZ: As Mr. Goetze just informed  
8 you, basically the well failed an MIT back in July --  
9 late July, August of a regularly scheduled MIT. And at  
10 that time, it appeared to us, and we advised Targa, that  
11 clearly in order to determine what the issues were with  
12 the well, it was going to require pulling the tubing and  
13 basically taking the well out of service and running  
14 casing integrity log, which was done, although as  
15 Mr. Goetze described, there were some issues with the IB  
16 of the subsurface safety valve and the inability to  
17 place a plug. But bottom line, they killed the well,  
18 got the tubing out, did a casing integrity log, of which  
19 Mr. Goetze provided you with some of the results of that  
20 casing integrity log. And what it showed, basically, is  
21 that there was a hole in the casing, a small hole, at  
22 about 6,600 feet. And there were some other areas also  
23 down below that depth that appeared to be compromised  
24 and maybe even another hole in the casing, but certainly  
25 some compromised casing.

1                   Now, what was the approximate cause of the  
2    compromised casing is not -- even at this point is not  
3    really well understood. We know that early in the  
4    operation of the well, because of some inappropriate  
5    completion techniques that were used when the tubing was  
6    originally put together, that there were some leaks --  
7    minor leaks from the tubing into the annular space,  
8    which were subsequently repaired back shortly after the  
9    well was put into service in 2011, yet I believe that --  
10   I personally believe that as a result of that, there may  
11   have been some -- because this well was originally -- I  
12   need to step back for just one second.

13                   The well was originally designed as a well  
14    that was going to inject acid gas and wastewater  
15    combined. Okay? And so consequently the packer fluid  
16    was not the typical diesel packer fluid that we use but  
17    stabilized brine and corrosive inhibited brine that was  
18    used as a packer fluid.

19                   The only problem with that is that when  
20    Targa initially began operating the well, they did it in  
21    the way that it was originally anticipated to be  
22    operated, which was injecting both wastewater and acid  
23    gas. They then shifted to injecting only acid gas  
24    rather than wastewater because they were seeing some  
25    effects of the wastewater on the reservoir that were

1 causing an undue increase in the injection pressure. It  
2 appeared that the reservoir was sensitive to this fresh  
3 water that was being injected, even though it's not  
4 common for the Devonian to behave that way. But that's  
5 what the operator determined that they would do. They  
6 just started using another saltwater disposal well and  
7 injecting purely acid gas into this well.

8           The problem, in my mind, then, is that when  
9 you have -- if you were going to do that as a permanent  
10 change of operation, my recommendation would have been  
11 to replace the packer fluid with diesel at that point.  
12 Because if you do have a leak into that annular spacing,  
13 you have an innocuous [sic;phonetic] packer fluid, and  
14 you have a leak of just acid gas. You're definitely  
15 creating a very corrosive environment.

16           So that may have been part of the reason  
17 for the ultimate lack of integrity of the casing, but  
18 there is also some potential for some corrosive waters  
19 in the Glorieta and in some other of the formations that  
20 are near where these leaks were detected.

21           But in any case, it was my recommendation,  
22 at the time when I saw the casing integrity logs, that  
23 the company not even further attempt to remediate the  
24 well but rather to plug it. Well, they didn't take that  
25 recommendation. They decided to continue to attempt to



1 remediate it. And when they were trying to squeeze off  
2 this hole in the casing, they collapsed the casing onto  
3 the -- onto the -- as Mr. Goetze described, the tubing  
4 that was being used to introduce the cement.

5 And so after spending approximately a  
6 million and a half or more dollars attempting to fix  
7 that problem, they ultimately plugged and abandoned the  
8 well, with the Division's permission.

9 And then as Mr. Goetze mentioned, we  
10 approached the Division with an application, which the  
11 Division approved administratively, to replace the well  
12 with a well, in my opinion, of superior design than what  
13 was originally in place.

14 And one of the -- and also because the well  
15 was going to be essentially a twin of the existing well  
16 and close to the bottom-hole location of the existing  
17 well which had already been injecting acid gas for  
18 approximately five years, I insisted in the design that  
19 the well be cased with the intermediate casing all the  
20 way down to just above the top of the injection zone  
21 because I wanted to make absolutely certain that we  
22 could control that well when we drilled into the  
23 injection zone essentially where we had been injecting  
24 previously.

25 So what resulted is a well that has got the

1 surface casing, plus 9-5/8-inch surface casing going all  
2 the way down to the very first shale immediately above  
3 the Devonian, and then inside of that, 7-inch casing,  
4 both of which are cemented with WellLock resistant  
5 cement. And in the production casing, we have CRA  
6 casing in the bottom 300 feet, which is where the packer  
7 has been set.

8 Things went fairly well. I mean, they had  
9 some issues with drilling problems, but those were  
10 resolved when the well was completed. The well was  
11 completed in -- just at the end of January, beginning of  
12 February of this year and put back into service.

13 Shortly after the well was put into  
14 service, it was noted that there was a tubing leak. So  
15 the well was again worked over, and at this point, there  
16 were two things that were discovered. There was a bad  
17 cross-over -- an actual cross-over that had a small  
18 crack in it immediately above the subsurface safety  
19 valve, and that was identified through a series of both  
20 noise and temperature surveys in the tubing and annulus  
21 of the well, and then the tubing was pulled. This was  
22 discovered that this was a problem.

23 There was also a problem -- and we're not  
24 really sure it happened when the well was being taken  
25 apart or when it was there, but there was a problem with

1 the tubing hanger as well. There were some issues of  
2 leaking in the tubing hanger in the places where the  
3 tubing hanger had been modified because the new well  
4 required not only the subsurface safety valve like the  
5 old well, but consistent with what the Commission is now  
6 requiring or the Division is recommending is to have  
7 downhole pressure temperature monitoring immediately  
8 above the packer. And so in order to do that, the  
9 hanger had to be modified to take both leads from the  
10 subsurface safety valve and the line from the PT sub at  
11 the base of the well.

12 In any case, what ends up happening is the  
13 tubing gets pulled. It is determined that there is this  
14 bad cross-over. It's determined that there is this  
15 issue with the hanger, and then it is also determined  
16 that the thread, the actual premium thread which was  
17 specified in the -- in the tubing, was just not  
18 appropriately cut. And so there was some leakage going  
19 on at the couplings in spite of the fact that they were  
20 properly torqued and tested.

21 So at that point, what we did was -- and,  
22 of course, as Mr. Goetze mentioned, there had been a lot  
23 of flaring going on since last August because the well  
24 had been essentially out of surface, even though they  
25 had minimized and shunted gas to different facilities to

1 try to minimize that effect.

2 Bottom line, all the tubing was pulled  
3 again, re-inspected. We put new -- we put the J55  
4 tubing, instead of the L80, that is lined because that  
5 was available to be tested and put back in, and we knew  
6 that we could make that tubing work and that that tubing  
7 would be corrosion resistant. It still has the CRA at  
8 the bottom and the downhole pressure monitoring, et  
9 cetera. That was put back together.

10 And basically what I've just described to  
11 you is what is summarized in the three pages that I gave  
12 you.

13 The well was put back into service about  
14 two weeks ago, and we've been monitoring the injection  
15 parameters closely during that period of time, and it  
16 appears that the problems are resolved. And we feel  
17 that both the added casing -- intermediate casing and  
18 the use of this WellLock cement will -- and the  
19 replacement of the packer fluid with the appropriate  
20 corrosion-inhibited diesel packer fluid will result in a  
21 well that continues to operated appropriately.

22 I have recommended to Targa that they  
23 obtain a new tubing string with the appropriate VAM TOP  
24 threads that they have on hand and as a critical spare  
25 for the well.

1           In addition -- one thing that Mr. Goetze  
2 had not mentioned -- we had submitted, a few months  
3 back, an application that's pending, and we're  
4 anticipating that the Division will approve for another  
5 well, a redundant well, so that this facility will end  
6 up with two wells into the Devonian at that location.

7           So basically I think that is a summary of  
8 what occurred. I think that both the Division and our  
9 client and ourselves certainly have emphasized to Targa  
10 the need for better quality control on the companies  
11 that actually do the drilling and installation of the  
12 well, and I think they recognize that. And I think they  
13 hopefully have learned their lesson about penny wise and  
14 pound foolish. But it is a struggle that continues and  
15 not unlike what sometimes happens with other -- it's by  
16 no means only a situation with Targa. But sometimes  
17 people lose track of -- especially in these well  
18 operations.

19           Like I said, I think it would have been  
20 much better and it would have saved a lot more money if  
21 they had plugged the well from when they first saw that  
22 casing-integrity problem rather than try to repair it.  
23 But, of course, they also were under pressure from NMED  
24 to minimize the amount of time that the flaring would be  
25 taking place. So I think there were a lot of forces

1 pushing in one way or another.

2 But I think this summary which I've  
3 provided you, I think summarizes these activities quite  
4 clearly. It also gives the final design for the well as  
5 installed. And within the next two to three days -- we  
6 just finished it this week. The full, what we call,  
7 end-of-well report, which is that huge binder that gives  
8 everything that happened during the installation of the  
9 well, will be provided to the Division later this week.  
10 And hopefully we will soon have an application approved  
11 for another well and that Targa will schedule this  
12 according to their capital constraints, probably to  
13 install in 2018.

14 So that really is the summary of where we  
15 are. If the Commission has any questions, I'd be happy  
16 to try and answer them.

17 COMMISSIONER BALCH: I'm glad they decided  
18 to drill the redundant well. I think they have ample  
19 evidence of that now?

20 MR. GUTIERREZ: Yes, sir.

21 COMMISSIONER BALCH: Eight months of  
22 downtime?

23 MR. GUTIERREZ: Yes, sir.

24 COMMISSIONER BALCH: When you re-entered  
25 the formation, were you able to gather fluid and any

1 sort of formation samples? I presume there wasn't any  
2 coring, but --

3 MR. GUTIERREZ: No. We did actually core  
4 the cap rock.

5 COMMISSIONER BALCH: Okay.

6 MR. GUTIERREZ: We decided not to core the  
7 formation because of just safety issues. I mean, we  
8 tried to just keep that acid gas down there, not let it  
9 up. So we did not really get a formation fluid sample.  
10 We did, however, run a formation microimaging log of the  
11 formation and gathered some additional, I think, better  
12 evidence, and we did do a long-term injectivity and  
13 step-rate test and falloff test. So we did gather  
14 baseline data on the reservoir.

15 It really has not pressured up to any  
16 degree from the initial injection. I mean, we noticed  
17 that it -- it's a pretty stout reservoir in that area.  
18 There is a lot of secondary porosity associated with  
19 dissolution of the Devonian, and in particular the  
20 Fusselman dolomites in that area. So we have gathered,  
21 I think, the baseline information.

22 And one thing that Mr. Goetze did not  
23 mention is that the revised order does, one, bring this  
24 well up to speed in terms of annual MITs, the routine  
25 monitoring of downhole PT conditions and the quarterly

1 reporting of those conditions to the Division. And, of  
2 course, we, prior to getting the well into service, did  
3 discuss with the Division the immediate notification  
4 parameters that would indicate that the Division will  
5 receive notice immediately if there is any kind of  
6 situation that indicates that we're having any problems  
7 with the well. So that's where we are.

8 CHAIRMAN CATANACH: I guess I've got a  
9 couple.

10 Mr. Gutierrez, does the existing well have  
11 the capacity to take all the gas that's being produced  
12 there?

13 MR. GUTIERREZ: Yes, sir. It has capacity  
14 to take about twice what their max allowable rate is.

15 CHAIRMAN CATANACH: Okay. So it's handling  
16 everything right now?

17 MR. GUTIERREZ: Yes, sir.

18 CHAIRMAN CATANACH: Are you strictly  
19 injecting the acid gas into this well now?

20 MR. GUTIERREZ: Yes, sir. There is no  
21 water.

22 CHAIRMAN CATANACH: And the application for  
23 the redundant well has been filed and is currently under  
24 review?

25 MR. GOETZE: We're at this point now where



1 we're moving forward. The Division has incorporated its  
2 previous order, the administrative order, for the D2  
3 replacement well, the second well. A lot of the  
4 requirements have come out of a Commission hearing as  
5 far as acid gas wells. Our feelings are that because we  
6 are working in an area that has already been reviewed  
7 extensively for the first well, that issuing  
8 administrative orders is the best route. We feel that  
9 we have enough information on AOR wells and the current  
10 situation, plus additional information that comes in  
11 with each application.

12           The #3 well is proposed to be approximately  
13 200 feet north of the #2 well, so we're sharing the same  
14 reservoir information, same OR wells, same notification  
15 process. And in the effort for the #3, Targa, Geolex  
16 has duplicated their effort to have the double sheathing  
17 and all the materials that went into this newer well, so  
18 we have the same level of confidence as well as quality  
19 that we can expect for the product in the #1 well.

20           MR. GUTIERREZ: Also, further comment on  
21 that aspect just to make sure that the Commission  
22 realizes it. As part of the application for both this  
23 initial replacement well, which was approved  
24 administratively, as well as for the #3 well, which is  
25 currently pending, we did provide individual notice to

1 all of the parties that were noticed the first time, and  
2 there were no concerns or objections, even though we  
3 didn't go to hearing on it.

4 COMMISSIONER BALCH: So when you offset a  
5 well and redrill -- and this may occur again in a  
6 30-year operation on this site -- do you run into any  
7 danger of including additional wells in your area of  
8 review as you step out?

9 MR. GUTIERREZ: Absolutely. I mean, we --  
10 as part of the application for the wells, we do do an  
11 additional -- essentially, the application is as if it  
12 were a brand-new well. So we go back and look at any  
13 changes in the existing wells or the completion status  
14 of those wells within the area of review.

15 COMMISSIONER BALCH: I'm thinking --

16 MR. GUTIERREZ: And you're saying expanded  
17 area of review because of the already injection?

18 COMMISSIONER BALCH: Well, because you  
19 offset your well a few hundred feet, and you increase  
20 your one-mile radius in that direction.

21 MR. GUTIERREZ: Yes, we do. Yes. We  
22 exactly do.

23 COMMISSIONER BALCH: I'm thinking ahead  
24 towards any potential future acid gas rule. It might be  
25 advisable to permit an area rather than a particular

1 well site.

2 MR. GUTIERREZ: I think that does make some  
3 sense, and that's an issue that I've discussed with  
4 Mr. Goetze on numerous occasions. And we really do need  
5 these acid gas rules. I mean -- so I understand the  
6 Division's very busy, and I personally will help in any  
7 way I can to -- as I have in the past, to participate in  
8 development of that.

9 But one other thing which I will mention to  
10 the Commission aside from this point that I would  
11 encourage the Division to do. I don't know whether it  
12 is something that you have the authority to do  
13 unilaterally. I believe that you do, however. And one  
14 is that, you know, we do -- you know, we've been doing  
15 this now for 15 years. We've got acid gas wells that  
16 have been put in at a variety of different points in the  
17 evolution of the understanding of how to do this right.  
18 And there are some acid gas wells out in the state here  
19 that still are on one once-every-five-year MIT  
20 requirements. We really need to change that to annual  
21 MIT requirements. And I would think that the universe  
22 of acid gas wells is small enough that that's something  
23 the Division could do, I think, with just a letter  
24 saying, you know -- just like when -- again, I don't  
25 know what the constraints are on the Division doing

1 that, but I think as a matter of policy, that's a wise  
2 policy to have.

3 COMMISSIONER BALCH: Is that something we  
4 can just do?

5 (Laughter.)

6 CHAIRMAN CATANACH: Yes. Yes. Well, I  
7 think we can.

8 COMMISSIONER PADILLA: He's laughing.

9 MR. GOETZE: Yeah. We're laughing.  
10 We've pulled this under Class 2 as a way of  
11 getting it in.

12 COMMISSIONER BALCH: Okay.

13 MR. GOETZE: By rule, we're supposed to be  
14 looking at every well every five years, all 5,000 of  
15 them. I think these require more proactive review, and  
16 I think that we've been lax in that because these have  
17 gone along so well without issue. And then, of course,  
18 the big thing is that when they fail, it's not just a  
19 little bit of water and an aquifer. We have a very  
20 toxic substance that's going into the ground in a  
21 high-volume area associated, which can cause ripple  
22 effects. The flaring alone was big enough to cause  
23 everybody to stand up.

24 MR. GUTIERREZ: Right. Yeah. I think that  
25 also the operators are beginning to understand that, you

1 know, when you do -- if you run into a problem with one  
2 of these wells, it's not something that you can solve  
3 like that (snapping fingers). And they, I think, now  
4 have integrated in their minds that if their well fails,  
5 they can't operate their plant. And that means that  
6 there is a lot of flaring that goes on, as Mr. Goetze  
7 was describing. So I think people are beginning to  
8 understand that the redundancy of the well is a critical  
9 part of the operation. But that's something, I think,  
10 again, to look at in the AGI rules.

11 COMMISSIONER BALCH: I agree.

12 COMMISSIONER PADILLA: Have you revised  
13 your estimate for the well life on the second well  
14 downward somewhat?

15 MR. GUTIERREZ: No.

16 COMMISSIONER PADILLA: No?

17 MR. GUTIERREZ: I believe that the -- you  
18 know, our history has indicated that these wells have  
19 that lifetime if they're operated properly and designed  
20 and constructed properly. But yes. Are there problems  
21 that can occur when you have, you know, any kind of  
22 mechanical incidents? Yes. But there is a  
23 difference -- like I'll give an example.

24 We had a tubing leak back in 2011 -- end of  
25 2011 and the beginning of 2012 in a DCP well at Linam

1 which has to be reworked, and subsequently we put in a  
2 redundant well out there. And now we are going back to  
3 the first well, as a matter of fact, later this month  
4 and reworking the first well to upgrade it to the  
5 current requirement even though it's still operating  
6 well and it's been -- and we've been reporting on it  
7 monthly for five years ever since that workover.

8                   So there is some maintenance that is  
9 required periodically in these wells, but, I mean, if  
10 the wells are designed and operated properly, they  
11 should have a 30- to 40-year life.

12                   COMMISSIONER PADILLA: So the Monument  
13 Number 1 is a domino effect of unfortunate mechanical  
14 circumstances?

15                   MR. GUTIERREZ: Yes. And I would say  
16 probably less than optimal operation as well.

17                   COMMISSIONER PADILLA: Okay.

18                   The L80 was the tubing that had a bad  
19 cross-over in it?

20                   MR. GUTIERREZ: Yes, sir.

21                   COMMISSIONER PADILLA: So you went back to  
22 the J55?

23                   MR. GUTIERREZ: No, no. It's fiberglass  
24 lined.

25                   COMMISSIONER PADILLA: The J55?

1 MR. GUTIERREZ: Yes.

2 COMMISSIONER PADILLA: Okay. What was the  
3 spec on the casing that collapsed? Do you know what the  
4 weight was, 110, 180, something like that?

5 MR. GUTIERREZ: No. It was --

6 MR. GOETZE: I believe I remember it being  
7 lighter. It was at a transition point, so that's  
8 what --

9 MR. GUTIERREZ: I don't recall specifically  
10 what the original casing spec on that was.

11 COMMISSIONER PADILLA: So during the  
12 squeeze, the casing collapsed on the squeeze tubing?

13 MR. GUTIERREZ: Yes, sir. You had to mill  
14 that out --

15 COMMISSIONER PADILLA: Mill that out.

16 MR. GUTIERREZ: -- to be able to plug the  
17 well.

18 COMMISSIONER PADILLA: Did it eventually  
19 mill out through the sidewall? Is that where you got  
20 the San Andres coming into play?

21 MR. GOETZE: That's what we believe.

22 MR. GUTIERREZ: Yeah. Well, plus we  
23 already had a hole in the integrity --

24 MR. GOETZE: Yeah.

25 MR. GUTIERREZ: But once it collapsed, yes.

1 MR. GOETZE: And only 5 feet or 10 feet.

2 So at that point, it was -- it was very obvious that  
3 this was not going to come back. Again, it was an  
4 earlier well. The design of it was -- was done  
5 correctly at best technology at that time. However,  
6 upon review and upon the practice, we could see it was  
7 wholly insufficient.

8 MR. GUTIERREZ: And, frankly, if it had  
9 been operated the way it was intended to be operated, I  
10 don't think we would be here today. If it had continued  
11 to be operated as a wet injection well, it would have  
12 been less likely that we would have had a leak out of  
13 the lined J55 tubing to begin with.

14 COMMISSIONER PADILLA: So has Targa learned  
15 their lesson on that one?

16 MR. GUTIERREZ: I would hope so. Yes, sir.  
17 And I believe so.

18 CHAIRMAN CATANACH: Do you know what the  
19 casing spec is, 9-7/8 or the new --

20 MR. GUTIERREZ: Okay. 9-5/8 is 40-pound  
21 J55 STC, and that goes all the way to -- to the --  
22 immediately above the Woodford, which is a depth of  
23 8,300 feet. Then we have within that production casing  
24 which is at 29-pound HCP and 10 LTC, and that goes down  
25 to 8,050 feet. And then we have 300 feet of -- we have



1 a cross-over and then 300 feet of Sumitomo 2535 [sic]  
2 VAM TOP, which is a corrosion-resistant casing, down to  
3 the top of the injection zone at 8,350. And from there,  
4 we have open hole in the Devonian below that.

5           So now the entire -- you know, we basically  
6 have two sheets of casing all the way down. And in  
7 between it, we have -- another improvement which is  
8 incorporated into -- and we have incorporated it into  
9 all of our wells now is there is available, since about  
10 a year and a half, two years ago, a new type of resin  
11 cement that is more flexible and more corrosion  
12 resistant than the previous Portland-based products that  
13 were sold by both Halliburton and Schlumberger as  
14 corrosion resistant. Schlumberger has a tradename,  
15 EverCRETE, and that is their corrosion-resistant  
16 Portland-based cement. And the same thing -- I can't  
17 remember the name of Halliburton's equivalent, but now  
18 they also have this WellLock resin cement, which is even  
19 more resistant to both CO2 and H2S and carbonic and  
20 sulfuric acid.

21           So I think it works better because it flows  
22 better, and it also works better because it is more  
23 resistant and is less likely to result in a  
24 micro-annulus between the casing and the cement.

25           The bad -- the flip side is -- you know,

1 like, for example, the cement job on this well just for  
2 the WellLock portion was \$380,000, you know. So this  
3 stuff costs like \$2,000 or \$3,000 a barrel. So, you  
4 know -- but that's the way it is. That's what you've  
5 got to use, in my view.

6 COMMISSIONER PADILLA: You can contrast  
7 that with eight months of downtime.

8 MR. GUTIERREZ: Yes, sir.

9 COMMISSIONER BALCH: And a new well and  
10 \$5 million of work to get it in and it didn't do  
11 anything.

12 MR. GUTIERREZ: That's right. And another,  
13 you know, three-quarters of a million to plug it. Yeah.  
14 That's right.

15 CHAIRMAN CATANACH: Mr. Goetze, when can  
16 you have the acid gas rules ready to go?

17 (Laughter.)

18 MR. GOETZE: Tomorrow. It depends on -- we  
19 also have a new requirement, I believe, coming out in  
20 the rulemaking process. We have to resolve that, at  
21 least get some guidelines. So if it's going to happen  
22 after July 1st, then we're going to be playing with a  
23 new set of rules. So it doesn't mean we can't revise,  
24 we can't include what we've learned from the recent  
25 progress, but we could have them done fairly quickly.

1                   CHAIRMAN CATANACH: You also may have to  
2 account for the furloughs.

3                   MR. GOETZE: Well, I mean, you just write  
4 at home.

5                   MR. GUTIERREZ: Well, Mr. Chairman and  
6 Commissioners, I think we had a pretty good base put  
7 together the last time we spent a year and a half  
8 putting these rules together, with a combined industry  
9 and a stakeholder group, and I think that, you know, it  
10 could pick up where we left off there fairly well.

11                   COMMISSIONER BALCH: We can take some  
12 guidance from what the Commission has done on all those  
13 other applications.

14                   CHAIRMAN CATANACH: I guess the only other  
15 issue I have with this --

16                                 And thank you for the presentation. We  
17 appreciate all the information.

18                                 We had voted, basically, to allow  
19 administrative approval of these two particular  
20 applications due to the urgency of the situation. And  
21 going forward, I guess I would like to discuss with the  
22 Commission: Is that a practice that we want to keep,  
23 where we refer these to either administrative approval  
24 or approval before an Examiner Hearing and not before  
25 the full Commission? Do you guys have any thoughts on

1 that?

2 COMMISSIONER PADILLA: Depends how quickly  
3 the rule comes out. In the absence of a rule, I think  
4 it's --

5 COMMISSIONER BALCH: Sort of any new  
6 application, I think, has to come from the Commission.  
7 But in the interest of -- similarly, in the interest of  
8 anything done quickly, I have no problem with notice and  
9 administrative approval -- notice of approval -- notice  
10 from the Commission for a chance to object.

11 CHAIRMAN CATANACH: Notice from the  
12 Commission of the filing of the administrative  
13 application?

14 COMMISSIONER PADILLA: The administrative  
15 application only pertains to these two, correct?

16 CHAIRMAN CATANACH: Were these two  
17 applications processed administratively, Mr. Goetze?

18 MR. GOETZE: Yes. The replacement well and  
19 the next replacement well, we're looking at issuing an  
20 administrative order using the Commission order as a  
21 guidance. So, again, we're looking at wells that are in  
22 the same area. The AOR may shift a little bit, but we  
23 do this a lot for our permit area wells, which are  
24 usually the EOR, enhanced oil recovery operations.

25 COMMISSIONER BALCH: My recollection from

1 the last hearings is that the wells within the AOR and  
2 their disposition is usually one of the hottest issues  
3 we have to address. So shifting your AOR and including  
4 a new well could very well expose some new person to  
5 being affected.

6 MR. GOETZE: Oh, yeah.

7 MR. GUTIERREZ: And consequently that's why  
8 we provide notice to all of those individuals.

9 And I think the, kind of, working approach  
10 has been if we're going into the same zone and it's  
11 basically a redundant well at the same location and  
12 we've noticed all the original parties, plus any other  
13 parties that may be affected by a revised AOR, and there  
14 is no objection, then it seems like it would make sense  
15 do it administratively since the first time around, it  
16 went to the Commission anyway.

17 MR. GOETZE: In this case, for the Monument  
18 #1, Apache did file a protest, along with another party,  
19 and, of course, you had a hearing about the remediation  
20 of it, the AOR well. And so I think in that case, the  
21 Division makes an effort to go out where we've had known  
22 concern and have these people talk with their folks to  
23 make sure that they've had -- and, of course, the magic  
24 of an application being lost within a corporation is  
25 always out there. So the Division makes an effort to

1 communicate directly with the AOR folks who have  
2 previously had issues with the same type of application.

3 COMMISSIONER BALCH: So it might not hurt,  
4 in the rule that you're writing on weekends and on your  
5 furlough days, to permit an area instead of a point  
6 initially.

7 MR. GOETZE: Well, this is something we can  
8 have a discussion about. We could do a combination. I  
9 think having an individual well -- as a disposal well,  
10 we tend to -- under our primacy agreement, area permits  
11 are for EOR projects, whether it's recovery projects,  
12 and then the disposal wells are handled as a singular  
13 well. What it may include is a singular well permit  
14 looking at an area, since these are tied to a facility  
15 that you're going to have --

16 COMMISSIONER BALCH: Add 500 feet to the  
17 area of review.

18 COMMISSIONER PADILLA: Right.

19 COMMISSIONER BALCH: And then you probably  
20 have it covered for future replacement.

21 MR. GOETZE: We're doing a one-mile review  
22 now which doubles what our AOR is under that primacy --

23 COMMISSIONER PADILLA: Right. I mean the  
24 area -- approve the absolute need for redundant wells --

25 MR. GUTIERREZ: Right. I think one of the

1 things to remind the Commission is that you have also  
2 imposed a requirement on most of the -- well, certainly  
3 Commission orders that have been issued in the last four  
4 or five years at least, maybe more to come back to the  
5 Commission with a report after ten years of the  
6 injection which addresses looking at the area. And I  
7 think that, in part, is almost like an area of permit.

8 CHAIRMAN CATANACH: So I guess what I'm  
9 hearing from the Commission is we're comfortable  
10 allowing the Division to continue processing these  
11 applications administratively, unless we have a concern  
12 and want to bring it to Commission hearing? Is that  
13 basically --

14 COMMISSIONER BALCH: I think that before --  
15 I think that a new application should come to the  
16 Commission for a replacement well for any action where  
17 time is of the essence.

18 COMMISSIONER PADILLA: I agree with that.

19 CHAIRMAN CATANACH: Okay. So future  
20 applications in different areas, we'll resume the  
21 practice of bringing them before the Commission,  
22 Mr. Goetze.

23 MR. GOETZE: Very good. And that's all --  
24 the redundant wells need be presented to you, as we have  
25 done now a presentation.

1                   COMMISSIONER BALCH: That will be a  
2 wonderful way to get that information.

3                   MR. GOETZE: Right. Right.

4                   CHAIRMAN CATANACH: Thank you very much,  
5 gentlemen.

6                   MR. GOETZE: Thank you.

7                   MR. BRANCARD: I guess my question is --

8                   MR. GOETZE: Oh, no, the lawyer.

9                   MR. BRANCARD: -- in looking at these older  
10 approvals from 10, 15 years ago that were done by the  
11 Division, to go back to them, what are the primary areas  
12 where you could see those applications? The wells are  
13 already in place. What can you do now to improve the  
14 safety factors related to those wells?

15                   MR. GUTIERREZ: My personal opinion, two  
16 things: One, annual MITs; two, the requirement of  
17 periodic, whether it be quarterly or annual, submission  
18 to the Division of analysis of the primary injection  
19 parameters and how the wells are doing, the same kind of  
20 thing that we're providing -- a requirement of all of  
21 the new orders that you've put out.

22                   MR. GOETZE: We may also run into the fact  
23 that many of the earlier wells don't have the parameters  
24 that are in place now for pressure testing, and so  
25 pressure temperature information may not be available.



1 But certainly, as a Division, our view of moving up and  
2 making these annual MITs certainly is something that is  
3 historically proven to be very, very beneficial.

4 MR. GUTIERREZ: And I would add, from my --  
5 or just a small modification to what Mr. Goetze said.  
6 There is definite -- all of these wells have PT  
7 information at the surface. It's just that they don't  
8 all have PT information in the downhole, and even some  
9 of the wells that have installations of that, it has  
10 worked less than -- because I think that technology is  
11 still kind of developing. But it does provide some help  
12 for sure.

13 COMMISSIONER BALCH: You can do  
14 intermittent monitoring of pressure temperature in an  
15 existing well using memory gauges.

16 MR. GUTIERREZ: Yes, sir. Absolutely.

17 COMMISSIONER BALCH: So you could go on and  
18 run a one-month sample or every six months, something  
19 like that, a wireline, without disruption to the well.  
20 Well, limited disruption.

21 MR. GUTIERREZ: Yeah. I mean, an acid gas  
22 well is a little bit more difficult because you  
23 definitely have to put in a lubricator and all these --  
24 but -- so I wouldn't -- I think we've come up with an  
25 approach with the Division, as a matter of fact, to

1 address this on an interim basis because what we've come  
2 up with is that if -- for example, for wells that have  
3 downhole PT gauges and then those PT gauges fail, you  
4 know, you don't necessarily want to take the whole well  
5 apart just to go replace PT gauge at the bottom and that  
6 there are some procedures that we have agreed upon with  
7 the Division and have included in applications of what  
8 we do if they should fail in terms of putting in  
9 temporary gauges, how often we put them in, and then how  
10 many years you have until you can -- that you can do  
11 that until you have to go in and work over the well and  
12 put a new PT gauge that works.

13 COMMISSIONER BALCH: Well, a PT gauge  
14 is -- when you use that project downhole, you-all did a  
15 CO2 storage and EOR project. We have a downhole  
16 pressure temperature, and through then the tubing right  
17 above the packer, and then from that point up to the  
18 surface, we have distributed temperature, correct? It's  
19 a fiber-optic cable that measures temperature in the  
20 annular space --

21 MR. GUTIERREZ: Yes.

22 COMMISSIONER BALCH: -- at a fairly -- any  
23 sort of frequency --

24 MR. GUTIERREZ: We use that when we test  
25 the wells.

1                   COMMISSIONER BALCH: Yeah. But if you  
2 leave that in permanently, it gives you a much better  
3 indication of a wellbore leak.

4                   MR. GUTIERREZ: Absolutely. Absolutely.

5                   COMMISSIONER BALCH: Good stuff.

6                   CHAIRMAN CATANACH: So I guess we can work  
7 on the process of how we would like to get these permits  
8 amended. We can notify the Applicant of those  
9 particular wells and then request an amendment to the  
10 order, and if they object, we can give them the  
11 opportunity for hearing, or we'll figure something out.  
12 We definitely have to check the accuracy of those older  
13 wells.

14                  MR. GOETZE: I'm sure the Commission would  
15 like to have more hearings on acid gas wells.

16                  COMMISSIONER BALCH: Personally, I find  
17 them fascinating.

18                  (Laughter.)

19                  MR. GOETZE: I know you do. One out of  
20 three is not bad.

21                  MR. GUTIERREZ: So do I, by the way.

22                  CHAIRMAN CATANACH: All right. Thank you,  
23 gentlemen.

24                  MR. GUTIERREZ: Thank you, Commissioners.

25                  (The status report concludes, 10:16 a.m.)

1 STATE OF NEW MEXICO  
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court  
6 Reporter, New Mexico Certified Court Reporter No. 20,  
7 and Registered Professional Reporter, do hereby certify  
8 that I reported the foregoing proceedings in  
9 stenographic shorthand and that the foregoing pages are  
10 a true and correct transcript of those proceedings that  
11 were reduced to printed form by me to the best of my  
12 ability.

13 I FURTHER CERTIFY that the Reporter's  
14 Record of the proceedings truly and accurately reflects  
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither  
17 employed by nor related to any of the parties or  
18 attorneys in this case and that I have no interest in  
19 the final disposition of this case.

20

21

22

MARY C. HANKINS, CCR, RPR  
Certified Court Reporter  
New Mexico CCR No. 20  
Date of CCR Expiration: 12/31/2017  
Paul Baca Professional Court Reporters

23

24

25