

STATE OF NEW MEXICO.  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

APPLICATION OF MESQUITE SWD, INC. CASE NO. 20472  
FOR APPROVAL OF A SALTWATER DISPOSAL  
WELL, EDDY COUNTY, NEW MEXICO.

APPLICATION OF MESQUITE SWD, INC. CASE NOS. 20313,  
FOR APPROVAL OF A PRODUCED WATER 20314  
DISPOSAL WELL, EDDY COUNTY, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

VOLUME 2 of 2

June 28, 2019

Santa Fe, New Mexico

BEFORE: WILLIAM V. JONES, CHIEF EXAMINER  
MICHAEL McMILLAN, TECHNICAL EXAMINER  
BILL BRANCARD, LEGAL EXAMINER

This matter came on for hearing before the  
New Mexico Oil Conservation Division, William V. Jones,  
Chief Examiner; Michael McMillan, Technical Examiner;  
and Bill Brancard, Legal Examiner, on Friday, June 28,  
2019, at the New Mexico Energy, Minerals and Natural  
Resources Department, Wendell Chino Building, 1220 South  
St. Francis Drive, Porter Hall, Room 102, Santa Fe, New  
Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR  
New Mexico CCR #20  
Paul Baca Professional Court Reporters  
500 4th Street, Northwest, Suite 105  
Albuquerque, New Mexico 87102  
(505) 843-9241

1 APPEARANCES

2 FOR THE APPLICANT MESQUITE SWD, INC.:

3 DEANA M. BENNETT, ESQ.  
SUSAN BISONG, ESQ.  
4 MODRALL, SPERLING, ROEHL, HARRIS & SISK, P.A.  
500 4th Street, Northwest, Suite 1000  
5 Albuquerque, New Mexico 87102  
(505) 848-1800  
6 deanab@modrall.com  
sbisong@modrall.com  
7

8 FOR PROTESTANT NEW MEXICO OIL CONSERVATION DIVISION:

9 DAVID K. BROOKS, ESQ.  
ENERGY, MINERALS & NATURAL RESOURCES DEPARTMENT  
10 OFFICE OF GENERAL COUNSEL  
1220 South St. Francis Drive  
11 Santa Fe, New Mexico 87505  
(505) 476-3415  
12 david.brooks@state.nm.us

13 FOR INTERESTED PARTY BLACKBUCK RESOURCES:

14 ERNEST L. PADILLA, ESQ.  
PADILLA LAW FIRM, P.A.  
15 1512 South St. Francis Drive  
Post Office Box 2523  
16 Santa Fe, New Mexico 87504  
(505) 988-7577  
17 padillalaw@qwestoffice.net

18 FOR INTERESTED PARTIES SOLARIS WATER MIDSTREAM AND  
KAISER-FRANCIS OIL COMPANY:

19 JAMES G. BRUCE, ESQ.  
20 Post Office Box 1056  
Santa Fe, New Mexico 87504  
21 (505) 982-2043  
jamesbruc@aol.com  
22

23 ALSO PRESENT: Mr. and Mrs. Baker  
Ms. Kathleen Murphy, NMOCD  
24  
25

1	INDEX	
2		PAGE
3	Case Numbers 20472, 20313, 20314 (Cont'd)	5
4	Short Summary By Ms. Bennett	7
5	Short Summary by Mr. Bruce	10
6	Short Summary by Mr. Padilla	11
7	Short Summary by Mr. Brooks	12
8	New Mexico Oil Conservation Division's Case-in-Chief:	
9	Witnesses:	
10	Phillip R. Goetze:	
11	Direct Examination by Mr. Brooks	16, 23
	Voir Dire Examination by Examiner Jones	22
12	Cross-Examination by Ms. Bennett	103
	Cross-Examination by Mr. Padilla	166
13	Cross-Examination by Mr. Bruce	175
	Cross-Examination by Examiner McMillan	180
14	Cross-Examination by Examiner Brancard	184
	Cross-Examination by Examiner Jones	194
15	Redirect Examination by Mr. Brooks	204
	Recross Examination by Ms. Bennett	207
16		
	Mesquite SWD, Inc.'s Rebuttal Case:	
17	Witnesses:	
18	Todd Reynolds:	
19	Direct Examination by Ms. Bennett	216
20	Cross-Examination by Examiner Jones	236
	Cross-Examination by Examiner Brancard	239, 243
21	Recross Examination by Examiner Jones	242, 250
	Cross-Examination by Mr. Brooks	247
22	Redirect Examination by Ms. Bennett	252
23	Closings Statements/Statement of The Baker Ranch	254 - 261
24	Proceedings Conclude/Certificate of Court Reporter	265
25	EXHIBITS OFFERED AND ADMITTED	

1		PAGE
2	Mesquite SWD, Inc. Exhibit Number 1 with	
3	Tabs A through F; Exhibit Number 2 with	
4	Tabs A and B; and Exhibit Numbers 3 through 5	10
5	Mesquite Rebuttal Exhibit Number 1	253
6	NMOCD Exhibit Number 1 through 11	103
7	Typewritten Statement on Behalf of Jesse Baker and	
8	The Baker Ranch in Mesquite SWD, Inc.'s Application	
9	for an SWD well, Case Number 20472	253
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25	(8:38 a.m.)	

1                   EXAMINER JONES:  Let's go back on the  
2   record in the docket for June 27th.  This is actually  
3   June 28th.  We have three cases we continued from May  
4   31st.  I'm William V. Jones.  This is Bill Brancard and  
5   Michael McMillan.

6                   We're going to again call for appearances  
7   in the cases.  These are the cases of application of  
8   Mesquite SWD, Incorporated to approve produced water  
9   disposal wells -- well in Eddy County, New Mexico.  We  
10   have three cases styled the same way, Case Numbers  
11   20472, 20313 and 20314.

12                  Call for appearances.

13                  MS. BENNETT:  Good morning and thank you  
14   being here today.

15                  My name is Deana Bennett, and I'm here on  
16   behalf of Mesquite SWD, Inc.  And with me today is Susan  
17   Bisong also from my firm, Modrall, Sperling.  And also  
18   with us today are Clay Wilson and Riley Neatherlin from  
19   Mesquite SWD, and the Bakers of the Baker Ranch are also  
20   with us here today.

21                  Thank you.

22                  EXAMINER JONES:  Other appearances?

23                  MR. BRUCE:  Mr. Examiner, Jim Bruce of  
24   Santa Fe.  I'm representing Kaiser-Francis Oil Company  
25   in one of the Mesquite cases -- I think it's -- I can't

1     remember which number -- and Solaris Water Midstream,  
2     LLC in all of the cases. I have no witnesses in these  
3     matters.

4                     EXAMINER JONES: Mr. Padilla.

5                     MR. PADILLA: I'll let Mr. Brooks go first.

6                     MR. BROOKS: Okay. David Brooks, Energy,  
7     Minerals and Natural Resources Department, General  
8     Counsel Section, representing the Division -- the Oil  
9     Conservation Division.

10                    MR. PADILLA: Mr. Examiner, Ernest L.  
11     Padilla, Padilla Law Firm, Santa Fe, for Blackbuck  
12     Resources, Inc.

13                    EXAMINER JONES: Any other appearances?

14                    We understand Mr. Roach had appeared for a  
15     party that's in the back. We've got that on record,  
16     though.

17                    MR. BROOKS: I believe we do. Yes.

18                    EXAMINER JONES: I was just making sure  
19     nobody else showed up because we continued these cases.

20                    Before we get started, I'm going to pretend  
21     that we didn't quite remember what's going on here, so  
22     instead we have a fishing hole, we asked why we're here,  
23     and so I'd ask Ms. Bennett to please summarize your case  
24     and why you brought these cases.

25                    MS. BENNETT: Thank you. I appreciate the

1 opportunity to summarize the status of where we are  
2 today and give everyone a refresher, since it's been  
3 just over a month, I think, since we last met on these  
4 cases.

5               What Mesquite is here today for and has  
6 brought these cases for is to have three applications  
7 approved, and those are in Case Numbers 20313, 20314 and  
8 20472. Mesquite originally filed those applications  
9 administratively. They were filed as administrative  
10 applications in July and, I want to say, August or  
11 September, and the Division denied those applications  
12 administratively based on a rote application of the  
13 1.5-mile spacing requirement or rule or policy or  
14 guideline -- I'm not sure what to call it -- and stated  
15 that Mesquite could seek a hearing examiner hearing of  
16 those -- of the applications, specifically the Laguna  
17 Salada applications.

18               So Mesquite then filed for a hearing  
19 examiner review of the three applications, and Mesquite  
20 is requesting that those three applications be analyzed  
21 and approved under the regulations -- or under the  
22 regime, for lack of a better word, that was in place at  
23 the time applications were submitted, which was a  
24 one-mile spacing requirement -- or understood to be a  
25 one-mile spacing requirement. After the applications

1     were submitted, at some point the Division determined,  
2     without notice or an opportunity for comment by anyone,  
3     that there should be a 1.5-mile spacing requirement, and  
4     it was that requirement that was used to deny Mesquite's  
5     application.

6                     So Mesquite is here today and has been here  
7     just asking for the Division to apply the spacing  
8     requirement that was in place at the time that Mesquite  
9     filed its applications. There were no other  
10    deficiencies with Mesquite's applications noted at the  
11    time, and so Mesquite is here asking for those  
12    applications to be approved under the regime that was in  
13    place at the time.

14                    And so Mesquite really has two points in  
15    its -- that we made last month in these cases, first  
16    that the 1.5-mile spacing requirement has no basis in  
17    the rules or regulations or law and so shouldn't have  
18    been applied mechanically. And even if there was some  
19    1.5-mile spacing requirement that could be applied, its  
20    application is not warranted here under the facts of  
21    these cases and the site-specific analysis that was done  
22    for these cases by experts in geology, geophysics,  
23    seismology, reservoir engineering studies. All of those  
24    site-specific, locations-specific analyses demonstrated  
25    that even if the 1.5-mile spacing requirement is somehow



1 warranted, that it's not warranted for application to  
2 these three wells.

3 And so we made it through our case-in-chief  
4 last time. We put on -- and by we, I mean Mesquite. We  
5 put on all of our expert witnesses, and at the end of  
6 the day, we recessed to today to allow for the direct  
7 examination of Mr. Goetze by Mr. Brooks and  
8 cross-examination by myself and the other two lawyers  
9 who have entered their cases in these cases, Mr. Padilla  
10 and Mr. Bruce.

11 EXAMINER JONES: Thank you.

12 Any administrative matters we'd like to go  
13 through?

14 MS. BENNETT: Yes. Thank you.

15 At the last hearing, there were some --  
16 there was some discussion about the form of my exhibits,  
17 of Mesquite's exhibit, specifically that the geology  
18 exhibits needed to have headers identifying the  
19 formations. And so I have updated all of the geology  
20 exhibits to show the formation in the header so they're  
21 easier to read. I also consecutively paginated the  
22 exhibits so that when referring to specific exhibits, we  
23 can refer to them by page number rather than by tab or  
24 by subtab. So those are the changes that were made to  
25 the exhibits that I have provided to everyone today --

1 everyone of record, I should say.

2 EXAMINER JONES: Any objection to the  
3 modification of the exhibits that were admitted?

4 MR. BROOKS: No objection, Mr. Chairman.

5 EXAMINER JONES: No objections?

6 MR. PADILLA: None.

7 EXAMINER JONES: Thank you for modifying  
8 them.

9 MS. BENNETT: And I would ask at this time  
10 that the Mesquite exhibits be admitted into the record  
11 in all three cases.

12 (Mesquite SWD, Inc. Exhibit Number 1 with  
13 Tabs A through F; Exhibit Number 2 with  
14 Tabs A and B; Exhibit Numbers 3 through 5  
15 are offered into evidence.)

16 EXAMINER JONES: Okay. Mr. Bruce, can you  
17 summarize what your client has entered in this case?

18 MR. BRUCE: Well, in Case 20314, the Laguna  
19 Salada 19 SWD No. 1, I entered an appearance for  
20 Kaiser-Francis simply because of some terms on -- I  
21 think Kaiser-Francis was looking at some proposed well  
22 locations. But they've agreed -- both parties have  
23 agreed, Mesquite and Kaiser-Francis, so there is no  
24 issue. I'm just preserving their rights by entering an  
25 appearance.

1                   We did not enter an appearance for Solaris  
2    in the three Mesquite cases, but since -- at the last  
3    hearing, it was more or less agreed that Mr. Goetze  
4    should only have to testify once, I entered an  
5    appearance for Solaris in these cases just so I could  
6    cross-examine if necessary.

7                   EXAMINER JONES: Mr. Padilla, your client?

8                   MR. PADILLA: Pretty much in the same boat  
9    as Mr. Bruce. We're here on Case 20463, and the  
10   Division has opposed our case. So we'll see what  
11   Mr. Goetze has to say, and then we'll cross-examine and  
12   do whatever we have to do, and then we'll put on our  
13   case.

14                  In terms of rebuttal witness or anything,  
15   we haven't heard what he has to say, so we will probably  
16   be asking -- I will ask my -- my witnesses to comment on  
17   especially their engineer and UIC expert to comment  
18   on -- on Mr. Goetze's testimony. So we're going a  
19   little bit further than just putting on our case because  
20   of the way this hearing is being conducted so that the  
21   Division will not have to present their case three  
22   different times.

23                  EXAMINER JONES: Okay. And your client  
24   being Blackbuck?

25                  MR. PADILLA: Blackbuck.

1 EXAMINER JONES: Mr. Brooks, can you -- do  
2 you want to summarize what you're going to show us  
3 today?

4 MR. BROOKS: Yes. I believe, Mr. Examiner,  
5 although it's been a while, that the record will reflect  
6 that I reserved opening statement to the beginning of  
7 the Division's case.

8 So, Mr. Chairman and Honorable  
9 Commissioners -- I'm not sure there are any  
10 Commissioners here present. I'm sorry. It's three  
11 people up there.

12 But Mr. Chairman -- Mr. Examiner,  
13 Mr. Counsel, on behalf of the Division, I disagree with  
14 just about everything Ms. Bennett has said, beginning  
15 with the proposition that it's been over a month since  
16 we had -- the hearing started in this case, and I would  
17 point out that May 31st to June 28th is not over a  
18 month.

19 (Laughter.)

20 MR. BROOKS: But be that as it may,  
21 Ms. Bennett's position on the law is very different from  
22 mine except in one respect. I concur that there is no  
23 legally binding policy of 1-1/2-mile separation or any  
24 other amount of separation that would require the denial  
25 of these applications. It cannot be a legally -- a

1   legally binding policy, binding on the Division and on  
2   the applicants because it's not in any rule that has  
3   been adopted and filed with the State Records Office as  
4   a rule, and that is required by the State Rules Act for  
5   any policy that binds persons other than internal  
6   policies that affect only Division personnel.

7                   That does not preclude the Division from  
8   offering evidence or the Division from deciding that  
9   application should be denied because the wells in these  
10   cases are not sufficiently separated to provide the  
11   maximum -- or the effective maximum protection that can  
12   be provided against the possibility of induced  
13   seismicity from the -- from disposal into the Devonian  
14   in these wells. That is a -- that is the position that  
15   the Division takes. The Division does not need, for  
16   this purpose, to distinguish between these wells or the  
17   hypothetical wells because no other hypothetical wells  
18   are at issue in this case.

19                   The Division will offer expert testimony  
20   from Mr. Phillip Goetze that is based on a very large,  
21   very extensive investigation of the literature on the  
22   subject of induced seismicity, and that will tend to  
23   indicate that separation of distance is an important  
24   consideration because if wells are too close together,  
25   you will get a concentrated flow from -- from the wells,

1    which will be -- which will disrupt the pressure regime  
2    existing in nature to a greater extent than a dispersed  
3    or less concentrated or less -- or lower volume  
4    injection.

5                   Furthermore, these wells are close to the  
6    basement, the igneous rocks that form the earth's  
7    surface below the sedimentary crust. Well, of course,  
8    they're part of the crust, too, but -- in which there is  
9    more tectonic activity, and that greater tectonic  
10   activity in the crust makes the deeper formations more  
11   susceptible to induced seismicity.

12                   I know that Mr. Goetze will give us a very  
13   learned discussion of that subject. Now, if he is asked  
14   whether or not he believes that 1-1/2 miles is necessary  
15   for most, if not all wells, he'll probably say that it's  
16   necessary for a lot, and I will leave Mr. Goetze to say  
17   what he does or doesn't say. But that does not affect  
18   that case.

19                   The only thing that affects this case is if  
20   the 1-1/2-mile separation is a reasonable requirement  
21   for this case and these wells, because while there is a  
22   Division policy -- nonbinding policy of an area of  
23   review of one mile -- of one-half mile around injection  
24   wells, there is no rule that says that any well that  
25   is -- that is not within one-half mile of another well

1 automatically gets permitted. It is still necessary for  
2 the Division to decide whether the conditions shown --  
3 there will be an influence -- there will be -- whether  
4 the conditions shown are consistent with maximum  
5 protection of the environment and public health. We  
6 believe that seismicity is part of the environment, and  
7 if it gets too bad, obviously it can affect public  
8 health because people aren't very healthy when the house  
9 falls on them. And, furthermore, we are required to  
10 protect underground sources of drinking water under  
11 federal law, and seismicity can disrupt -- can change  
12 the nature of the formations and, therefore, cause fresh  
13 water to be present where it has not been in the past or  
14 to be absent where it has been in the past.

15 We ask you to listen carefully to  
16 Mr. Goetze's testimony and evaluate it against those  
17 principles.

18 Thank you.

19 EXAMINER JONES: Thank you, Mr. Brooks.

20 We have your prehearing statement, and you  
21 list only one witness. Is that the only witness you  
22 plan on presenting?

23 MR. BROOKS: That is our only witness.

24 EXAMINER JONES: Will the witness please  
25 stand and the court reporter swear the witness?

1                               PHILLIP R. GOETZE,  
2           after having been first duly sworn under oath, was  
3           questioned and testified as follows:

4                               EXAMINER JONES:   You may proceed.

5                               DIRECT EXAMINATION

6   BY MR. BROOKS:

7           Q.    Mr. Goetze, good morning.

8           A.    Good morning.

9           Q.    Mr. Goetze, I'm going to ask you to summarize  
10   your background and qualifications, and then I'm going  
11   to ask you certain specific questions -- qualification  
12   questions and then going to offer you to the Division  
13   examiners as an expert witness.

14                        Would you please summarize your  
15   qualifications as a geologist or, what we call them now,  
16   geoscientists and as a hydrogeologist?

17           A.    My name is Phillip R. Goetze.  I'm currently  
18   employed by the Oil Conservation Division in the  
19   Engineering Bureau.  I was hired in February 2013 and  
20   have been so employed by the Division up to this present  
21   time.

22                        As part of my obligations and requirements  
23   and responsibilities, I have been active in the UIC  
24   program, starting off with initially the review of  
25   applications and, with that, expansion into responsive



1 to EPA, as well as the requirements to fulfill our  
2 obligations under the primacy agreement.

3 In addition to my work as a UIC technical  
4 reviewer, I've also been asked to assist in writing  
5 rulemaking, as well as addressing other issues involving  
6 oil and gas regulations and operations. I've also  
7 participated as a hearing examiner with over 300 cases,  
8 including cases involving saltwater disposal.

9 Prior to this time, I had been employed by  
10 numerous organizations, including private corporations  
11 such as Glorieta Geoscience, Tetra Tech, Guillen  
12 [phonetic], Arctic Slope, which was the original  
13 Leedshill-Herkenhoff, as well as the United States  
14 Geological Survey, the United States Bureau of Mines,  
15 Billings & Associates, Charles B. Reynolds & Associates  
16 and the Bureau of Land Management.

17 With regards to oil and gas, I have  
18 participated in the most significant EIS's regarding  
19 drilling and wilderness in the state of Wyoming. I have  
20 also participated as an oil and gas expert for both  
21 Bureau of Land Management and the USGS in Wyoming and  
22 Nebraska and Kansas and Colorado.

23 On the geohydrology side, I have also done  
24 investigations, hydrologic studies for a variety of  
25 activities ranging from well developments for such

1 entities as the City of Rio Rancho, the Village of Taos,  
2 as well as the City of Albuquerque. I've also  
3 participated in delineation of a variety of  
4 environmental investigations, as well as remediation  
5 ranging from volatile organics through RPRA [sic;  
6 phonetic] items, as well as inorganics such as nitrate  
7 plumes. I have appeared before -- I have submitted  
8 decision documents for Interior Board of Land Appeals  
9 and have been deposed in federal court and also have  
10 appeared before Commission in questions where I  
11 represented the Division.

12 Along with that, I've been doing it for 40  
13 years.

14 **Q. Does your experience include extensive**  
15 **involvement with consideration of the issues of induced**  
16 **seismicity?**

17 A. It is a process we have been learning over the  
18 last five years.

19 **Q. Have you written some papers on the subject?**

20 A. No. I have not written any papers.

21 **Q. But you have a summary of this, do you not,**  
22 **that's included in your exhibits?**

23 A. At the direction of the Division Director, we  
24 have made an attempt to compile the best information  
25 available, as well as consult those that are more

1 knowledgeable in the Division in an effort to build a  
2 base of information.

3 Q. And were you primarily involved that effort?

4 A. Yes, I was.

5 MR. BROOKS: Mr. Examiner, I submit  
6 Mr. Goetze as an expert hydrologist -- I'm sorry --  
7 geologist and hydrogeologist.

8 EXAMINER JONES: Any objection to that?

9 MS. BENNETT: I don't have any objections  
10 to Mr. Goetze being identified as an expert in geology  
11 and hydrogeology, but by his own admission, he is not an  
12 expert in induced seismicity or seismology and has not  
13 prepared any studies of his own relating to seismology.  
14 And so I would object to him being admitted as a  
15 seismologist or having -- or even -- other than  
16 summarizing other people's work, presenting any of his  
17 own opinions about induced seismology because by his own  
18 admission, he is not qualified for that.

19 MR. BROOKS: I would dispute that he has  
20 said anything that would not qualify him as a  
21 seismologist other than the last question -- most  
22 seismologists would not recognize a geologist as a  
23 qualified expert in seismology, but we believe that --  
24 we would submit that like any expert witness, he is  
25 entitled to rely on those materials that are reasonably

1    relied on by a person -- customarily and reasonably  
2    relied on by a person in their profession and -- though  
3    we would be tendering exhibits on that assumption.

4                   MS. BENNETT:  I have no issue with the  
5    tendering of exhibits based on that assumption, but what  
6    I do object to is any opining on the meaning of those  
7    exhibits for purposes of this hearing.  And I would also  
8    note that Mr. Goetze, although -- while he does have a  
9    storied CV, he does not have any studies that he's  
10   identified related to the specific locations at issue  
11   here, and so that further goes to my objection about him  
12   opining on the seismicity or induced seismicity on these  
13   specific locations.

14                  MR. BROOKS:  I believe, Mr. Examiner, if  
15   Ms. Bennett has objections to particular portions of the  
16   testimony, she should raise those at the time they're  
17   offered.

18                  EXAMINER JONES:  Mr. Bruce?

19                  MR. BRUCE:  No objection to Mr. Goetze  
20   being qualified as an expert witness in the capacity  
21   that Mr. Brooks summarized.

22                  EXAMINER JONES:  Mr. Padilla?

23                  MR. PADILLA:  I have no objection, but I  
24   also second Ms. Bennett's objection on the basis of his  
25   qualification on induced seismology.

1                   EXAMINER JONES: Mr. Brooks, can you repeat  
2 exactly what you -- what you're offering the witness  
3 for?

4                   MR. BROOKS: Geology and -- geology and  
5 geohydrology.

6                   EXAMINER JONES: Petroleum geology?

7                   MR. BROOKS: I did not limit it to  
8 petroleum geology.

9                   EXAMINER JONES: Okay. It's a GSA type of  
10 deal? Covers everything?

11                  MR. BROOKS: Well, yes. Many people think  
12 a lawyer is a lawyer, which would allow me to testify on  
13 the issue of tax law, and I understand that would be  
14 unfair. But then on the other hand, Mr. Goetze's  
15 testimony, I believe, reflects that he has rather  
16 diversified experience in fields of geology.

17                  EXAMINER JONES: Is Mr. Goetze a certified  
18 petroleum geologist?

19                  MR. BROOKS: I don't know. You may ask  
20 him.

21

22

23

24

25

1 VOIR DIRE EXAMINATION

2 BY EXAMINER JONES:

3 Q. Mr. Goetze, are you a certified petroleum  
4 geologist?

5 A. No. I am a certified professional geologist in  
6 the states of Texas, Alaska and Arizona. I'm a  
7 certified environmental manager in the state of Nevada.  
8 I am a chemical and hazardous materials specialist. I'm  
9 a member of AAPG for some 30 years. Let's see. I'm a  
10 member of the ASTM International. I sit on two  
11 committees. Let's see. And I'm also a professional  
12 geologist -- certified professional geologist under the  
13 American Institute of Professional Geologists.

14 Q. Just for the record, New Mexico doesn't have a  
15 certification?

16 A. New Mexico does not have any type of  
17 certification for geologists.

18 Q. But they don't have a limit on practicing as a  
19 geologist in New Mexico based on certification in other  
20 states?

21 A. There is no -- no, they don't.

22 Q. That was poorly worded on my part.

23 EXAMINER JONES: Okay. He is so qualified.

24 MR. BROOKS: Thank you.

25

1 CONTINUED DIRECT EXAMINATION

2 BY MR. BROOKS:

3 Q. Now, Mr. Goetze, you have before you a volume  
4 of exhibits, which we will intend to offer, of which you  
5 have compiled, right?

6 A. That is correct.

7 Q. And most of these exhibits relate to induced  
8 seismicity in some way; do they not?

9 A. That's correct.

10 Q. And are all of the exhibits that you will be  
11 discussing materials that a geologist would reasonably  
12 rely upon to form opinions?

13 A. That is correct.

14 Q. Okay. Would you -- well, the sum of your  
15 exhibits are actually just descriptive in this case and  
16 that is true, is it not, of Exhibit Number 1?

17 A. That's correct.

18 Q. Would you tell us what Exhibit Number 1 shows?

19 A. Number 1 is a summary of the information that  
20 we put together in regards to giving general guidance of  
21 where -- the cases and the relative relationship to the  
22 information available. This is mostly a summary of what  
23 we put into the prehearing statement, along with a  
24 summary of each well and its well location.

25 Beginning with Figure 1, Figure 1 presents

1 a summary of Cases 20313 and 20314, which are the Laguna  
2 Salada wells, the 13 and 19 wells. The 13 well and the  
3 19 well are plotted with the yellow on the map and is  
4 shown with respect to a population of blue circles,  
5 these being approved wells with either orders existing  
6 that are still active, as well as -- or wells that are  
7 being drilled. The significance here is showing that we  
8 received the two applications, the Laguna Salada 13 and  
9 the Laguna Salada 19, plotted them, along with another  
10 application that came in at the time, which was the  
11 Laguna Salada 7. Review and placement of these wells  
12 placed the Laguna Salada -- the two Laguna Salada in  
13 close proximity to each other, roughly a little more  
14 than a mile.

15 With respect to existing -- existing orders  
16 and operations, the Laguna Salada 13 was within a  
17 mile -- 1.08 miles of the Intrepid SWD, which is not  
18 active as an order which is still in standing and at  
19 this time has been acquired by a new operator. Along  
20 with that, to the south, the Laguna Salada No. 19,  
21 plotted to be roughly 1.06 miles, away from the Lakeside  
22 20702 SWD No. 1, which is Mesquite's well as far as  
23 ownership of the order.

24 Other wells in the area but lying outside  
25 what we normally would use as a three-quarter-mile



1 projection includes the Striker SWD No. 1, which is a  
2 commercial well, and the Layla 27, which is a smaller  
3 radius because of the fact that this well was a well  
4 which was permitted much earlier. Its well design is  
5 such that it is limited in its ability to take larger  
6 tubing.

7                   With this projection, we made the  
8 recommendation to the director that the Laguna Salada  
9 SWD No. 1 and the Laguna Salada 19 SWD No. 1 be denied  
10 administratively because of the proximity. And that  
11 would be a proximity not only with existing wells but  
12 between each other.

13                   The third application by Mesquite, which is  
14 Figure 2, was for the Baker SWD No. 1, being Case 20472.  
15 In this case the placement of the Baker with respect to  
16 the DS 6 SWD No. 1 Y created an overlap with a distance  
17 of 1.24 miles as opposed to what we were looking for,  
18 1.5-mile separation.

19                   And also plotted on here was a second  
20 application made by Mesquite for the Red Bellied Cooter  
21 SWD No. 1, which came in after the Baker, which also  
22 would have overlapped the Baker if the Baker had been  
23 approved.

24                   Other than that, the Red Hills SWD No. 2,  
25 by Mewbourne, is significantly far enough away that it

1 raised no concerns.

2                   The final figure shows the relationship of  
3 the Solaris Water Midstream application, which was the  
4 Predator 17 Federal SWD No. 1, Case Number 20465, as  
5 well as the Blackbuck Resources Olive Branch Federal SWD  
6 No. 1, which is Case Number 20463. This area as  
7 depicted shows a little more congested area, especially  
8 with regards to the volume of applications coming in at  
9 this period of time. The Division felt that the  
10 .55-mile separation between the Predator Federal 17 and  
11 the proposed Olive Branch Federal SWD No. 1 was not  
12 going to be a good choice for administrative approval.  
13 With that, projection against existing wells, which  
14 include the Mesquite SWD Station SWD No. 1, which is  
15 active, and the Mesaverde SWD No. 3, which is active, it  
16 really -- the significance of the 1.3 miles was such  
17 that these two wells, the Division felt, was not going  
18 to be a direct issue, but it was going to be a problem  
19 if both of these were approved at the locations  
20 proposed.

21                   The McCloy SWD No. 2, though it is showing  
22 a small radius, it is probably going to have a request  
23 for a change in its operation which may offer the  
24 ability to increase its injection volumes from its  
25 current 15- to 24,000-barrels of water per day. But

1 again, its separation is such that it should not be a  
2 concern.

3 Also within this figure, you will see that  
4 we had Case Number 20462, which was Blackbuck's JJ  
5 Federal SWD No. 1 in Section 18, which they have since  
6 dismissed and removed from the docket. And we still  
7 have a pending OWL SWD Operating application in for the  
8 Cotton Draw SWD No. 1, which is in Section 19.

9 And just as a side note, looking at the  
10 location, there are at least two other pending cases or  
11 protested applications and one which was removed from or  
12 withdrawn from administrative application by the  
13 applicant. So this area as opposed to the other area  
14 shows an intense placement of applications for wells.

15 So the Division's concern in the case of  
16 the Solaris and Blackbuck well is that potential for one  
17 or the other is viable, but the two together represent a  
18 concern and, therefore, were administratively denied and  
19 the opportunity for hearing offered.

20 **Q. Mr. Goetze, to summarize, then, each of these**  
21 **wells that you've discussed that is involved -- the**  
22 **permitting of which is the subject of one of these cases**  
23 **before us today, is either too close, in your opinion --**  
24 **well, I won't ask your opinion right now. I'll wait**  
25 **until after you summarize -- is less than 1-1/2 miles**

1 from another existing well or less than 1-1/2 miles from  
2 another proposed well?

3 A. That is correct.

4 Q. Now, are all of these -- all of these wells to  
5 inject into the Devonian Formation?

6 A. All these wells have been proposed for the same  
7 injection interval and have requested injection rates in  
8 excess of 30- to 40,000 barrels of water per day.

9 Q. In the overall scope of injection applications  
10 that we get, is that a high-volume injection?

11 A. This is a category for which the Division does  
12 feel that we have gone beyond typically what we've seen  
13 in the past, which has always been below 20,000 barrels  
14 per day, and so we have now these larger volumes with  
15 larger capacities. Yes.

16 Q. Now, is the Devonian Formation in this area  
17 productive of oil and gas?

18 A. We have information that it has a low  
19 probability.

20 Q. Okay. I believe that Exhibit -- I want to be  
21 sure I have right what the situation is on these  
22 exhibits, but I believe all the exhibits -- Exhibit 1 is  
23 the only background exhibit, and the remaining exhibits  
24 deal with induced-seismicity issues; is that correct?

25 A. That's correct.

1           Q.    Okay.  Would you go on then to Exhibit 2?  What  
2   is Exhibit 2?

3           A.    Exhibit 2 is the final product of what was the  
4   National Underground Injection Control Technical  
5   Workshop conducted by EPA.  It is entitled "Minimizing  
6   and Managing Potential Impacts of Injection-Induced  
7   Seismicity from Class II Disposal Wells:  Practical  
8   Approaches."

9           Q.    Okay.  And that was authored by the  
10   technical -- technical work group put together by the  
11   United States Environmental Protection Agency?

12          A.    This is correct.

13          Q.    Now, Mr. Goetze, would you summarize for us  
14   what is significant in Exhibit A -- in Exhibit 1?  And  
15   I'm going to allow you to go through and comment on  
16   specific matters in there that you feel are sufficiently  
17   significant to bring to our attention.

18          A.    Exhibit 2 is, shall we say, a snapshot of the  
19   first portion of the guidance document provided to the  
20   Division.  At the beginning of 2015, we received  
21   notification of the issuance of this final document.  
22   With that, it was provided to us by Dallas, by Region  
23   VI, and we were informed that we should review this  
24   document and move forward with what was deemed  
25   appropriate.

1           Q.    Before you go ahead, let me ask one thing at  
2   this point.  Is this the type of reference that as a  
3   geologist you would consider reasonable and customary  
4   for geologists to rely on, the materials in this  
5   document, as a reference?

6           A.    Yes, it is.

7           Q.    Proceed.

8           A.    With the document in hand, it was reviewed.  
9   For this opportunity, there are several areas which  
10  provide information that was utilized by the Division.  
11  The first point would be on page 3 where it cites  
12  "Regulatory Authorities," and it is highlighted to  
13  provide the basis of what we've been doing.  It's an  
14  "Evaluation of induced seismicity is not new to the UIC  
15  program.  Some UIC well classes address seismicity with  
16  specific regulatory requirements.  The Class II UIC  
17  program does not have regulations specific to seismicity  
18  but rather includes discretionary authority that allows  
19  additional conditions to be added to the UIC permit on a  
20  case-by-case basis.  Examples of the discretionary  
21  authority include additional requirements for  
22  construction, corrective action, operation, monitoring  
23  or reporting; (including well closure) as necessary to  
24  protect underground sources of drinking water.  In the  
25  included case studies, the UIC Directors used

1 discretionary authority to manage and minimize seismic  
2 events.

3 "Potential underground sources of drinking  
4 water risks from seismic events could include loss of  
5 disposal well mechanical integrity, impact to various  
6 types of existing wells, changes in underground storage  
7 [sic] of drinking water water level or turbidity, USDW  
8 contamination from a direct communication with the fault  
9 inducing seismicity, or contamination from  
10 earthquake-damaged surface sources. However, EPA is  
11 unaware of any underground source of drinking water  
12 contamination resulting from seismic events related to  
13 injection-induced seismicity."

14 Using that as a basis of moving forward  
15 with some sort of program, we would go into page 9 which  
16 provides the "Geoscience Factors Related to  
17 Injection-Induced Seismicity." With that, two items  
18 stood out with us --

19 MR. BROOKS: But to be sure we're all on  
20 the same page, let me interrupt. The page numbers that  
21 you are referring to begin on the -- well, if you start  
22 on Exhibit 2, behind Tab 2, there is a memorandum of two  
23 pages, and then there is a titled page, one page, and  
24 then there are italics-numbered pages 1 and 2, which  
25 constitute the index, and then there are pages numbered

1 ES-1, 2 and 3. And then you start with page 2 -- no,  
2 page 1 beyond that.

3 Is everybody on the same page?

4 MS. BENNETT: Yes.

5 EXAMINER McMILLAN: It says "Geoscience  
6 Factors," is where we are, on the overhead.

7 Q. (BY MR. BROOKS) Okay. It starts on page 8;  
8 does it not? Are we on page 8, Mr. Goetze?

9 A. We're moving on to page 9.

10 Q. Okay. So we're on page 9. Then continue.

11 A. So from this summary of "Geoscience Factors,"  
12 two items were highlighted by review of the literature.  
13 One is communication with the basement rock. And as  
14 we'll go on, in the case of Dagger Draw, we will see  
15 that this becomes a very important factor, and with  
16 other literature, it has become one of the more  
17 prominent concerns as to injection and separating any  
18 type of injection fluids from the basement rock.

19 The highlight here would be -- is the  
20 vertical distance between an injection formation and  
21 basement rock, as well as the nature of the confining  
22 strata below the injection zone and key components of  
23 any specimen of injection-induced seismicity. It also  
24 highlights that faulting and basement rock can extend  
25 into overlying sedimentary strata, which has been



1     apparent.

2                     With that comes the importance of porosity  
3     and permeability and injection strata. We have taken a  
4     small -- essentially, the Devonian and Silurian and have  
5     identified this as a good target area. Therefore, the  
6     information obtained on the injection interval becomes  
7     critical in seeing if these wells are going to be  
8     successful, as well as what future events will occur  
9     with injection, especially the injection of cumulative  
10    number of wells in the same location.

11                    Along with that, suggestions come with  
12    regards to what was observed in the EPA's effort, which  
13    included obtaining more information such as bottom-hole  
14    injection pressure gradients, running Hall plots,  
15    maintaining an inventory of information, which typically  
16    we do have, which is pressure and volume injection.

17                    From here, I would move within this  
18    document to page 25, and here the outcome or at least  
19    the highlights of what the EPA came up with were  
20    "Lessons Learned," to wit: The items we would less  
21    [sic] like to highlight is the "Acquisition of  
22    additional data may provide an improved analysis.  
23    Additional site characterization may be beneficial."  
24    This is becoming more and more evident as applications  
25    were coming in, again pointing to the demonstration of

1 the confining layer between the disposal zone and  
2 basement "and structural interpretation does not  
3 indicate faults extending into basement rock."

4                   Turning to the next page, page 26, in  
5 "Lessons Learned," it also highlights the fact that  
6 "Existing systemic monitoring stations are generally  
7 insufficient to pinpoint active fault locations; more  
8 sensitive and better located monitoring systems are  
9 needed to accurately identify active faults and detect  
10 smaller events."

11                   Keeping that in mind, we will go to the  
12 last selection, which is page 34, which highlights some  
13 operational approaches. The EPA had proposed three  
14 types of tools for dealing with induced seismicity,  
15 which include operational monitoring and management. At  
16 this period of time, when -- and we're looking at  
17 between 2015 and 2017. We thought operational approach  
18 would be the best method, but we did not have enough  
19 information to go that route to do some of the  
20 operational abilities that had experienced success in  
21 other locations such as Texas and Oklahoma. "Modify  
22 injection well permit operational parameters as needed  
23 to minimize or manage seismicity issues" was not an  
24 option for us, but we did look at the concept of  
25 "separate multiple injection wells" -- "separate

1 multiple injection wells by a larger distance for  
2 pressure distribution since pressure buildup effects in  
3 the subsurface are additive."

4 So with that in mind, we in the Division  
5 also would reference -- I will not reference any more of  
6 this article -- or this paper.

7 So with this EPA document in hand, the  
8 Division was directed by the director at that time to  
9 come forth with some sort of pathway to deal with  
10 applications, which had increased in size as far as  
11 requests for injection volume, as well as develop a plan  
12 to look down the road. At that time the rate of  
13 applications was significantly less than what we have  
14 currently.

15 **Q. Okay. Summarizing, what lessons do you feel**  
16 **should be taken? What is your takeaway from this paper,**  
17 **from Exhibit 1?**

18 **A.** At this time the Division, based upon what it  
19 had as its information and what would be provided in  
20 exhibits later on, was to look at the EPA  
21 recommendations and start with something fairly  
22 relatively simple with the information we had available.

23 **Q. Does the EPA recommend greater scrutiny of**  
24 **applications closer to the basement -- to inject into**  
25 **formations' basement rocks?**

1           A.    It is their recommendation.

2           Q.    And did you -- I believe you noted this. Did  
3 they mention that faults are not always easy to find and  
4 there should be great scrutiny to determine where  
5 relevant faults may be?

6           A.    One of the issues was not only the seismic  
7 arrays and the information cataloged, limited in many  
8 cases, but subsurface information tends to be one of the  
9 critical elements that require additional enlightenment,  
10 as we say. The information available on Precambrian  
11 faults, as well as subsurface formations where there is  
12 no activity such as an oil and gas, tends to be limited.

13          Q.    Yeah. Now, is that true of the area in which  
14 these particular wells that are involved in this case  
15 are being proposed?

16          A.    The information basinwide is quite limited for  
17 the Devonian.

18          Q.    There are few wells -- are there few or many  
19 wells that penetrate the Devonian in the vicinity of  
20 these wells?

21          A.    There have been wildcats and there have been  
22 deeper wells into the Precambrian for exploratory  
23 purposes, but compared to the 55,000 wells, their  
24 numbers are quite limited.

25          Q.    And if you were working as a petroleum

1 geologist and you were asked to advise as to where the  
2 best well locations would be, would you characterize the  
3 well control, as it is called by -- in our professions,  
4 as adequate or less than adequate?

5 A. I would deem it less than adequate.

6 Q. Go on then, please, to Exhibit Number 3 if that  
7 is all you have to comment on at this time on Exhibit 2.

8 A. That's correct.

9 Q. Okay. Now, Exhibit 3 is actually a collection  
10 of exhibits, correct?

11 A. Correct.

12 Q. What is it? What are they?

13 A. Exhibit 3 -- as part of the effort by the  
14 Division, Exhibit 3 provides a series of sources that  
15 were consumed and used as an effort to come up with some  
16 sort of audit with regards to the EPA request to provide  
17 some sort of induced-seismicity program.

18 Q. Well, now, these are papers on the subject?

19 A. That's correct.

20 Q. And are these peer-reviewed papers?

21 A. Yes, they are.

22 Q. Are they materials of the kind that a  
23 professional geologist would reasonably rely upon to  
24 make conclusions?

25 A. That is correct.

1           **Q.    Continue then and tell us what's -- describe**  
2           **what they are and tell us what's important about them.**

3           A.    The EPA paper cited the USGS Bulletin as an  
4           effort at the request of the EPA to look at induced  
5           seismicity. And this paper was done back in 1990, and  
6           the research was done back in the 1980s. Its conclusion  
7           here is to basically highlight -- on page 4, there is a  
8           table that provides a summary of what the USGS found is  
9           the probable sources and induced seismicity events that  
10          they were able to find in their review of open  
11          documents.

12          **Q.    Once again, this numbered page 4 of Exhibit**  
13          **3 -- after you go through the Roman-numeral-numbered**  
14          **pages, you get into the Arabic-numbered pages, and we're**  
15          **talking about Arabic-numbered page 4, right?**

16          A.    That's correct.

17          **Q.    Continue.**

18          A.    With that in mind, at this period of time in  
19          1990, the primary observations made by those qualified  
20          in the field show that we were looking at secondary  
21          recovery as a probable source of induced seismicity.  
22          There is only a handful of wells associated with  
23          injection for waste, and many of those are what are  
24          referred to as Class I wells.

25                           Keeping that in mind -- and the discussion

1 is found in the appendix on page 42, a marked increase  
2 in earthquakes above magnitude 3 was observed to  
3 correlate with the dramatic increases in the number of  
4 injections wells operating with pressures greater than  
5 70 bars. What we're seeing here is that the original  
6 effort to find induced-seismicity events has been mostly  
7 focused on secondary. We are not seeing the level of  
8 injection or proposed injection which would come  
9 followed by expansion of the Permian and other areas  
10 resulting in a significant increase of volume.

11 The other item at this time also is that  
12 induced seismicity is becoming a raised issue because of  
13 the presentation of the DOE WIPP site and with it the  
14 concerns that it, in the Permian Basin, would have  
15 issues or needs to establish some sort of baseline for  
16 which the evaluation of what had historically just been  
17 secondary recovery and now with the current situation  
18 would start to include injection for disposal. So this  
19 document really relates to the fact that early  
20 interpretations are limited and the investigation in it  
21 is very specific.

22 The second exhibit, 3-B, starts to open up  
23 the world of seismicity as being more prevalent and more  
24 widespread. This is the USGS effort in 2015, which now  
25 takes us into currently where the shift is entirely

1 moved towards the observations, especially in Texas and  
2 Oklahoma. Of significance in this article is page 622,  
3 where it is stated "If disposal of wastewater by  
4 injection is the principal cause of the excessive  
5 seismicity, as now appears almost certain, it  
6 nonetheless needs to be stated clearly that disposal of  
7 wastewater by injection, UIC Class II wells more often  
8 than not results in no detectable seismic response.  
9 Consequently, the existence of a well has low predictive  
10 power for seismicity itself."

11               This made us think what would be the best  
12 approach to find out what would we need to move forward  
13 with some sort of program -- again going back to the  
14 EPA's observations and lessons learned -- and develop  
15 something that would satisfy the needs of the Division,  
16 as well our obligations.

17               One other thing it did highlight is the  
18 "dozens of earthquakes in the Barnett Shale of north  
19 Texas that clustered near several high-volume injection  
20 wells, but none associated with other injection wells.  
21 This suggests that for increased fluid pressure to  
22 induce earthquakes, three conditions must be met: (1)  
23 a preexisting fault must be present; (2) the fault must  
24 be oriented suitably in the tectonic stress field to  
25 slip; and (3) the pore-pressure perturbation must be



1 sufficient to overcome the frictional strength of the  
2 fault."

3                   So in 2015, again, we're seeing this effort  
4 to look at the Precambrian, as well as injection, but  
5 still we don't have specifics for the Permian that we  
6 can look at and provide some sort of document to move  
7 forward with.

8                   I would look to page 625 of this article,  
9 which, again, the conclusions, "Earthquake activity has  
10 undergone a manifold increase in the U.S. midcontinent  
11 since 2009, principally in Oklahoma, but also in  
12 Arkansas, Colorado, Kansas, New Mexico and Texas. The  
13 nature of the space-time distribution of the induced  
14 seismicity, as well as numerous published case studies,  
15 strongly indicates that the increase is of anthropogenic  
16 origins, principally driven by injection of wastewater  
17 coproduced with oil and gas in tight formation." So  
18 even with the report in 2015 and EPA guidance, they're  
19 still coming through with trying to put together a  
20 project with responding to the EPA request.

21                   I will move on to the next exhibit, which  
22 is number 3-C. This is included -- we were referred to  
23 this by at least one source of the legislature. This is  
24 the "Congressional Research Service" paper from 2016.  
25 In this we would highlight page 22, which again says,

1 "Among other findings, the report identifies three key  
2 components that must be present for injection-induced  
3 seismic activity to occur." Essentially, the  
4 congressional folks have looked at the EPA paper and  
5 carry forth this understanding that "sufficient pressure  
6 buildup from disposal activities...a fault  
7 concern...pathway allowing the increased pressure to  
8 communicate from the disposal well to the fault" are a  
9 prime outline and effort for any program to deal with  
10 induced seismicity should look at.

11                   And then I would go to page 23. Here what  
12 this paper does do is compile the state initiatives that  
13 includes also the fact that we've had other  
14 organizations such as Ground Water Protection Council  
15 and Induced Seismicity Work Group and the Oil and Gas  
16 Compact Commission -- or the Interstate Oil and Gas  
17 Compact Commission have all been working together to  
18 practically discuss the possible association between  
19 recent seismic events occurring in multiple states and  
20 injection well.

21                   And we also received, in light of this,  
22 that we participated in the IOGCC efforts to come up  
23 with a modeling package, which was sponsored by Ground  
24 Water Protection Council. Discussion of that would be  
25 limited to the fact that the focus at that time -- and

1    this was of recent, 20- -- 2018 -- 2017 through 2018 --  
2    that the effort was to put together a product that could  
3    be used for managing after induced-seismicity events had  
4    occurred. So in many ways, it was designed primarily  
5    for Texas and Oklahoma, whose frequency of  
6    induced-seismicity events have been so high that they  
7    needed a tool after an event occurred to manage their  
8    resources. Unfortunately, this was not a feasible  
9    opportunity for New Mexico.

10                   Finally, I'll move on to Division Exhibit  
11    3-D, and this, of course, comes from the folks at  
12    Stanford. The facility there is one of the premium  
13    facilities in the United States in regards to evaluating  
14    and looking at and putting together what is currently  
15    being used as a method of induced seismicity fault slip  
16    modeling. The Division does recognize it, and it is  
17    utilized with applications to the Division, and the  
18    Division has requested it in many cases.

19                   Of this article, what is coming out -- this  
20    one is -- I believe it is 2015, that the effort by  
21    Stanford Research Institute is starting to develop a  
22    process of what many people refer to as the stoplight  
23    process, that we look at a certain amount of risk  
24    assessment as opposed to having seismic events and then  
25    trying to compensate for those events. Stanford tried

1 to put together and categorize what we should be looking  
2 at in a decision-making document as to what to go down  
3 the road with not only after you've had an event but  
4 before you've had an event when you have something in  
5 application.

6 And, again, we would go to pages 6 and 7.  
7 Here we start to see the matrix that is being developed  
8 by many states with regards to what items should be  
9 looked at when considering the final question as to  
10 whether a permit should be issued or not issued. Up  
11 till now, what concerns as far as exposure, and the grid  
12 is high, moderate and low, and breaking up into  
13 categories, what types of features, what should be of  
14 concern. Stanford recommended the critical facilities,  
15 structures and infrastructures, environment and  
16 populations.

17 The Division looked at these, and  
18 population was something that we felt was not very much  
19 of a consideration. Critical factors or critical  
20 facilities in our realm would probably be related not  
21 only to current oil and gas operations but also surface  
22 facilities, as well as infrastructure, structures and  
23 infrastructures. We can also include that we do have  
24 things such as acid gas wells and caverns and brine  
25 wells that also share the same environment. And we

1 would also note that we do have the WIPP, and we have  
2 the mines involved in this same area of the basin.

3 **Q. Most people are familiar with acronyms, but the**  
4 **WIPP is what?**

5 A. The Waste Isolation Pilot Plant, which is  
6 operated by the Department of Energy as a facility to  
7 receive waste from the United States Nuclear Program for  
8 its weapons systems.

9 **Q. And how far is this -- how far is the area**  
10 **of --**

11 A. With regards to -- well, this is right in the  
12 middle of the basin, along with the activity for the oil  
13 and gas production which is going on now.

14 **Q. Similar geologic conditions?**

15 A. It is related to it.

16 **Q. Okay. Continue.**

17 A. We would then ask you to go to page 13 for  
18 which we would highlight one paragraph. "Of particular  
19 concern, and a key observation in mitigating risk, is  
20 whether there is the potential for triggered earthquakes  
21 to occur on relatively large, critically stressed,  
22 pre-existing basement faults. Over the life of an  
23 injection project, it is thought that pore pressure  
24 perturbations have the potential to migrate toward  
25 critically stressed, permeable faults in the crystalline

1 basement. A relatively simple conceptual model  
2 involving the migration of pressure perturbations" --  
3 sorry -- "from injection horizons in Oklahoma to active  
4 basement faults has begun to evolve that shows how  
5 long-duration fluid injection has the potential to  
6 trigger slip on relatively large faults."

7                   So with that in mind, again we're being  
8 pushed into the world of looking at the separation, the  
9 placement, the injection, the volume and deciding what  
10 would be the best way as post -- as mitigation prior  
11 through the application process and then ultimately as  
12 part of an overall program.

13                   And I think that's Exhibit 3.

14           **Q. Okay. Then I believe the next several exhibits**  
15 **are specific to the states of Oklahoma and Texas and**  
16 **their experience with induced seismicity.**

17           A. That's correct.

18           **Q. Okay. This presentation is becoming quite**  
19 **lengthy. Would you be able to give a general summary of**  
20 **the paper -- of the next three papers in an accelerated**  
21 **form?**

22           A. The lawyer is asking me to speed it up. Okay  
23 (laughter).

24                   And, again, the Division offers this up as  
25 a basis of how we came to our decision.

1                   Exhibit 4 is a summary of the effort by  
2   Oklahoma, and it is again one of these efforts from past  
3   presentations at hearing that if you don't include it,  
4   you can't discuss it. So we offer to you the  
5   experiences of Oklahoma, which went through a  
6   significant effort to try to address it, especially  
7   after both the governor and the population -- the public  
8   population became very adamant that there be something  
9   done.

10                   So in August of 2015, I mean, you have a  
11   60-day period. You had a 38 percent reduction in  
12   injection among several operators. You have entire  
13   areas, areas of reviews, which they do a ten-kilometer  
14   or 122-square-mile review of injection wells and seeing  
15   what their relationship to the faults in the basement  
16   are.

17                   In here we would find also the program  
18   being developed by Oklahoma, which includes an increased  
19   area of interest, which is different from their area of  
20   review. This area of interest is used for their  
21   triggered seismicity. We also know that by 2017, the  
22   Oil and Gas Conservation Division of Oklahoma was able  
23   to change, in rulemaking, the ability to have an  
24   administrative ability to shut in wells and change their  
25   operations deemed -- based on an outcome of a study,

1     which we would note that this Division does not have  
2     that authority.

3                     It also went into a more proactive stance,  
4     and it developed its red light, yellow light, green  
5     light system where it would actually take a seismic  
6     event and then it would address that through a study  
7     and, therefore, adjust the wells or cluster of wells as  
8     deemed necessary.

9                     The last article in Section 4 summarizes  
10    the fact that the short-term traffic light -- and now  
11    they have a long-term earthquake management system --  
12    has been successful in reducing the induced-seismicity  
13    issues. But it took them almost four years to come  
14    together with a product that both industry and the  
15    regulatory body were to put into place.

16                    Again, the concern here is that the  
17    Division does not have this type of induced seismicity  
18    at this time, but nor does it have a lot of the  
19    information that was available to Oklahoma, especially  
20    with the ability to put out and obtain larger earthquake  
21    catalogs, as well as intense surveys, which we do not  
22    have.

23            **Q.     And that is a question, I believe, that you and**  
24    **I have discussed. Could you tell these people what is**  
25    **the adequacy of earthquake reporting data in the**



1 Delaware Basin of New Mexico or the Delaware Basin for  
2 purposes of demonstrating where less-than -- that the  
3 larger-magnitude earthquakes have occurred?

4 A. The ability for information to be obtained on  
5 seismic events has been primarily a function of the  
6 New Mexico Bureau of Geology and Mineral Resources. As  
7 a result, they're directed to maintain a seismic array  
8 in relationship to the WIPP, as well as their functions  
9 to oversee activities in the Socorro area. The presence  
10 of seismic sensors has only increased since 2017 with  
11 the expansion of adjacent state operations such as  
12 TexNet for Texas, as well as with Colorado adding more  
13 sensory devices in the Raton Basin under the USGS.

14 Q. Now, to give the examiners some perspective of  
15 these things, what -- what is the magnitude of an  
16 earthquake on the Richter scale of an earthquake that  
17 would be sensed by people living on the surface in the  
18 area but would not be -- but would be the minimum, in  
19 the range of lowest that would be?

20 A. Reportable, from 2 to 3. 2, you don't really  
21 feel it. 3, you may, depending upon what your situation  
22 is. Most of the concern has been raised for -- for  
23 events that are greater than 3, essentially.

24 Q. Just generally summarizing, how -- how common  
25 are earthquakes less than 3 -- seismic events less than

1     **magnitude 3 compared to seismic events greater than**  
2     **magnitude 3?**

3           A.     In the world of life, the ones below are very,  
4     very frequent. The ones above are not. So --

5           Q.     Okay. So if you have data on an area that  
6     gives you only the number of -- or the frequency or  
7     areas where there are reported earthquakes and there is  
8     not an extensive sounding system to detect lesser  
9     earthquakes, do you have an adequate basis for  
10    predicting how much seismicity there is in the area as  
11    you would evaluate it from a geologist's point of view?

12          A.     On the basis of obtaining information, it's  
13    always better to have more information.

14          Q.     I agree.

15          A.     But along with that comes the task of sorting  
16    through it and seeing what is relevant. Just because  
17    you have more information doesn't necessarily give you a  
18    better focus. And this is the lesson learned in  
19    Oklahoma. The ability to put in more arrays and have  
20    more information many times was misinterpreted as an  
21    increase in seismicity and it really wasn't.

22          Q.     Now, I interrupted your discourse. You may  
23    continue.

24          A.     I'm done with this discourse of Number 4.

25          Q.     And which exhibits does that take us through?

1           A.     That is 4-A through 4-E.

2           **Q.     Okay.  Now, what is the situation with Exhibit**  
3 **Number 5?**

4           A.     5 brings more home the point of the effort  
5 which is now occurring on the Texas portion of the  
6 Permian Basin, as well as their overall state program,  
7 and this would be Exhibits 5-A through 5-E.  The primary  
8 lesson learned from here is that Texas embraced the  
9 ability to start up their own program, which included  
10 several authorities which provide technical response, as  
11 well as technical guidance, to address induced  
12 seismicity, of which one of these is known TexNet, which  
13 is their array system, as well as reporting system for  
14 seismic information.  Along with that, they have several  
15 groups of which -- one is the CISR, which is the --  
16 their seismic cooperative effort between industry and  
17 several state agencies, including the Bureau of Economic  
18 Geology.

19                     What we would point out here is that Texas  
20 has, being a larger area with different basins of  
21 production, had to deal with several issues, not only  
22 the Permian Basin but also the Dallas-Fort Worth area  
23 and lower down towards south of Pecos in the Trans-Pecos  
24 region.  The effort by Texas to establish it was  
25 well-funded, well-established, and with it came

1 multilayers of effort, not only the seismic array,  
2 legislation, as well as development of the research for  
3 addressing specific issues identified from either  
4 seismic events or at the recommendation of the technical  
5 review staff either at the Bureau of Economic Geology or  
6 with the CISR's group.

7           It would include also a change in the  
8 process for obtaining a permit from the Texas Railroad  
9 Commission, which included an expansion of the  
10 requirements for the applications, which included an  
11 assessment for induced seismicity. And with that, the  
12 Railroad Commission would put together a baseline  
13 package.

14           We at the Division have been talking to the  
15 Railroad Commission, and we would offer up as Division  
16 Exhibit Number 11 the effort which has been given to us  
17 by CISR, which is where we're going to probably head  
18 down. But at this point, Texas offers us the biggest  
19 ability to put in a program that has been thoroughly  
20 investigated, as well as developed, in a basin that is  
21 shared between the two states.

22           Within Exhibit 5 of particular note is 5-B,  
23 and the reason this was included is primarily the  
24 discussion of the Ellenburger as far as an injection  
25 zone. In this case it's in the Dallas-Fort Worth area.

1 We historically have had injection in Ellenburger.  
2 That'll be discussed later. But this was chosen, in  
3 some locations, as a preferred injection zone. The  
4 summary of the paper highlights the fact that the  
5 Ellenburger is not necessarily a very good receptor in  
6 light -- receptor for injection of water in light of its  
7 lithology and its location in the stratigraphy, which  
8 offers an ideal conduit for a contact with the  
9 Precambrian basement in many parts of West Texas, as  
10 well as in southeast New Mexico.

11               There was concern raised as to how many  
12 New Mexico wells were placed into the Ellenburger, and  
13 at this time, we're happy to say that of those, there  
14 are only ten, and they are all minimal injection. But  
15 the Texas experience, which was also dealing with  
16 Ellenburger and which the EPA cited in its early audit  
17 of the Texas program, became an easy target by the  
18 Division to say that we should isolate ourselves from it  
19 as a result of what happened around Dallas-Fort Worth.

20           **Q. Let me ask you one other thing about the**  
21 **Ellenburger. I believe -- do you recall the testimony**  
22 **that was given at the prior hearing of this case -- or**  
23 **the prior proceedings in this hearing, I should**  
24 **characterize it, wherein the witnesses -- or the**  
25 **Applicant suggested that there is a -- a barrier between**

1    the -- in this area -- in this particular geologic area  
2    between the injection zone and the Devonian and the  
3    Ellenburger which would prevent communication of  
4    injection from the Devonian into the Ellenburger?

5                   EXAMINER JONES:  Mr. Brooks, can you hold  
6    that thought?

7                   MR. BROOKS:  I can.

8                   EXAMINER JONES:  And we can take a  
9    ten-minute break.

10                  THE WITNESS:  Ah, come on.

11                  MR. BROOKS:  I'm for that.

12                  EXAMINER JONES:  Do you intend to put on  
13    the entire testimony without cross-examination?

14                  MR. BROOKS:  I don't think I would be able  
15    to put it on without cross-examination, but I'll get  
16    through it before lunch.

17                  EXAMINER JONES:  I meant did you want to  
18    put on part of it and then cross-examine and the rest of  
19    it and then cross-examine or --

20                  MR. BROOKS:  No.  My intention was to put  
21    on all of it, unless the attorneys request otherwise and  
22    you rule that they're right.  That's your decision.

23                  EXAMINER JONES:  It sounds like a plan.

24                  Let's take a ten-minute break.

25                  (Recess, 10:11 a.m. to 10:25 a.m.)

1                   MR. BROOKS: We have an additional exhibit  
2   that's not in the binder, and I think we'll pass out  
3   copies to other people now so it won't be as disruptive.

4                   EXAMINER JONES: I don't have a preference  
5   for lunchtime, so you guys --

6                   MS. BENNETT: Like noon, I guess, or  
7   whatever seems like a natural break.

8                   MR. BROOKS: Well, you know, we discussed  
9   yesterday about a 45-minute break with coffee in the  
10   morning, but --

11                  MS. BENNETT: Well, I would prefer a  
12   shorter lunch break if at all possible so we can finish.

13                  And also I'd just like, for point of  
14   clarification, to make sure I will be given the  
15   opportunity and other lawyers will be given the  
16   opportunity to object to the exhibits before they're  
17   admitted into record.

18                  MR. BROOKS: Exhibits will be tendered at  
19   the conclusion of the testimony in the way that is  
20   customary in the OCD. It took me a while to learn that  
21   when I first came here because it's different than it's  
22   done in court.

23                  EXAMINER JONES: We are recording this so  
24   please proceed, Mr. Brooks.

25                  Q.    (BY MR. BROOKS) Okay. Very good. I thought I

1     had asked -- I was asking about the Ellenburger?

2     Correct.

3             A.     You were at the Ellenburger, and we were  
4     talking about above it.

5             Q.     And this paper deals with disposal into the  
6     Ellenburger, right?

7             A.     Correct.

8             Q.     And that is not proposed in any of these  
9     applications?

10            A.     No, it is not.

11            Q.     Now, do you recall the testimony that was  
12     offered previously to the effect that there is a  
13     permeability barrier in this geological area between the  
14     Devonian where the water will be injected and the  
15     Ellenburger?

16            A.     Yes.   The Applicant has identified the portion  
17     of the stratigraphic column known as the Ordovician as  
18     being the lower confining layer to isolate the injection  
19     interval from the Precambrian.

20            Q.     In your opinion as a geologist, is the  
21     evidence -- not just the evidence that has been admitted  
22     in this court but the evidence that is available, the  
23     limited well control that we have, is it adequate to  
24     assess that the -- to reach a conclusion as to whether  
25     or not the Ordovician barrier will be sufficient or



1     **sufficiently prevalent in the area to prevent**  
2     **communication to the Ellenburger?**

3           A.     The overall quality of information offered  
4     through subsurface information such as cores and/or a  
5     seismic is quite limited and, with it, an understanding  
6     of the lithologic characteristics are at best a general  
7     description.

8           Q.     **Is it true that there's been no evidence**  
9     **presented so far regarding examination of cores?**

10          A.     That's correct.

11          Q.     **Are there numerous sources from which cores**  
12     **could be obtained that would shed light on this subject?**

13          A.     There are facilities with cores, but our view  
14     of our own state's core library shows a very limited  
15     number.

16          Q.     **I'm sorry. What shows a very limited number?**

17          A.     The number of cores representative of the  
18     Ordovician.

19          Q.     **Okay. And have any of the Applicants presented**  
20     **any seismic evidence -- any 3D seismic evidence?**

21          A.     No. The Applicants have provided nothing other  
22     than what is known as publicly available information.

23          Q.     **Are there a lot of areas that have been**  
24     **explored by proprietary relating to seismic?**

25          A.     There are vendors who do offer a higher quality

1 information. These have been used in applications  
2 submitted by a variety of operators, including Matador,  
3 Chevron, 3Bear, which have been used to -- as well as  
4 Midstream, which provide a much clearer picture as to  
5 what the potential faults are at that depth.

6 Q. Conceding that -- as Ms. Bennett noted in  
7 her -- in her objections at the time you were qualified  
8 as an expert, that you probably would not be -- I would  
9 not ask you to interpret any specific 3D seismic. But  
10 assuming -- with that understood, is it well understood  
11 among geoscientists that 3D seismic is the gold standard  
12 for characterizing lithological properties in various  
13 formations?

14 A. 3D seismic offers a much higher tool of  
15 interpretation, as well as a much higher tool of  
16 duplication.

17 Q. Thank you.

18 Now, tell us about the Ellenburger in  
19 Texas.

20 A. Well, with regards to the information presented  
21 in the paper, which is included here, as well as the  
22 assessment by the Bureau of Economic Geology, as well as  
23 the occurrences of Ellenburger on the platform -- the  
24 Central Platform in New Mexico, the Ellenburger tends to  
25 represent a reworked karst and post-karst environment

1 and has cut-and-fill structures -- K structures that  
2 have been filled with debris and then resolidified.

3 With this, it has a -- on the Central  
4 Platform, a target of production, and it, with the  
5 expansion of injection, became a favorable target prior  
6 to the ability to understand its relationship and the  
7 effects it may have on preexisting faults and potential  
8 for induced seismicity.

9 MS. BENNETT: I'd like to just object to  
10 the testimony about the Ellenburger because it's  
11 irrelevant. Mesquite, as far as I know -- well,  
12 Mesquite is not requesting to inject into the  
13 Ellenburger, and I don't believe the other two  
14 Applicants here today are requesting to inject into the  
15 Ellenburger.

16 MR. BROOKS: Respectfully, I think that was  
17 clarified in the testimony before we even asked about  
18 the Ellenburger.

19 MS. BENNETT: That's why I object to this  
20 line of questioning. It's irrelevant to the issues  
21 before the Division about whether injection into  
22 non-Ellenburger is appropriate.

23 MR. BROOKS: My response to what I  
24 understand the objection to be is that in view of the  
25 witness' testimony, that we do not have adequate or

1 ideal information for assessing the adequacy of the  
2 lithological barrier between the Devonian and the  
3 Ellenburger in this area, that we need to consider what  
4 might happen if there is drainage into the Ellenburger;  
5 therefore, the testimony is considered as relevant in  
6 this proceeding.

7 EXAMINER JONES: Still object?

8 MS. BENNETT: Yes.

9 EXAMINER JONES: Okay. Go ahead with  
10 your --

11 MR. BROOKS: I'm through with my line of  
12 questioning. I was just going to invite Mr. Goetze to  
13 go ahead and tell us what else he thought was relevant  
14 about Exhibit 5.

15 THE WITNESS: I believe that is all I have  
16 for Exhibit 5.

17 **Q. (BY MR. BROOKS) Okay. Let's talk then about**  
18 **Exhibit Number 6.**

19 A. Exhibit 6 is a collection of documents. It is  
20 primarily from the New Mexico sources. The first three  
21 items are from the Bureau of Geology and Mineral  
22 Resources. And the first paper is a circular done by  
23 Dr. Allen Sanford. The presence here, again, brings  
24 forth the concern in the basin -- the Permian Basin as  
25 to the WIPP and its active monitoring of the situation

1 regarding seismicity. During that evaluation at that  
2 time, for the opening of the WIPP, again it reflects the  
3 USGS effort that only occurrences with enhanced recovery  
4 have been the main concern as far as what potentially  
5 could be induced seismicity. Since this program is  
6 still going on and has been considered to be expanded,  
7 we have more participation by the Department of Energy  
8 and with it this movement away from purely just looking  
9 at secondary recovery to new sources of induced  
10 seismicity. We provide this as a basis for one of the  
11 issues having other responsibilities in the basin for  
12 which the Division's actions will be directly related.

13                Provided in B and C are the current  
14 catalogs. B and C demonstrate again a limited focus of  
15 catalog primarily centered around the basin due to the  
16 WIPP action, but with it comes the discovery of probably  
17 the most famous documented case in the basin of induced  
18 seismicity, and that would be South Dagger Draw.

19            **Q. And is Exhibit 6-E an assessment of that by an**  
20 **eminent authority?**

21            A. Well, 6-D the assessment by the authority. 6-E  
22 is a supplemental summary of the wells that were  
23 identified, as well as additional wells the Division  
24 feels may have contributed.

25            **Q. Now, was much of the Dagger Draw injection --**

1    **in all fairness, was much of the Dagger Draw injection**  
2    **into the Ellenburger?**

3           A.    It was both into the Ellenburger and into lower  
4    portions.  And in each case, the wells that were  
5    identified, originally the concept of induced seismicity  
6    was not a concern and --

7           **Q.    That was typical at the time; was it not?**

8           A.    That's correct.

9                        So both the process of evaluating disposal  
10   at deeper formations was primarily limited to  
11   underground sources of drinking water, as well as  
12   confirmation in certain wells.  The testimony provided  
13   through the C-103 -- or the affirmation provided through  
14   the C-103 sundry notices stated that the wells had been  
15   plugged back.  In some cases, the documentation to  
16   support that did not exist.  And so with that, the  
17   potential for conduits existing, even no filing had  
18   claimed otherwise, did still exist.

19                    I would note that in both of the catalogs  
20   that the recommendations and the identification of the  
21   swarms of activity associated with the Dagger Draw by  
22   Dr. Sanford, as well as Dr. Bilek, is still associated  
23   with the disposal.  And then the paper provided was the  
24   University of Colorado, a summary of the existing  
25   catalog information and the correlation with that data

1     that this source of activity in the Dagger Draw is  
2     directly related to the injection of disposal water.

3           Q.     Okay. Now, let me interrupt you here because  
4     my question is premised on the fact that much of this  
5     injection was into the Ellenburger itself. Is there  
6     not -- do these papers contain any data -- is there  
7     anything in these papers that suggests that the effects  
8     were not limited to those effects produced by injection  
9     directly into the Ellenburger?

10          A.     There are no other suggestions given.

11          Q.     Other than injection directly into the  
12     Ellenburger?

13          A.     Into Ellenburger and deeper, yes.

14          Q.     Deeper. Okay. Thank you.

15                     But the primary cause was found to be  
16     injection into the Ellenburger?

17          A.     That is the observation.

18          Q.     Which according to these authorities is not  
19     probably a suitable formation for injection?

20          A.     That is correct.

21          Q.     Okay. Now, I'm going to go ahead and let you  
22     go ahead with your narrative.

23          A.     Well, the inclusion of the summary table points  
24     out one of the predicaments as being a regulatory  
25     agency -- and that would be Division Exhibit 6-E -- is

1     that many times we would have wells drilled to a certain  
2     horizon and then we would go forth, if a well was  
3     drilled deep, to be able to plug back and use a  
4     shallower formation for disposal. With the increased  
5     likelihood of the situation of not having proper  
6     separation from the injection interval and the Devonian  
7     and Silurian and the Ellenburger, which can provide a  
8     conduit, makes the Division susceptible to the best  
9     information offered through the operator. This makes  
10    this separation and knowing where the well is located  
11    and where it is in the stratigraphic section even more  
12    important than would be typically reviewed for a, say,  
13    shallower well.

14           **Q.     Okay. Now, we talked about the lack of**  
15    **adequate well control to assess the -- the sufficiency**  
16    **of the -- of the alleged permeability barrier between**  
17    **the Devonian and the Ellenburger. Do you have any other**  
18    **opinions as to the adequacy of that barrier based on**  
19    **information about the barrier rather than about the lack**  
20    **of adequate characterization?**

21           **A.     Other than the fact that we're basing a lot of**  
22    **the information on a lithologic description which is**  
23    **very limited so that the ability of its permeability and**  
24    **porosity, though generally described, may vary locally**  
25    **and with it the potential for having issues with its**



1 ability to provide proper separation. I would also add  
2 to this that we also have new information coming in as  
3 the wells are being drilled and with it the Division has  
4 not had the time or the opportunity to correlate  
5 subsurface information for which there is concern as to  
6 where the bottoms of many of these wells are being  
7 placed as total depth.

8 **Q. And what is the thickness of this barrier**  
9 **compared to the thickness of the Devonian Formation in**  
10 **the areas where it's -- where it can be reasonably --**

11 A. Again, regional mapping has shown that it thins  
12 towards the shelf and then deepens towards the center of  
13 the basin, the axis.

14 **Q. Well, proceed with your thoughts.**

15 A. Well, then the last item -- the last article  
16 with Rubinstein, which is 6-F, they raise the concern,  
17 based upon the model up in the Raton Basin as to whether  
18 the isolation, as was identified when these wells were  
19 approved for disposal, has been sufficient enough to  
20 isolate their -- assume that the separation of the  
21 injection interval -- at least the agencies offering the  
22 applications had assumed injection separation from  
23 Precambrian by what was perceived as being a thick  
24 sequence, but there is discussion as to whether the  
25 reasonable mapping of the area provided enough

1 competence in that events up there may be related to a  
2 fact that there was not as much permeability and  
3 porosity barrier as originally thought and the existence  
4 of faults which may provide migration downward.

5 Q. Okay. Let's then talk about -- are you through  
6 with the takeaway from Exhibit 6?

7 A. Yes, at this time.

8 Q. Let's go ahead and talk about Exhibit 7. And  
9 before you go into it, Exhibit 7 is New Mexico-specific,  
10 correct?

11 A. This is correct.

12 Q. Continue.

13 A. In an effort to move down towards a program to  
14 have something to provide an overall change in the  
15 disposal program, as well as address the EPA's request  
16 for moving on to a method of screening for induced  
17 seismicity, this is kind of a summary of why we ended up  
18 in Devonian-Silurian.

19 The Division, at the time of the transition  
20 with horizontal wells, went through a mass of  
21 applications which characterized a much shallower zone  
22 as the Delaware Mountain Group as being a preferred  
23 disposal, and historically disposal in the Delaware  
24 Mountain Group had been a preferred interval as a result  
25 of both it being shallower and it being nonproductive.

1     However, beginning with the advent of horizontal  
2     drilling from 2010, as the abilities to go in and take  
3     nonproductive intervals and make them productive, we  
4     found that the Delaware Mountain Group was not an ideal  
5     situation. We also came to realize that in our method  
6     of approval that we historically looked at disposal  
7     wells as singular items. We have a very demonstrative  
8     case regarding the effects of four wells together  
9     injecting into the Delaware Mountain Group resulting in  
10    an impact of horizontal wells.

11                 With that in mind, the Division revisited  
12    its primacy agreement, and within the primacy agreement,  
13    our demonstration, which was written back in 1980, the  
14    Division had identified the Devonian strata. It had, in  
15    essence, quantified it under our primacy agreement per  
16    the EPA -- and this is the first exhibit, Exhibit A --  
17    as an alternative to the San Andres, which was then the  
18    preferred, and then after that, the Delaware Mountain  
19    Group, which became the second best, but then with  
20    horizontal drilling became an obvious problem.

21                 7-B is the effort by NMOGA, New Mexico Oil  
22    and Gas Association, to assist the Division in putting  
23    together a justification for moving towards the  
24    Devonian, again knowing that the number of wells  
25    requested is going to be increased and with it the

1 probability of similar impacts to correlative rights to  
2 occur. Again, they found not only that we were having  
3 issues with correlative rights in particular [sic]  
4 locations, but the fact that we were looking at  
5 potentially impacting Avalon Shale and top of Bone  
6 Spring was increasing exponentially and that we had in  
7 certain areas water flows in the Delaware Mountain  
8 Group, which interfered with both the ability to use it  
9 as a disposal interval, as well as we were seeing  
10 fracturing of the formation and the confining layers  
11 that have been approved in the SWD orders.

12           The third insert in this section was a  
13 presentation given by myself for the Produced Water  
14 Conference. This pretty much summarizes my previous  
15 statements and made available to the public our move  
16 towards depth in Devonian wells as an effort to move and  
17 take the injection to a deeper zone that we thought  
18 would be both beneficial and that we would not have to  
19 drill through it and would have the potential volume for  
20 taking what would become larger volumes of water.

21           The identification of the Devonian was also  
22 selected based upon its low probability of being used as  
23 a target for horizontal drilling with most of the  
24 injection -- I mean most of the production being in the  
25 Upper Permian or Permian section.

1                   This also included a reference to the fact  
2   that we were trying to space wells out and try and  
3   utilize a method to take into account both the current  
4   efforts done by -- in this case we actually included  
5   Lund, Snee and Zoback paper, as well as what was  
6   happening in the Devonian-Silurian disposal effort by  
7   the Division. Matter of fact, the one plate that does  
8   describe it shows the density along the Malaga-Loving  
9   Fairway, as we call it, which has shown a high density  
10   of saltwater disposal wells. And with that, we had  
11   several cases brought for hearing in an effort to get  
12   some sort of information from operators as to what would  
13   be the best way to approach the concentration of wells  
14   in such an area and develop some type of idea as to how  
15   we would approach it.

16                  And the last item in here is the Lund, Snee  
17   and Zoback paper, which was referenced in my  
18   presentation. It does have several concepts. We do  
19   reference it. Many of the modeling that has been done  
20   with the Stanford research model uses this information  
21   compiled from public sources for identifying fault slip  
22   potential and for use in identifying faults that are run  
23   through the models.

24                  I would ask that -- on page 132, the  
25   authors do highlight the fact -- the results shown in

1 the figures, which are commonly used and commonly  
2 referenced.

3 **Q. Let me interrupt you to be sure everybody is on**  
4 **the same page.**

5 A. Okay. Numbered 132 at the bottom.

6 MR. BROOKS: The numbers in Exhibit 7-D  
7 are -- are unique to Exhibit 7-D. They don't go  
8 throughout Exhibit 7. And the A, B, C, D of Exhibit 7  
9 are separated by yellow dividers in the notebook that we  
10 have.

11 Now, did we provide notebooks to opposing  
12 counsel?

13 MS. MURPHY: Yes.

14 MR. BROOKS: Okay. Good. So they would be  
15 separated in the binders.

16 **Q. (BY MR. BROOKS) This is page 137 in Exhibit**  
17 **7 -- 7-D.**

18 A. 132.

19 **Q. 136.**

20 A. I'll raise you (laughter).

21 **Q. Continue.**

22 A. So just to the one paragraph, the author  
23 states, "The results shown in Figures 3 through 5" --  
24 and I'll enter those, the fault potential maps and the  
25 regional mapping, as well the local mapping -- "are not

1 intended to provide a definitive view of the fault slip  
2 potential across this complex basin, nor do they  
3 constitute a seismic hazard map. While the stress field  
4 is complicated in this area, the changes in the stress  
5 field are coherent and mappable. We consider the  
6 greatest uncertainties in the map to be the lack of  
7 knowledge of subsurface faults and the magnitude and  
8 extent of potential pore-pressure changes in areas where  
9 increased wastewater injection may occur in the future,  
10 especially wastewater injection that might change pore  
11 pressure on basement faults. Operators wishing to use  
12 the FSP tool" -- fault slip potential tool -- "to screen  
13 sites for fluid injection should use detailed fault maps  
14 that are specific to the injection interval, the  
15 underlying basement, and any intervening units, which  
16 take into account geometric uncertainties."

17 Q. Okay. Have you said everything you think is  
18 significant about Exhibit 7?

19 A. I believe so.

20 Q. Okay. Let's turn our attention to Exhibit 8.  
21 Exhibit 8 is very different from the others in that it  
22 is a collection of OCD documents in terms of orders.  
23 Can you explain why all these orders were included in  
24 this exhibit?

25 A. They became what the Division saw as a means of

1 finding some sort of tool to utilize and methodology as  
2 to how to address induced seismicity. In each case, an  
3 operator brought forth information that was used to  
4 compile what they thought was the induced seismicity  
5 potential and the risk associated with the operation of  
6 their wells, and probably, in some cases, the NGL  
7 presentations do take into account adjacent wells.

8               What we tend to show in here is this  
9 migration over time with the information coming in, as  
10 well as the Division's focus from being concerned  
11 primarily with what we thought was an original issue  
12 being that we don't have something in place to screen to  
13 start looking at assessing fault slip but also to look  
14 at a whole program to address this product and how it  
15 impacts how wells are screened, as well as what happens  
16 afterwards.

17              The Snee-Lund-Zoback effort shows us that  
18 we may approve something, but this has to be a process  
19 that grows and goes with the inclusion of new wells, as  
20 well as the operation of current wells. This, the  
21 Division does not have at this time.

22              But to go through the first case, Mesquite  
23 was requesting an increase in tubing size. This was  
24 denied and with it a list of concerns which were  
25 included in the order. And I will disclose that I wrote



1 the order. With that, Mesquite did go to hearing and  
2 presented before Commission the application, along with  
3 the information to address the information or the  
4 deficiencies that had been found in the order by the  
5 hearing examiner.

6 At this time, this period of operation --  
7 prior to this time, the upsizing of tubing had not  
8 really been even considered a concern. Most wells were  
9 below 15,000 barrels of water per day and, with it, the  
10 issue of proximity and the ability of the interaction of  
11 the wells not fully realized, as well as not fully  
12 documented. With Mesquite's effort and the Commission's  
13 approval, we now entered into a realm where we were  
14 looking at much larger volumes of injection and, with  
15 it, we were going down a similar road of development  
16 that was observed by both in Texas and Oklahoma with  
17 regards to how saltwater disposal wells were changing in  
18 that we were heading towards much larger volumes and  
19 greater numbers.

20 We did note that the Commission -- in its  
21 final conclusions and order, the Commission ordered --  
22 and this would be ordering paragraph three, "The  
23 Commission directs the Division to continue conducting a  
24 work group on UIC Class II wells in order to develop  
25 best management practice and advise the Commission

1 concerning the need to develop new regulations related  
2 to disposal wells."

3                   In an effort to satisfy that requirement  
4 and seeing how we were getting larger volume wells and  
5 much greater numbers, we recommended to certain parties,  
6 operators such as Black River Water Management and  
7 Chevron, that we would like to go to hearing in an  
8 effort to get at least a basis of seeing what type of  
9 impact, what type of activity, what type of reservoir  
10 information, what type of subsurface information was  
11 available. And so the cumulation of information in here  
12 with the cases represents several wells that were  
13 brought to the Division, and they range from NGL all the  
14 way to operators, as well as companies held at the  
15 discretion of operators such as Black River Water  
16 Management. They came forth with their information,  
17 along with the request by Division to work on a series  
18 of data strings for us to approve or at least review the  
19 well.

20                   We have -- at this point the Division is  
21 looking at a one-mile notice and a one-mile area of  
22 review, and what we are seeing in application is the  
23 fact that we're having testimony by expert witnesses as  
24 to the migration of fluid exceeding beyond the half-mile  
25 AOR, which is currently what we have under our primacy

1 agreement. And with that information, the concern of  
2 correlative rights was raised if fluids were reaching  
3 out beyond the one-half mile radius. The fact that we  
4 are approving a permit which may impact oil and gas  
5 rights would be a direct violation of the Oil and Gas  
6 Act.

7 **Q. Okay. Is that -- is that everything you need**  
8 **to say?**

9 A. Oh, no, no. We just started.

10 **Q. Okay. Please continue.**

11 A. So what we get from testimony -- and in certain  
12 cases, the applicants would bring in proprietary  
13 information, and we would have a discussion and review,  
14 in many cases some 3D seismic, how far injection fluids  
15 would reach. With this in mind, we got a variety of  
16 testimony and a variety of evaluations. And so  
17 considering the life of the well, which may vary from 20  
18 to 40 years depending upon the applicant, we started to  
19 see a pattern which at first showed a one-mile radius as  
20 being satisfactory for looking for penetrating wells, as  
21 well as the notice requirements based upon the old  
22 definition of affected persons or affected parties.

23 This being the foundation for the Division  
24 to go forward to the director with a recommendation as  
25 to how to screen, in most cases we were seeing a maximum

1 injection fluid migration over 30 years that was greater  
2 than half a mile but less than a mile. The series of  
3 cases continued to follow that approach. And with the  
4 earlier cases, the recommendation to the Division  
5 Director was to utilize a three-quarter mile. It had  
6 originally been suggested to be a one-mile type of  
7 review, and then looking at the proximity of the wells,  
8 utilize some sort of template in hopes of going down the  
9 road and developing the program as the EPA requested.

10 And we included the testimony of Mr. Scott  
11 Wilson, from the Mesquite cases, just to show that at  
12 this point in time we have a variety of information  
13 coming at us from all directions. And when asked by  
14 counsel if there is any incentive to operators to want  
15 to locate their wells further than half a mile apart or  
16 a mile apart, the answer, "From a technical standpoint,  
17 if someone was injecting at a location, I would try to  
18 site the next injector as far away from the location as  
19 possible because this would give me a longer period of  
20 time before I ever recognize that other injection was  
21 happening. So from a purely technical standpoint,  
22 people would distribute their injectors evenly and  
23 widely dispersed."

24 And that is found in Exhibit 8-B. I have  
25 no further comments on these.

1           Q.    Okay.  You're talking about only 8?

2           A.    8.  Exhibit 8.

3           Q.    Very good.  Thank you.

4                       Then let's talk about Exhibit Number 9.  I  
5 believe you've already commented on the definition of  
6 the waste that is 9-A; is that correct?

7           A.    Well, we touched upon it on WIPP, but yes,  
8 under our Oil and Gas Act.  We would reference F, in  
9 that "drilling or producing operations for oil and gas  
10 within any area containing commercial deposits of potash  
11 where such operations would have the effect unduly to  
12 reduce the total quantity of such commercial deposits of  
13 potash which may reasonably be recovered in commercial  
14 quantities or where such operations would interfere  
15 unduly with the orderly commercial development of such  
16 potash deposits."

17                       So, again, taking back as to if there is an  
18 issue of induced seismicity, not only is WIPP a matter  
19 of concern, the Oil and Gas Act directly makes us  
20 responsible for addressing oil and gas activities that  
21 may impact the operation, as well as the ability for the  
22 potash to be mined.

23           Q.    Do you have an opinion as to the importance of  
24 induced seismicity with regard to its potential for  
25 disrupting potash development?

1           A.    It is -- having worked underground there, yes.  
2   And so an induced seismic event 1,000 feet underground  
3   is always an exciting thing.  So it is, at this point,  
4   still an obligation of the Division to consider this as  
5   part of the program in dealing with how we are going to  
6   go in the future with the saltwater disposal.

7           **Q.    Very well.  Go ahead.**

8           A.    The second item, 9-B is 2016.  In our effort to  
9   go ahead with some sort of effect, a program that could  
10   address the -- the concerns not only of the Division to  
11   operators but at the queries of the legislature.  So at  
12   this point, the only thing we have in our toolbox, you  
13   might say, is the fact that we're trying to stay away  
14   from Ellenburger and Precambrian basement.  The concept  
15   of going forward with some type of modeling and/or  
16   rulemaking is limited, and we are still collecting data.  
17   So at 2016, we are still compiling, as well as looking  
18   at the simplest and most basic of trying to reduce any  
19   potential for induced seismicity.

20                   Division Exhibit 9-C is a summary of my  
21   notes related to an effort in 2018, over two months, to  
22   address what was becoming a growing concern that with  
23   the exponential growth and applications all wanting to  
24   inject into the Devonian that the Secretary, along with  
25   the Division Director, organized a work group for

1 looking at the UIC rules and regs and seeing what path  
2 forward would be best.

3                   With this is a selection of participants  
4 and at least four meetings where the discussion was  
5 offered up to folks with greater expertise than me and,  
6 with it, developed some sort of path forward as to how  
7 to properly manage or at least what rulemaking we should  
8 go into. At that time we had made a recommendation in  
9 the Division, based upon the fact we were filling in  
10 voids, that the three-quarter-mile distance would be a  
11 preferable method of screening on the go while trying to  
12 bring forth a program that would represent a good  
13 screening process, plus a post-injection opportunity for  
14 reconsideration of permits still in effect.

15                   With that, there were also discussions with  
16 other parts of the UIC rule, which are not relevant  
17 here, but they did include injection into shallower  
18 Delaware Mountain Group, as well as enhanced recovery  
19 and our Class I's, as well as Class II acid-gas wells.

20                   Based upon that and due to the short term  
21 of the administration at that point, the consideration  
22 was not to go into rulemaking at that time with the  
23 intent of rewriting everything, but we did make an  
24 effort to initiate a realignment of the UIC program  
25 under our New Mexico Administrative Code to have

1 definitions that correlated to the language of the Code  
2 of Federal Regulations, 144 -- 40 CFR 144, 145, 146,  
3 147. So the other initiative -- and this also was the  
4 fact that the definition of "affected person" would  
5 change as a result of the horizontal rule.

6                   With this in mind, the first effort done  
7 following the technical work group was to realign the  
8 definitions in our New Mexico Administrative Code, as  
9 well as pursue forward with a criteria of increasing the  
10 information requirements that had been done in Texas and  
11 looking at a rule change that would provide a program  
12 for induced seismicity as an element of it.

13                   Division Exhibit 9-B are the  
14 recommendations that were provided to us by the  
15 New Mexico -- input from the technical group, as well as  
16 the New Mexico Oil and Gas Association, as well as from  
17 the Engineering Bureau with regards to issues that we  
18 see and the concept of what should go into the -- be  
19 specifically included in the rule that is still under  
20 consideration.

21           **Q. Let me stop you right there and interrupt. Are**  
22 **you familiar with the way in which -- well, are you**  
23 **familiar with Section -- I believe it's 12B.**  
24 **Unfortunately, I don't have my statute book here, but**  
25 **the statute that -- the portion of the statute that**



1 defines the specific powers of the Division and the  
2 Commission?

3 A. Yes.

4 Q. And do you recall that it states that the  
5 Commission and the Division may make rules or orders  
6 with respect to the new rate and subject matter? It's  
7 not limited to a rulemaking authorization, in other  
8 words. Is that a correct characterization of the  
9 statute?

10 A. I believe it is a correct characterization.

11 Q. Okay. So that would indicate that if in a  
12 particular case the Commission -- the Commission or the  
13 Division determines that there is not a rule covering  
14 that case but that the matter is relevant and should be  
15 examined in order to determine that case, would it be  
16 appropriate for the Commission to take that into  
17 consideration -- to take that matter into consideration  
18 in formulating its order in that case?

19 A. That is correct.

20 Q. Okay. So if the Commission has concluded in  
21 the past -- or the Division has concluded in the past  
22 that induced seismicity is something that should be  
23 considered in evaluating injection applications, even  
24 though there is no rule on the subject at this time,  
25 those considerations become relevant --

1           A.    I would agree.

2           Q.    -- in formulating the order?

3                    Okay.  Thank you.

4           A.    And to that end, Exhibit 9-E, as far as the  
5   exhibit there, with the approval of the director, we  
6   started to include a statement for those folks who had  
7   submitted additional information based upon this  
8   one-mile area of review and also the one-mile notice and  
9   the statement of induced seismic events, the probability  
10  of.  However, at this time we are still looking at the  
11  proximity of the wells based upon information coming in.  
12  The three-quarter mile was still prevalent at the time  
13  of these applications as being a tool for management.

14                   And then for the last exhibit, 9-F, it's a  
15  paper by Dr. Scanlon from the Bureau of Economic  
16  Geology.  It is the last page, page 108 -- or  
17  next-to-the-last page.  It provides a summary of what  
18  we're seeing, the management of saltwater disposal wells  
19  in various programs, state agencies granting permits for  
20  SWDs or enhanced recovery wells.  A number of reports  
21  have been developed with the guidance of UIC regulators  
22  for managing and minimizing injection-induced  
23  seismicity.  And it refers back to the Oklahoma  
24  experience by saying, "The directives issued by the OCC  
25  in early 2016 are consistent with findings from this

1 analysis in terms of injection rates, regional  
2 cumulative injection volumes and proximity to basement.  
3 Although permits are generally granted for individual  
4 SWD wells, the importance of net fluid budgets at local  
5 to regional scales suggests that the regulators should  
6 consider individual well permits within a larger context  
7 of the net fluid balance, as is done in Oklahoma."

8 Now, it does identify, "No new SWD permits  
9 are being granted in Oklahoma for wells in the  
10 Arbuckle...adjacent to the basement. In addition,  
11 permits for shallow (Delaware Mountain Group) or deep  
12 (Ellenburger Group) disposal in New Mexico are  
13 restricted to individual operators, rather than for  
14 commercial operators [sic], to reduce potential  
15 seismicity."

16 So we are seeing a recognition now of a  
17 process coming to us as to replace what we have been  
18 using as a template in our evaluation of applications.

19 And with that, I would offer up Exhibit --  
20 Division Exhibit 11.

21 Q. Okay. Well, what about -- do you have --  
22 Exhibit 10, just tell us -- what is Exhibit 10?

23 A. It is my resume.

24 Q. Okay. Now, at one point, do you recall what a  
25 Commissioner said from the bench, that he had your

1 resume memorized? I think that was a somewhat facetious  
2 comment, but still would it be fair to say that the  
3 people sitting here on this case, the examiners sitting  
4 on this case, probably are very familiar with your  
5 resume?

6 A. That is affirmative.

7 Q. And you have already summarized it at the time  
8 of your qualifications?

9 A. I have.

10 Q. Okay. So then go on to -- then go on to  
11 Exhibit 11, which is not in the notebook.

12 A. That's correct. Exhibit 11 is a package -- in  
13 our discussions with the TexNet group, both the research  
14 side, as well as the industry side, the effort to look  
15 at what Texas has done -- and we have been communicating  
16 over the last five months in looking into what Texas has  
17 done and what we would like to do. The concern gets to  
18 be how do we go through this process as a regulatory  
19 agency.

20 And with that, the Texas Railroad  
21 Commission has come forward with a document which they  
22 identify for internal use only, for its technical  
23 people, its staff members. Besides it being a summary  
24 of fees, as well as what they do with regards to their  
25 own rules and process, which includes the

1 100-square-mile seismicity screening and then the  
2 earthquake events of greater than 2 or greater than that  
3 9.08-kilometer area of review is to be considered, it  
4 also offers up a level of technical review, which  
5 includes the addition that if seismicity screen is  
6 positive, supplemental information is required to assess  
7 the state of disposal zone and adjacent strata. So at  
8 this point, we are already seeing structure maps,  
9 isopachs, cross sections, fault hazard analysis.

10 We also at this point get a decision  
11 document and a scoring system, and in this the Texas  
12 Railroad Commission has applied three factors which  
13 includes in their seismic review, which is the faulting  
14 and seismicity factor, operational factors and reservoir  
15 factors. Notably in the seismicity and faulting data  
16 confidence, we have a scaling of high, medium and low  
17 and a criteria to follow in evaluating that data. Along  
18 with that, we also get a greater input as to who also is  
19 injecting into the same area, as well as a process to  
20 make recommendations to the management as to whether an  
21 application should be approved, denied or sent to  
22 hearing.

23 At this time we are in discussions with the  
24 State of Texas as to their methodology, as well as  
25 permit conditions, and we have ongoing discussions with

1 the Railroad Commission as to an ability to have an  
2 exchange of information and a possible inclusion of this  
3 methodology as a means to deal with being a more  
4 scientific process -- I'm sure I'll be saying -- and the  
5 Division being able to make its recommendations to the  
6 director and satisfying the EPA request for the induced  
7 seismicity as being part of our program.

8 Q. Okay. Does that complete your description of  
9 Exhibit 11?

10 A. For now, yes.

11 Q. Well, for now.

12 A. I'm done.

13 Q. Okay. Thank you.

14 Let me ask you a few general questions  
15 then. Do you have an opinion based on -- well, let's  
16 first cover -- certain exhibits have to be excluded from  
17 this question, and I'm not entirely sure which ones I  
18 should exclude.

19 But Exhibit 8, for instance, is offered  
20 basically as precedent for how the Commission -- or the  
21 Division have approached this issue in hearing orders  
22 rather than for the truth of the matter stated, correct?

23 A. That is correct.

24 Q. Okay. Now, Exhibit -- certain exhibits in here  
25 are things that you authored?

1           A.     That's correct.

2           Q.     And you said you haven't authored any papers,  
3     so I'm trying to avoid describing them as papers.

4           A.     Presentations.

5           Q.     Okay.  So I would exclude from the next  
6     question Exhibit 8 and your own papers because I don't  
7     want your modesty to interfere with the answer.  Other  
8     than those, do all of the exhibits being offered,  
9     Exhibits 1 through 11, provide evidence of a kind that  
10    is reasonably relied on by geologists in their  
11    professional evaluations?

12          A.     Yes, it is.

13          Q.     Okay.  Based on that evidence, do you have an  
14    opinion as to whether or not a one-half -- a separation  
15    of at least one-half mile would be appropriate indeed  
16    for saltwater disposal cases in the Devonian in Eddy  
17    County, New Mexico in these cases?

18          A.     The Division still -- I would still stand by my  
19    recommendations.

20          Q.     Which is?

21          A.     That at this time they not move forward for  
22    issuance, they be denied.

23          Q.     Thank you.

24                         And as to your own contributions to this,  
25    were they prepared from either business records or

1 government records or material that a geologist would  
2 rely on in the evaluations done in his professional  
3 capacity?

4 A. Yes, I would.

5 Q. Now, if these applications were denied -- would  
6 denial of these applications promote the -- or advance  
7 the regulation of disposal of wastes in a manner that  
8 protects public health and the environment? You're  
9 looking at me quizzically. Let me restate the question.

10 A. Yeah.

11 Q. Would denial of these applications as they  
12 presently stand protect public health and the  
13 environment in the disposition of oil field wastes?

14 A. At this time it would be my recommendation for  
15 that.

16 Q. Thank you.

17 MR. BROOKS: I submit Exhibits 1 through  
18 11.

19 EXAMINER JONES: Objection?

20 MS. BENNETT: Yes. I have objections to  
21 many of the exhibits, actually, but for the sake of  
22 efficiency, I will lodge a general objection to any  
23 exhibit that is irrelevant, namely those exhibits  
24 relating to injection into the Devonian -- I'm sorry --  
25 the Ellenburger, any exhibits that relate primarily to



1 Oklahoma or exclusively to Oklahoma, Texas, Colorado. I  
2 could go through and identify specifically which  
3 exhibits those are for the record, but all of those  
4 exhibits are irrelevant to the issue at hand today.

5 More specifically, though, I would object  
6 to the admission of Exhibit Number 7-C, which is  
7 Mr. Goetze's exhibit of the "Current Status of the New  
8 Mexico Underground Injection Control Class II Program."  
9 Actually, I'll withdraw my objection to that exhibit and  
10 ask clarifying questions to that exhibit.

11 EXAMINER JONES: Okay.

12 MS. BENNETT: But turning to Tab 9, 9-C,  
13 "Summary of Oil Conservation Division UIC Technical Work  
14 Group on Part 26 Injection...and Saltwater Disposal  
15 Activities," we have no idea, other than Mr. Goetze's  
16 name and date on that memo, when this was created, the  
17 background information that was put into this. I think  
18 this lacks sufficient evidentiary foundation to be  
19 admitted into the record at this time. So I  
20 specifically object to Exhibit 9-C.

21 EXAMINER JONES: Okay.

22 MS. BENNETT: I'll let the -- I have other  
23 objections. Should I go through them serially, or would  
24 you like to rule on each one as I go?

25 EXAMINER JONES: Mr. Brancard?

1 EXAMINER BRANCARD: Go through.

2 MS. BENNETT: Okay. 9-D is the NMOCD  
3 permit guidelines from, apparently, NMOGA. This has no  
4 foundation. This doesn't say it's prepared by NMOGA.  
5 It has no date of preparation. We have no idea who  
6 prepared this, what inputs went into it. We don't even  
7 know the date that it was prepared. There is no author.  
8 This lacks a sufficient evidentiary foundation to be  
9 included and to be admitted as an exhibit in this  
10 matter.

11 And I'll ask some questions going to the  
12 weight of other exhibits as we go through them. But  
13 those two are my two primary specific objections as to  
14 the lack of foundation and validity for this proceeding,  
15 and I stand on my objection as to relevance for most of  
16 the other exhibits.

17 EXAMINER JONES: Mr. Bruce?

18 MR. BRUCE: Let Mr. Padilla go first.

19 (Laughter.)

20 MS. BENNETT: Oh, pardon me. I'm sorry. I  
21 have two more objections.

22 EXAMINER JONES: Yes.

23 MS. BENNETT: I would also object to  
24 Exhibit Number 9-F, the Scanlon, B. Weingarten and  
25 K. Murray report, dated January/February 2019. That

1 report was generated after the denials in this case and  
2 cannot be relied on as evidence to support the denial.

3 For the same reason, I object to Exhibit  
4 Number 11. Exhibit Number 11 was prepared after the  
5 denials in this case were submitted, and evidence  
6 obviously submitted after the denials cannot be used to  
7 support the denial. That would be an ad hoc  
8 justification.

9 In addition to that, we agreed at the last  
10 hearing that no further affirmative exhibits would be  
11 submitted, and so -- and this was clearly within -- this  
12 was prepared -- I don't have it in front of me, but it  
13 looks like April 19th. This material could have been  
14 but was not included in the packet when we originally  
15 had this hearing on May 31st.

16 EXAMINER JONES: The material in Exhibit  
17 11?

18 MS. BENNETT: In Exhibit 11.

19 EXAMINER JONES: Mr. Padilla?

20 MR. PADILLA: I'm going to echo the  
21 objections made Ms. Bennett.

22 But in particular, without correlation to  
23 the location of the Blackbuck well, the Oklahoma and  
24 Texas exhibits ought to be eliminated. I find it  
25 interesting that there's no -- or at least should not be

1 admitted. That the Raton Basin, which is 400 miles away  
2 from the area, about -- between 3- and 400 miles, is  
3 included as part of this presentation, and so is the  
4 Dagger Draw. The Dagger Draw, admittedly, is closer to  
5 the location of these wells, but there's no geological  
6 relation other than the generalizations of the need for  
7 rulemaking for saltwater disposal.

8               There is no evidence here of -- specific  
9 evidence other than the Exhibits 1 and 2 which have the  
10 circles. That's all -- that's all there is as far as  
11 any correlation, any geologic connection to the  
12 proposal. This is an excellent case for rulemaking but  
13 not to attack the applications themselves, which, if  
14 you're going to follow factors of the EPA, should be  
15 take into consideration specifically as to these  
16 applications. So I'm not going to object to those EPA  
17 factors, but they're applicable here, and Mr. Goetze  
18 should have addressed those factors as they relate to  
19 these applications. But still, we don't have a rule.  
20 Anytime that you have -- and it talks about rulemaking.

21               Gathering evidence from Texas or Oklahoma  
22 for adoption, it doesn't matter whether you have a work  
23 group. The most interesting thing is the order of  
24 the Commission directing the Division to adopt  
25 regulations. To me anything else that he said is really

1 irrelevant to the specific applications here.

2                   So on a general basis, all this evidence  
3 should be excluded. Obviously, it will probably be  
4 taken for the weight of the evidence, but there is no  
5 connection at all with the number of exhibits that were  
6 presented here on a global basis.

7                   EXAMINER JONES: Thank you.

8                   Mr. Bruce?

9                   MR. BRUCE: I would just echo what  
10 Mr. Padilla stated.

11                  EXAMINER BRANCARD: Mr. Brooks?

12                  EXAMINER JONES: Respond, please.

13                  MR. BROOKS: Do you want me to respond?  
14 Yes.

15                  First of all, so far as the objection as to  
16 certain exhibits, that they were prepared after the  
17 administrative orders in this case that previously were  
18 issued as to certain of the proposed -- of the  
19 applications -- and I believe there is a distinction  
20 between those that -- some of these applications were  
21 simply put to hearing, and others were -- there was an  
22 order issued denying them. This is not an appellate  
23 proceeding or a review proceeding de novo or otherwise.

24                  If you look at what goes on with  
25 administrative orders -- administrative applications --

1    however it is characterized, and that's an issue that is  
2    before the courts now, as to how these proceedings are  
3    characterized -- the fact of the matter is that if the  
4    Division decides to conduct a hearing on the subject  
5    matter of an administrative application, in response to  
6    the application itself and not in response to a  
7    subsequently filed application by the same or another  
8    party, the Division is simply -- the hearing is simply a  
9    part of the review proceeding for that application and,  
10   therefore, any evidence that's relevant to the  
11   determination of the application should be open for  
12   consideration by the Division unless there are other  
13   valid objections to it.

14                      Secondly, I protest as to the objections  
15   that are based on Oklahoma -- based on the fact that  
16   Oklahoma and Texas and the Raton Basin are specifically  
17   relevant to these cases, that I would concede that their  
18   relevance may be limited because the geology may be  
19   different, but it seems that their relevance is tied in,  
20   as Mr. Padilla pointed out, by Exhibit 2, which suggests  
21   that the EPA has considered these factors to be relevant  
22   to assessing the probability of induced seismicity. And  
23   if, as the Oil and Gas Act seems to direct, the Division  
24   can consider these matters in orders in formulating  
25   orders, as well as rules, these general

1     considerations -- if induced seismicity is part of the  
2     environment and the OCD has a right and duty to protect  
3     the environment, they can consider what is relevant to  
4     determining whether or not induced seismicity is  
5     probable in orders, as well as in rulemaking  
6     proceedings. I mean, the relevance of these should not  
7     be limited to rulemaking proceedings.

8                     And with that said and conceding that  
9     relevance is much less direct than much of the other  
10    evidence, I think the out-of-state and out-of-area  
11    considerations that are noted by the EPA should be  
12    admitted and -- that are noted as having importance by  
13    the EPA, evidence on those subjects should be admitted  
14    for their weight. Regardless of the remote relevance,  
15    they do have some relevance. Relevance, after all, is  
16    defined in the rules of evidence as -- fundamentally as  
17    anything that has a probability of rendering a  
18    conclusion in the case more or less likely, and I think  
19    the evidence of Oklahoma and Texas and other areas does  
20    indicate that it is more likely than it would otherwise  
21    be without considering that evidence, that there is a  
22    danger of induced seismicity in these cases.

23                    I don't remember, unfortunately, if there  
24    is specific evidence related to -- related to -- if  
25    counsel has made specific objections to relevance on

1 other grounds, but I would think that all objections to  
2 relevance in general terms to exhibits or groups of the  
3 exhibits should be overruled on the grounds that it is  
4 the responsibility of the objecting counsel to point out  
5 specifically what the objection is.

6 Thank you.

7 MS. BENNETT: And if the Division would  
8 like, I'm happy to go through exhibit by exhibit and  
9 point out which ones I object to on the basis of  
10 relevance. I don't think that's a very expedient way to  
11 proceed, but I'm happy to do that if that would satisfy  
12 Mr. Brooks.

13 MR. BROOKS: Well, I would point out that  
14 any -- I would -- I would -- counsel is entitled to do  
15 that if they want to. I would just suggest that maybe  
16 that's unnecessary given that this proceeding will be  
17 reviewed, if at all, de novo, and if any -- there is a  
18 legal reason that has not been considered why a  
19 particular exhibit should be admitted or not, that  
20 consideration will not be -- will not affect the -- the  
21 outcome of the case if it goes to the Commission  
22 regardless of whether the Commission includes that  
23 evidence or not.

24 And there is one other thing I forgot to  
25 say. And I apologize for expressing myself at such



1 length.

2                   On Exhibit 11, there was a specific  
3 objection -- and I believe it's in a different  
4 category -- referring to agreement of counsel. And if  
5 that agreement occurred and if it's on record, I would  
6 stand corrected if it would make that exhibit  
7 inadmissible.

8                   EXAMINER JONES: Say that again.

9                   MS. BENNETT: It wasn't an agreement of  
10 counsel. I stated that on the record at the end of the  
11 hearing, when we decided to conclude and move to another  
12 date, that it was my understanding that as of that  
13 point, the affirmative exhibits were as presented to us.  
14 Now, of course, if Mr. Goetze had rebuttal evidence,  
15 that would be different. But it was my understanding  
16 that as of the close of the day that day, any  
17 affirmative evidence that we were putting on had to have  
18 been finalized.

19                  MR. BROOKS: I would recommend that the  
20 examiner examine what the record actually shows occurred  
21 before ruling on that because I have no recollection and  
22 cannot comment on that.

23                  MS. BENNETT: I'll withdraw my objection  
24 for the limited purposes of allowing this to proceed  
25 more efficiently.

1 MR. BROOKS: Okay.

2 EXAMINER JONES: Withdraw which objection?

3 MS. BENNETT: 11.

4 EXAMINER JONES: 11?

5 MR. BROOKS: I'm done.

6 EXAMINER JONES: Okay.

7 EXAMINER BRANCARD: I thought that was your  
8 best objection.

9 MS. BENNETT: It was a good one.

10 EXAMINER BRANCARD: First of all, let's  
11 start from that issue, which is that what we have before  
12 the examiner is a request for a hearing on an  
13 application on the parties. I think we determined that  
14 at the last hearing. So we're not reviewing an appeal  
15 of the denial of the administrative action. This is a  
16 new application before the director, which you'll make a  
17 recommendation to the director. Recommendation of staff  
18 apparently is to deny these applications, and the  
19 director will decide that. So that's sort of what's  
20 going on here.

21 On the issue of the Oklahoma and Texas  
22 information, I mean, clearly, Mr. Goetze's testimony is  
23 an attempt to elucidate how the Division has derived its  
24 policy about how to regulate injection wells during a  
25 period of time when clearly injection wells are

1 considered to be the cause of induced seismicity in  
2 other locations. And so I see that as background  
3 information that sort of gives a sense of how the  
4 Division has derived its policy.

5 I agree with Mr. Padilla, though, that the  
6 real issue here is what are -- what is the evidence for  
7 the particular applications? And then as Mr. Padilla  
8 said, likely the issue here is what's the weight of  
9 those documents for these applications? That's an  
10 entirely different issue for you-all to understand.  
11 Okay? So I, frankly, don't see a problem, unless you  
12 consider them immaterial, the exhibits related to  
13 Oklahoma, Texas and other areas of induced seismicity or  
14 the Ellenburger, which is obviously one of the issues  
15 that comes out in this article, is proximity to basement  
16 and is one of the issues here.

17 I mean, I have some concern -- my other  
18 concerns are 9-C and 9-D. Okay? I don't know that  
19 counsel has really developed sort of a foundation for  
20 this. I think Mr. Goetze testified that 9-C was sort of  
21 his notes about a task force -- a work group that has  
22 gone on last year, but I don't know who received copies  
23 of this, how it was distributed; is this more than just  
24 the personal notes of Mr. Goetze. And, likewise, 9-D, I  
25 don't know that we really had -- I can't recall. It

1 says "guidelines," but are these guidelines internal  
2 guidelines? Are these guidelines that are submitted to  
3 the operators, the value of these documents directly  
4 related to who has seen these, who has reacted to these,  
5 et cetera? So I don't know that we really have a  
6 development of those issues here.

7                   And so if you consider them okay, you need  
8 to consider what their value is, too, at the same time  
9 and what's the merit of these documents. Are these  
10 guidelines that everybody in the industry knows about,  
11 or are these just guidelines that the Division uses and  
12 Mr. Goetze uses in his own view of applications? I  
13 don't know. I wasn't clear from the testimony as to  
14 what that was. If you want, you can ask Mr. Goetze.

15                   MR. BROOKS: I was going to suggest the  
16 same thing. I believe that we did not make a very good  
17 predicate for the admissibility of these documents, and  
18 rather than me trying again, I think I will get the  
19 examiners try. I admit that there are -- I did not  
20 respond to these particular objections because I didn't  
21 have a response, but that does not mean I concede that  
22 the objections are valid, merely that they're much more  
23 valid than some of others.

24                   EXAMINER JONES: I would like to ask about  
25 9-F. That was -- the objection on that was --

1 MS. BENNETT: I'm sorry. Which one?

2 EXAMINER BRANCARD: 9-F.

3 MR. BROOKS: That was --

4 MS. BENNETT: Yes. That is -- I objected  
5 to that because it was submitted after the  
6 administrative applications were denied. I would also  
7 note -- or was prepared after the administrative  
8 applications were denied, but I understand from  
9 Mr. Brancard's discussion that may not be a relevant  
10 consideration, although I would point out that  
11 Mr. Goetze has not provided -- I understand we're at  
12 hearing today on our new applications. Mr. Goetze has  
13 still not provided any concrete, site-specific,  
14 technical evidence showing why these specific  
15 applications should be denied. He refers to the  
16 1.5-mile throughout his testimony as a screening tool.

17 So while, in my view, we are here on a  
18 hearing today, it cannot be as easily segregated from  
19 the administrative denial as one might hope because  
20 they're both inextricably intertwined at this point and  
21 both failed for the same reason. So I just do not see  
22 how this information prepared January-February 2019,  
23 which is after we even submitted the Mesquite  
24 applications, can be considered. But I understand that  
25 it's Mr. Brancard's position that it can be, and so that

1 goes to weight again and not perhaps admissibility

2 MR. BROOKS: Yes. And my concession is  
3 that an adequate predicate was not laid for  
4 admissibility -- or may not have been laid for  
5 admissibility. Let me put it that way. Since I'm  
6 making a concession, I want to make it as narrow as  
7 necessary. And that admission was limited to Exhibits  
8 9-B and 9-C.

9 MS. BENNETT: I think it was limited to --

10 MR. BROOKS: 9-C and 9-D, not 9-B. It did  
11 not apply to -- it didn't apply to 9-B. It does not  
12 apply to B, as in Bravo, but it applies to D, as in  
13 delta.

14 MS. BENNETT: And I have a series of  
15 questions that I intend to ask Mr. Goetze about those  
16 two exhibits, if that would be helpful for the examiners  
17 to revisit my objections after those two questions.

18 EXAMINER JONES: Let's do that. Admit them  
19 all, and then you guys ask your questions. Let's do  
20 that after lunch.

21 Let's break for one hour.

22 MS. BENNETT: 45 minutes?

23 EXAMINER JONES: Do you want to do 45?

24 MR. BROOKS: One hour.

25 EXAMINER JONES: Make sure everybody's back

1 by 1:00, and we'll start before 1:00.

2 (Recess, 11:54 a.m. to 1:05 p.m.)

3 EXAMINER JONES: We admitted the Division's  
4 exhibits into all five of these cases.

5 But Mesquite is only admitting its exhibits  
6 into the Mesquite cases, and that was intended; is that  
7 correct?

8 MS. BENNETT: That was my intent.

9 MR. BROOKS: It was our intent to tender  
10 our exhibits into all the cases that opposing counsel  
11 had opportunity to pose objections. But did you note  
12 the exhibits that were not admitted?

13 EXAMINER JONES: We admitted them all.  
14 There are going to be questions that bring out  
15 deficiencies or not deficiencies.

16 MR. BROOKS: Okay. Fair enough. Go ahead.

17 EXAMINER JONES: I guess we're ready for --  
18 Do you pass Mr. Goetze?

19 MR. BROOKS: Yes. I pass Mr. Goetze.

20 EXAMINER JONES: Ms. Bennett?

21 MS. BENNETT: Thank you.

22 CROSS-EXAMINATION

23 BY MS. BENNETT:

24 Q. Good afternoon, Mr. Goetze.

25 A. Good afternoon.

1           Q.    I just wanted to make sure about why we're here  
2   today with you and with Mr. Brooks.  You were here at  
3   the hearing that was less than a month ago -- I stand  
4   corrected on that -- where Mr. Neatherlin, for Mesquite,  
5   stated that Mesquite is seeking approval of these three  
6   applications; is that right?

7           A.    That is correct.

8           Q.    And were you here when Mr. Neatherlin testified  
9   that Mesquite is, in fact, complying with the 1.5-mile  
10  spacing requirement going forward?  Do you recall that?

11          A.    I was not aware of that.

12          Q.    Have you seen Mesquite's recent applications?

13          A.    I have.

14          Q.    And do they comply with the 1.5-mile spacing  
15  requirement?

16          A.    At this time, with 200 applications, theirs is  
17  farther down the queue currently.

18          Q.    But you don't have any idea whether Mesquite is  
19  complying with the 1.5-mile requirement?

20          A.    I would not have at this time.  No.  But I do  
21  know that their intentions were placed forward, and they  
22  have created that, so yes.

23                   MR. BROOKS:  I'm not really making an  
24  objection, just a point of correction.  There is no  
25  requirement as to the 1.5 mile, just a suggestion.



1

2           Q.    (BY MS. BENNETT) I'd like to refer to it from  
3 now on as the 1.5-mile screening tool.

4           A.    Yes.

5           Q.    So I wanted to bring to your attention a map  
6 that I don't intend to admit unless the examiners are so  
7 inclined, but it's an exhibit that, Mr. Goetze, I  
8 believe you prepared. It's a map that you prepared for  
9 another case. Earlier today you testified that you view  
10 the 1.5-mile spacing screening tool as -- as just that,  
11 right? When it comes down to it, it's a screening tool?

12          A.    Correct.

13          Q.    And you said -- you testified earlier today  
14 that it's your opinion that based on the 1.5-mile  
15 screening tool, Mesquite's application should be denied?

16          A.    Correct.

17          Q.    What I've given you-all today, before you, is a  
18 map that you prepared, Mr. Goetze; is that right?

19          A.    Correct.

20          Q.    When did you prepare this map approximately?

21          A.    About two weeks, three weeks ago for the  
22 hearing.

23          Q.    And was this a hearing for the Longwood Randy  
24 Allen Federal SWD No. 1?

25          A.    Correct.

1           Q.    And did you protest that hearing?

2           A.    No.

3           Q.    Did you deny that application?

4           A.    No.

5           Q.    Did you make Mr. Brooks file a prehearing  
6 statement in that case?

7           A.    No, because I was the hearing examiner, and it  
8 was taken under advisement.

9           Q.    And how far is the Randy Allen Fed SWD No. 1  
10 proposed to be from the Baker well?

11          A.    It is 1.13.

12          Q.    So if this truly were a screening tool, a  
13 thumbs-up or a thumbs-down, shouldn't the Randy Allen  
14 have been denied out of hand like the Baker well?

15          A.    Not until I know the outcome of Case 20472, in  
16 which case the priority of application, which makes the  
17 Baker higher on the priority, as approved by the  
18 Secretary, having primacy as far as which way that case  
19 would go. So we have an application. The Baker was  
20 filed prior to the Randy Allen.

21          Q.    So you're saying that the Baker application is  
22 in line in front of the Randy Allen?

23          A.    It is in a hearing. Yes.

24          Q.    And why then would you go to hearing on the  
25 Randy Allen if the Baker application is first in time?

1     **Why wouldn't you protest that hearing like you've done**  
2     **the Solaris application or the Blackbuck application?**

3                     MR. BROOKS:  Objection.  Again, Mr. Goetze  
4     has not filed the protest, nor has the Division  
5     simply --

6                     (The court reporter requested Mr. Brooks  
7                     speak louder.)

8                     MR. BROOKS:  Okay.  Let me say that my  
9     objection is that the statement that the Baker  
10    application -- that Mr. Goetze or the Division has filed  
11    an objection to the Baker application is incorrect.  
12    What they've done is put it to hearing.  The Division  
13    has put it to hearing, and Mr. Goetze has appeared as a  
14    witness.

15            Q.     **(BY MS. BENNETT) I'd like you to turn,**  
16    **Mr. Goetze, to Exhibit D-1 in the exhibits I prepared,**  
17    **page 82, in the revised materials.**

18                     MS. BENNETT:  And that's page 82.

19                     MR. BROOKS:  Okay.  Got it.

20                     THE WITNESS:  Yeah.

21            Q.     **(BY MS. BENNETT) There's some highlighted**  
22    **language at the bottom that says -- starts, "However,**  
23    **should the Applicant seek approval of these applications**  
24    **through hearing" --**

25            A.     Uh-huh.

1           Q.    -- "the Division will take certain action."

2   What is the action that the Division proposed to take?

3           A.    To oppose it.

4           Q.    So the Division stated in an email to my client  
5   that the Division does oppose these --

6           A.    Because we felt that it was not  
7   administratively approvable based on its proximity.  
8   Therefore, the opportunity for the Applicant to come to  
9   hearing was presented to them, and we would present  
10   ourselves, as we are now, providing what we have.

11                   MR. BROOKS:  Let me correct one thing  
12   further of what I said, correcting what I said.  I said  
13   the Division can merely put it to hearing.  In fact, the  
14   Division intervened as a party -- and I believe in this  
15   case and I know we did in several saltwater disposal  
16   cases -- and the reason they did that because of the  
17   nature of this hearing -- nature of this whole  
18   proceeding, there was some uncertainty.

19           Q.    (BY MS. BENNETT) With that clarification then,  
20   I would ask why the Division did not enter its  
21   appearance in Case Number 20484 and make that case go to  
22   hearing with the Division entering an appearance and  
23   providing the data that the Division has presented  
24   today?

25           A.    Because, one, at this time it still was

1 dependent. It still may be available for a denial.

2 Two, the fact that, again, we have over 200

3 applications. Sometimes we're not perfect.

4 Q. I'd like to you to turn to Exhibit Number --

5 it's in your materials, actually. It is behind Tab

6 Number 8, I believe. It's the orders that you included

7 in your packet and those are behind Tab 8.

8 MS. BENNETT: And just to reorient

9 everyone, the Mesquite applications were submitted in

10 July 2018 for the Laguna Salada. Just as a reminder,

11 the Laguna Salada administrative applications were

12 submitted in July 2018.

13 Q. (BY MS. BENNETT) So let's turn to Tab 8-D,

14 please. 8-D is the approval of the Chevron Maelstrom

15 well; is that right?

16 A. That's correct.

17 Q. And this was done on June 7th, 2018; is that

18 right?

19 A. Correct.

20 Q. Was the Chevron Maelstrom well closer than 1.5

21 miles to a Mesquite well?

22 A. I believe -- I don't know. I'd have to go back

23 and look at it.

24 MS. BENNETT: And I'm happy to have

25 Mr. Goetze confirm that, but I would also point out to

1 the examiners, on the Exhibit -- I'm sorry. On 5(n),  
 2 which is on page 3 of 8 of that order, it states, "The  
 3 estimated small increase in the reservoir  
 4 pressure...should not impact the reservoir pressures for  
 5 similar disposal operations in the same formation  
 6 located within a mile of the Subject Well." Does that  
 7 suggest to you that there was an SWD high-volume  
 8 disposal well within a mile?

9 A. I would not be able -- I'd have to go back and  
 10 look at my records.

11 Q. (BY MS. BENNETT) How about Finding 5(h)?  
 12 Finding 5(h) -- did you write this order, Mr. Goetze?

13 A. Yes, I did, very clearly.

14 Q. "There are no disposal wells...within a  
 15 one-mile radius of the Subject Well."

16 A. That's correct.

17 Q. So at the time this order was entered, which  
 18 was June 7th, only a month before Mesquite submitted its  
 19 application, you were looking at a one-mile radius?

20 A. Correct, as well -- as well as extending it  
 21 out.

22 Q. Where in this order does it show that you  
 23 considered a three-quarter-mile radius or a 1.5-mile  
 24 distance between the wells?

25 A. It was conversations that were being had with

1 expert witnesses as far as what we were going to do.  
2 Not expert witnesses, but experts in induced seismicity,  
3 looking at some sort of effort to move that area of  
4 review, first of all, because Chevron went to hearing  
5 because it was one of the first cases going to a larger  
6 injection volume, as well as a larger tubing size. And  
7 with that, Chevron had also offered to include requests  
8 by the Division with regards to doing induced  
9 seismicity. So at that point, there may have been a .5,  
10 but at the same time, it wasn't a situation such that we  
11 were not looking at what was coming in, especially with  
12 the concentration of Devonian wells that were occurring  
13 between Malaga and Loving.

14 Q. So a month before, though, it's safe to say  
15 that you were looking at the 1.5-mile?

16 A. We were, yes.

17 Q. And that was approved, that well?

18 A. Correct.

19 Q. And it was approved closer than 1.5 miles to a  
20 Mesquite well?

21 A. That's correct.

22 Q. So is it fair to say that as of June 2018,  
23 there was no three-quarter-mile radius requirement or  
24 spacing tool?

25 A. It would depend on what the Mesquite well was

1 injecting.

2 Q. And how is that relevant?

3 A. How is that relevant? We'd look at the  
4 proximity to that Mesquite well and what its design was  
5 and what it was injecting and, at that time, our early  
6 consideration to whether it had a smaller, say, 4-3/4 or  
7 it had been moved up to the 5-1/2-inch-7-inch  
8 combination. So --

9 Q. Did you look at that information when you  
10 issued the denial of the Mesquite Laguna Salada  
11 applications?

12 A. We looked at what Solaris had proposed and  
13 Intrepid had proposed for their wells, yes, in their  
14 applications.

15 Q. And did you put that anywhere in your denial  
16 letter to Mesquite that you were looking at volumes?

17 A. No. We did not put any specific reference.

18 Q. Turning back to some of your exhibits now, I  
19 wanted to start with Exhibit Number 2, which is the EPA  
20 work group document. Did you provide the EPA work group  
21 document to operators?

22 A. The posting of it was known. It is a -- it is  
23 a -- it was out there.

24 Q. Did you provide it? OCD, I mean, not you  
25 specifically.



1           A.    We did not post it on our website, but we did  
2   reference it.

3           **Q.    Where did you reference it?**

4           A.    In the meetings that we were having.  At that  
5   time NYC Technical Advisory Group, we were having  
6   meetings on disposal, and it was brought up and  
7   discussed there.

8           **Q.    But it was never posted on your web page?**

9           A.    No, it wasn't.

10          **Q.    Was it ever sent out to any operators?**

11          A.    It was -- the fact that we were talking about  
12   it, I assume you would know that and, therefore, its  
13   location being a public document would be available.

14          **Q.    But you never alerted any -- and by you, again**  
15   **I mean OCD.  OCD did not put on its website that it was**  
16   **considering using this document to create a new policy**  
17   **for the Division?**

18          A.    No.  It was not.  It has a front-page notice to  
19   operators.

20          **Q.    When you were testifying, you mentioned that**  
21   **EPA informed you, OCD, to review and move forward as you**  
22   **deemed appropriate.  And several times during your**  
23   **testimony, you mentioned that EPA requested that OCD**  
24   **come up with some induced-seismicity guidance.  Is that**  
25   **accurate?**

1           A.     Correct.

2           **Q.     Do you have any of those communications from**  
3 **EPA?**

4           A.     My discussions with Phil Dellinger are not  
5 necessarily recorded, but we do contact and we are  
6 provided contacts and we have mandates come out, whether  
7 it be this one or guidance documents. We have  
8 discussions with the EPA region, and with that, they  
9 provide us with what they think, verbally, they need.  
10 We also get written requests. And at this time, the  
11 other project that was going on was the UIC exempt  
12 aquifer program.

13          **Q.     When you had verbal discussions with EPA, did**  
14 **you -- did EPA ask you to impose a 1.5-mile screening**  
15 **tool?**

16          A.     No. Their indication was to take a look at the  
17 document, review its content and provide something in  
18 your program that would address the concerns that had  
19 been identified by the work group.

20          **Q.     So this document is dated February 6th, 2015;**  
21 **is that right?**

22          A.     Correct.

23          **Q.     And yet as of June 2018, three years --**  
24 **two-and-a-half years later -- I don't want to get**  
25 **sideways with Mr. Brooks on my calendaring. But**

1     sometime later, at least more than two years later, you  
2     still hadn't adopted or put into place the 1.5-mile  
3     screening tool suggestion; is that right?

4           A.     We had not put into a rule that type of  
5     distance.

6           Q.     Have you ever put it into a rule?

7           A.     There is nothing in the New Mexico  
8     Administrative Code to a specific distance between  
9     wells.

10          Q.     So I feel like you're alluding to something  
11     there or you're suggesting that there may be something  
12     someplace else.

13          A.     The only thing -- "alluding to" --

14                   MR. BROOKS:   Object, Your Honor.   The --  
15     New Mexico law is not subject to opinion by which this  
16     witness can be examined.   It's clear that New Mexico law  
17     requires rules to be incorporated for publication in the  
18     New Mexico Administrative Code.   If it's not in the  
19     code, it's not a rule.   That's a clear question of law.  
20     There is no need for opinion testimony.

21                   MS. BENNETT:   Thank you.   That was very  
22     succinctly put.   If it's not in the regulations, it's  
23     not a rule.

24                   MR. BROOKS:   If the examiners have any  
25     questions, they can ask counsel.

1           Q.    (BY MS. BENNETT) So -- but I -- that's my  
2   bigger question here, is that the 1.5-mile screening  
3   tool has never been -- the Division has never made that  
4   publicly available in any kind of digestible format to  
5   any operators? It's not on your website, for example?

6           A.    No. It was, again, held in discussion and  
7   offered individually.

8           Q.    Offered individually?

9           A.    Uh-huh. With emails from applicants.

10          Q.    At the time of denial?

11          A.    After the time of denial. I believe we do have  
12   an email conversation with several and prior to.

13          Q.    Did you ever email Mesquite alerting them to  
14   the fact that there had been a change and it was a  
15   1.5-mile screening tool now?

16          A.    I did have a discussion with one of your  
17   representatives on November 7th, 2018.

18          Q.    After the administrative applications had been  
19   filed?

20          A.    That's correct.

21          Q.    I wanted to look at page 9. When you  
22   testified, you said there were two -- and I'm on page 9  
23   of the EPA work group discussion document. So on page  
24   9, you said there were two items that stood out and  
25   those were -- and I forget what they were exactly,

1     **but --**

2           A.     Communication with basement rocks and the  
3     importance of porosity and permeability within the  
4     injection strata.

5           **Q.     And that's actually on --**

6           A.     Page 11.

7           **Q.     Okay.   That's what I thought.**

8                         But looking on page 9, the EPA identifies  
9     three key characteristics related to potential  
10    injection-induced seismicity that may lead to fault  
11    slippage.  Do you see those three considerations?

12          A.     That's correct.

13          **Q.     And would you mind reading those considerations**  
14    **into the record?**

15          A.     "An increase in the formation pore pressure  
16    from disposal activities; (2) a fault (or zone of  
17    multiple faults and fractures) optimally oriented for  
18    movement, located in a critically stressed region, of  
19    sufficient size, and possessing sufficient accumulated  
20    stress/strain, such that fault slip and movement would  
21    have the potential to cause a significant earthquake,"  
22    referenced as a Fault of Concern; and "(3) a permeable  
23    avenue (matrix or fracture permeability) allowing the  
24    pore pressure increase to reach the fault."

25          **Q.     Now, when you prepared your denial of the**

1     Laguna Salada applications, did you undertake any of  
2     that review for that site-specific area?

3           A.     No, I did not.

4           Q.     Did you prepare any sort of information like  
5     that for a site-specific-location review today for this  
6     hearing?

7           A.     No, I did not.

8           Q.     You were here when Mesquite's experts testified  
9     at the last time this hearing was convened?

10          A.     Correct.

11          Q.     And do you recall there was testimony that  
12     there is no fault of concern in the area?

13          A.     That is what -- based on publicly available  
14     information, yes.

15          Q.     When you were talking about the major takeaways  
16     of the sort of things that you looked at on pages 10 and  
17     11, did you consider any of these when you specifically  
18     looked at the Laguna Salada wells or the Baker wells  
19     when you denied those applications administratively?

20          A.     No.

21          Q.     How about today? Did you provide any  
22     information today about the Laguna Salada wells and the  
23     Baker wells specifically with respect to the geologic  
24     stress considerations?

25          A.     Not the geologic stress considerations.

1           Q.    **"Geophysical Data"?**

2           A.    No.

3           Q.    **"Communication with Basement Rock"?**

4           A.    Consideration was given to that and its  
5 proximity.

6           Q.    **Where is that in your exhibits?**

7           A.    Oh. Just in thought.

8           Q.    **In thought. So that's a no?**

9           A.    No.

10          Q.    **"Importance Of Porosity And Permeability Of**  
11 **Injection Strata."** Did you look at that for the  
12 **specific location we're talking about?**

13          A.    Yes. That's correct.

14          Q.    **And where is that in your --**

15          A.    I did not provide any testimony for that.

16          Q.    **How about "Petroleum Engineering Politics For**  
17 **Evaluating Induced Seismicity"?**

18          A.    It would be difficult considering the limited  
19 information in the area, but no, I did not offer any  
20 testimony to that fact.

21          Q.    **So the five areas that EPA recommends to**  
22 **regulate or review and provide technical analysis of,**  
23 **you did not do for this case today?**

24          A.    What a regulator would consider and provide an  
25 assessment, no.

1           Q.    And did you provide an assessment of any of  
2   these five for the hearing today?

3           A.    I did not.

4           Q.    Did you provide any of these five when you  
5   denied the Mesquite applications?

6           A.    No.  The original Mesquite applications were  
7   based on a lack of this information in the sense that if  
8   we were to go to hearing, I'm sure this would be  
9   information brought forward.

10          Q.    That brings me to a question I've been  
11   pondering all these days.

12                   MR. BROOKS:  Excuse me.  What page are you  
13   on when you were talking about the --

14                   MS. BENNETT:  It's 10 and 11, behind Tab 2.

15          Q.    (BY MS. BENNETT) All these long days I've been  
16   thinking to myself, Mr. Goetze, why didn't you just  
17   email -- instead of denying it outright, why didn't you  
18   just email Mesquite and ask them to provide you with the  
19   information that Mesquite was willing to and has now  
20   provided at hearing?

21          A.    At that time, because of the pressures of work,  
22   as well as not having a good model as to what we should  
23   do, the Division responded based upon the application  
24   and on the merit of its own application.

25          Q.    Did you -- I thought you said, though, you used



1     the 1.5-mile as a screening tool?

2           A.     That's correct.

3           Q.     So am I right that that's a thumbs-up or a  
4     thumbs-down?

5           A.     It may be -- well, let's take that back. The  
6     .75 provided an optimum available information screening  
7     device and, with that, the abilities to make a decision  
8     with the application and, with that, a decision as to  
9     whether it could be administratively approved or not is  
10    what we used.

11          Q.     Okay. I don't know that you actually answered  
12    my question, but we'll just move on from there.

13                   Let's see. On page 25 of that same report,  
14    you said -- again, you were talking about the confining  
15    layer here.

16          A.     Uh-huh.

17          Q.     And you spent a lot of time in your testimony  
18    actually talking about the confining layers, the  
19    Ellenburger, the confining lower layer, I guess I would  
20    call it. And that doesn't take into account the Montoya  
21    and the Simpson, does it?

22          A.     The confining layer has always been identified  
23    as the Montoya and the Simpson. The Ellenburger, in our  
24    discussion, is shown as being a conduit based upon its  
25    lithology as a probable conduit to the Precambrian.

1     So --

2           Q.     Okay.  So that helps me understand that a  
3     little bit better.  So you weren't suggesting that the  
4     Ellenburger is a defining layer.

5           A.     No, no, no, no.

6           Q.     You're acknowledging there are actually two  
7     other formations that are a defining layer?

8           A.     There are two formations of which one we permit  
9     to be drilled into.

10          Q.     The Montoya?

11          A.     Correct.

12          Q.     And how deep can folks drill into the Montoya?

13          A.     We request a maximum of 100 feet.

14          Q.     Is that available in any rule?

15          A.     No.  But that is based upon a tooling for  
16     running a log tool suite so that you can see the  
17     contact.

18          Q.     And how do people find out that the Division is  
19     only allowing folks to drill 100 feet into the Montoya?

20          A.     It is included in the order.

21          Q.     So there is no prenotice of that?

22          A.     Not when it comes to conditions of approval.

23          Q.     When did you start -- what did OCD decide to  
24     not allow folks to drill into the Montoya more than 100  
25     feet?

1           A.    Oh, it goes back, I would say, middle of 2018.

2           Q.    And there's been nothing on your website about  
3   that?

4           A.    Not -- because it's issued order by order, and  
5   it is reflective of an industry standard of having to be  
6   able to correlate and know if you are in the correct  
7   interval, which is what the permit is issued for.

8           Q.    Would you say that the Division's decision to  
9   only allow drilling into 100 feet of the Montoya is  
10   designed to protect against communication with the  
11   basement?

12          A.    It is part of the effort to isolate and make  
13   sure the Montoya contributes.

14          Q.    So the Division has already undertaken several  
15   regulatory steps to reduce the likelihood of  
16   communication from the injection layer to the  
17   Ellenburger and beyond?

18          A.    I believe my exhibits, which included the  
19   letter to the Director, did specify that.

20          Q.    Is the frac gradient part of that or the frac  
21   limited, the .2?

22          A.    The .2? As in --

23          Q.    The thing that you multiply times the depth to  
24   get the maximum psi at surface. I'm not asking if  
25   that's part of the letter to the Director, but is that

1 part of the controls that the Division has put in place  
2 to protect against fracturing?

3 A. It is a tool that was put in place by our  
4 primacy agreement with the EPA and --

5 Q. That's fine. I just wanted to make sure that I  
6 understood that that was another control that the  
7 Division has put in place.

8 A. It is also found in our downhole commingling,  
9 too.

10 Q. I wanted to turn back to ES-2 of the EPA  
11 report. It's page ES-2 in the Executive Summary. And I  
12 think you might have touched on this, but I can't  
13 remember. But in the first full paragraph, there is a  
14 sentence that starts "The Class II UIC program does not  
15 have regulations specific to seismicity...."

16 A. Is that ES-2, or are you just looking at 3?

17 Q. I'm looking at ES-2. It's in the full first  
18 paragraph. The paragraph starts "Disposal wells are one  
19 of a...."

20 A. Oh, yes.

21 Q. And about -- I'm just going to skip to the  
22 chase. I'm going to read it into the record rather than  
23 make you find it. But it's the last sentence. "This  
24 report is not a guidance document and does not provide  
25 specific procedures, but it does provide the UIC

1     Director with considerations for addressing induced  
2     seismicity on a site-specific basis...." Is that  
3     accurate?

4             A.     Correct. That's what it says.

5             Q.     Did you consider induced seismicity on a  
6     site-specific basis for the Mesquite Laguna Salada  
7     wells?

8             A.     When they were first denied?

9             Q.     Yes, when they were first denied.

10            A.     No, I did not.

11            Q.     Did you for the hearing today?

12            A.     I have reviewed their testimony but not -- I've  
13     offered nothing.

14            Q.     You've offered nothing that would show that you  
15     considered or addressed induced seismicity on a  
16     site-specific --

17            A.     Not for this.

18            Q.     And not for the Baker well?

19            A.     Not for the Baker.

20            Q.     The next sentence down says, "The working  
21     group" -- and I am quoting again -- "noted that no  
22     single recommendation addresses all of the complexities  
23     related to injection-induced seismicity, which is  
24     dependent on accommodation of site geology, geophysical  
25     and reservoir characteristics."

1                   **Does your 1.5-mile screening tool consider**  
2   **site geology?**

3           A.    As we apply it?  As -- as was used for the  
4   denial?

5           **Q.    Yes.**

6           A.    It did.

7           **Q.    How did it?**

8           A.    How did it?  We looked at the information,  
9   again, provided at hearing and found that at that .7  
10   mile, we were starting to see cumulative effects of  
11   injection in the models.

12          **Q.    You're talking about the Chevron hearing?**

13          A.    Matador, Chevron.

14                   With that as a preliminary concept, we went  
15   to look at the ability of the Division to have some sort  
16   of device, as prudent as it may be, to help resolve the  
17   application -- the density of applications which have  
18   been coming.

19          **Q.    But you didn't look at any site geology for the**  
20   **Mesquite wells?**

21          A.    It is not site-specific.

22          **Q.    Oh.**

23                   **In this study and elsewhere, you said that**  
24   **these materials support your conclusion that applying**  
25   **the 1.5-mile screening tool is appropriate.  Where in**

1     **the EPA document does it say 1.5 miles?**

2           A.     It says the spacing of wells should be  
3     considered.

4           **Q.     Does it say 1.5 mile is protective of the**  
5     **environment?**

6           A.     The U.S. EPA document is for all regions, from  
7     East Coast to West Coast, from Ohio to Pennsylvania to  
8     Oklahoma to Texas to New Mexico.  Again, we drew upon  
9     the best testimony at the time to make a decision.

10          **Q.     And so would you say then that the EPA document**  
11     **covers the Raton Basin, too?**

12          A.     Yes, it does.

13          **Q.     So does it -- anywhere in the EPA document,**  
14     **does it say you should look to Texas to see what's**  
15     **happening in Texas and decide whether that applies in**  
16     **New Mexico?**

17          A.     Well, this brings about a little bit of a  
18     consternation as a professional geologist.  Having had  
19     hearings and testimony by expert witnesses with regard  
20     to, say, geology of the Texas side of the Permian Basin  
21     being entered as exhibits to demonstrate what is  
22     happening in the Delaware on the New Mexico side, as a  
23     geologist, you look at other people's situations, and we  
24     do consider them.  So Texas and Oklahoma have provided  
25     us as a best example of what is happening.

1 Q. Based on those areas' geology?

2 A. They're unique.

3 Q. And the formations into which those wells are  
4 injecting?

5 A. The Texas side, we do share formations.

6 Q. But some of the documents that you cited were  
7 also injecting into the Ellenburger, which the Division  
8 has said is a no-go here, right?

9 A. We did, but, again, we have approved  
10 Ellenburger injection previously.

11 Q. Previously.

12 So you talked about the distance between  
13 wells that's on page 34 of the EPA handbook and you said  
14 there were three approaches -- operational, monitoring  
15 and management -- and you looked primarily at the  
16 operational approach? There are about -- I'm just  
17 counting, one, two, three, four, five, six, seven,  
18 eight, nine -- ten bullets there.

19 A. That's correct.

20 Q. And out of those ten, you picked "separate  
21 multiple injection by a larger distance...."

22 A. That's correct.

23 Q. And you decided to apply that bullet  
24 uniformly -- well, quasi-uniformly?

25 A. Quasi-uniformly and temporarily because we



1     don't have a program in place that addresses induced  
2     seismicity.

3           **Q.     Temporarily?**

4           A.     Well, at this point we were moving forward with  
5     it, and so we are using it as a tool.

6           **Q.     So are you saying that next week you could**  
7     **change it to a mile radius, and everyone here who has**  
8     **wells -- applications pending where there's going to be**  
9     **now two miles, that's fine?**

10          A.     Actually, it went in the other direction.

11          **Q.     I know it didn't this time, but I'm asking you**  
12     **if you could do that next week.**

13          A.     Based on my scientific knowledge, I would not  
14     expand. As a matter of fact, I would take a different  
15     approach.

16          **Q.     What approach would you take?**

17          A.     Having a program in place.

18          **Q.     Through a rulemaking?**

19          A.     Whatever management decides.

20          **Q.     So this is a management decision about whether**  
21     **to have a rulemaking or not?**

22          A.     Part of it is, yes.

23          **Q.     What's the benefit in your mind -- you said**  
24     **earlier -- you testified that you've been involved in**  
25     **rulemaking. What's the benefit of having a rulemaking?**

1           A.    The benefit of rulemaking would take and  
2   provide an ability for those parties wishing to -- it  
3   would put it more defined.

4           Q.    And would the regulated entities have an  
5   opportunity to participate in that?

6           A.    Normally the regulated entities are the ones  
7   who propose it.

8           Q.    And the regulated entities would propose it?  
9   Is that what you're saying?

10          A.    No.   The regulators would propose it.

11          Q.    Yeah.   And then the regulated entities, like  
12   Mesquite, would have an opportunity to participate?

13          A.    That's correct.

14          Q.    And then it would be a formal decision,  
15   published, subject to hearing, subject to notice and  
16   comment, that everyone would know about?

17          A.    Correct.

18          Q.    That's not what happened here, though?

19          A.    No.   There was no notice to operators.

20          Q.    How about -- Mr. Brooks asked you if the  
21   Division can do things by rules and orders, and the  
22   statute does say the Division can do things by rules and  
23   orders.   Is there an order that you can point me to that  
24   says the Division is now imposing a three-quarter-mile  
25   radius?

1           A.     No.

2           Q.     And I'd like to contrast that with your exhibit  
3     that you provided, Exhibit 9-E. Exhibit 9-E is a form  
4     of an SWD order apparently that the Division came up  
5     with.

6           A.     That's correct.

7           Q.     And it has three new criteria in it?

8           A.     No. Those are requests for information. And  
9     if the applicant wished not to, they did not. You'll  
10    find them without that. It is possible for those who  
11    follow us will have an idea to what level of information  
12    was provided for that application.

13          Q.     It doesn't say anything about a  
14    three-quarter-mile radius here, does it, in the  
15    template?

16          A.     No, it does not.

17          Q.     But it does include other suggestions that were  
18    made around the same time?

19          A.     That's correct.

20          Q.     So there is no way anyone would know from  
21    reading this form of order or orders that have been  
22    issued since about the three-quarter-mile radius?

23          A.     Other than individual contacts and discussion  
24    with me.

25          Q.     Discussion with you?

1           A.     And Mr. McMillan.

2           Q.     You know, one of the things you talked about  
3     behind Tab 4 -- and I apologize. I'm jumping around a  
4     little bit here. You identified a whole bunch of  
5     exhibits about Oklahoma --

6           A.     Uh-huh.

7           Q.     -- and Oklahoma's new process.

8           A.     Right.

9           Q.     One thing -- if you wouldn't mind turning to  
10    Tab 4. One thing that struck me about Tab 4 is the  
11    amount of publicly available information that Oklahoma  
12    gave.

13          A.     That's correct.

14          Q.     And when I'm looking at this, I see, February  
15    24th, 2017, a news release, "Looking Ahead - New  
16    Earthquake Directive Takes Aim at Future Disposal  
17    Rates." Does the OCD put anything like this on the  
18    books?

19          A.     I believe you would have to ask the Director  
20    and staff. I am not that. I am the UIC technical  
21    advisor.

22          Q.     To your knowledge, as a UIC technical advisor,  
23    has anyone asked you to prepare any paper or news  
24    release to be put on the OCD website?

25          A.     Not currently, not in the history.

1           Q.    Has anyone asked you to put anything about the  
2   three-quarter-mile radius together to put on the  
3   website?

4           A.    No, they have not.

5           Q.    And when you look at this -- I mean, there  
6   is --

7           A.    It's quite extensive.  It's quite extensive.

8           Q.    -- three or four years' worth of material that  
9   the --

10          A.    Uh-huh.

11          Q.    -- Oklahoma -- whatever they're called --  
12   Corporation Commission has put on their website.

13          A.    Uh-huh.

14          Q.    Contrast that with apparently none on the OCD  
15   website, to your knowledge?

16          A.    To my knowledge.

17          Q.    You know, earlier you talked about  
18   collaborating with Texas, and you said that Texas is  
19   like a really great model for us to follow, New Mexico,  
20   or at least they have -- you said Texas has a program  
21   that's been thoroughly investigated and developed.

22          A.    Right.

23          Q.    Does Texas have any spacing requirements?

24          A.    No.  Texas has a much different system.

25          Q.    So no spacing requirements?

1           A.     No.

2           Q.     You mentioned that you've been collaborating  
3     with Texas for five months.

4           A.     Uh-huh.

5           Q.     Have you invited any regulative entities to  
6     collaborate with you and Texas for the past five months?

7           A.     Actually, it's the regulated entities that have  
8     come and approached us. That would be XTO, Chevron,  
9     Marathon. All these folks have come to us with the  
10    recommendation of SICR and have provided us with what  
11    you see as Exhibit 11.

12          Q.     So you got that from Marathon and Chevron and  
13    XTO?

14          A.     And their consortium, yes.

15          Q.     But have you invited any other SWD operators  
16    like Mesquite or NGL or Solaris or Blackbuck to  
17    participate in your communications with the Texas  
18    regulators?

19          A.     We have not had meetings of the UIC work group  
20    for some time.

21          Q.     So that's a no?

22          A.     That's a no.

23          Q.     You know, I don't know who has my Exhibit 11.  
24    I don't seem to have it anymore, but pretend for the  
25    moment that -- okay. I've got it.

1                   So we already talked about how there is no  
2   1.5-mile spacing requirement; is that right?

3           A.    That's correct.

4           Q.    And they had a seismicity screen that you  
5   talked about.

6           A.    Uh-huh.

7           Q.    And when I looked at Exhibit 11, it says, "An  
8   earthquake event" -- and I'm looking at page 9 of  
9   Exhibit 11. "An earthquake event of 2.0 magnitude or  
10   greater within the 9.08-kilometer area of review will  
11   trigger the seismic review." Does that mean that  
12   Texas -- in your opinion, does that mean that Texas only  
13   undertakes a seismic review if there is an earthquake  
14   greater than 2.0 in the area of review?

15          A.    That's correct.

16          Q.    Did you -- even just using publicly available  
17   information, did you consider whether there had been an  
18   earthquake event of 2.0 magnitude or greater within 9.08  
19   kilometers of the Mesquite wells?

20          A.    No, because I didn't have that.

21          Q.    You don't have that what?

22          A.    I don't have this as an adoptive procedure yet  
23   or have not gone to that point, to the ten square miles,  
24   which was adopted by the Texas Railroad Commission.

25          Q.    You were here when Mr. Reynolds testified at

1     the last hearing, right?

2           A.     Correct.

3           Q.     Do you recall that he used the ten square  
4     miles?

5           A.     That's correct.

6           Q.     100 square miles --

7           A.     The 10-by-10 --

8           Q.     Yeah, 10-by-10.

9           A.     -- which the Texas Railroad Commission uses.

10          Q.     Yes.

11                         So is it fair to say -- and I can ask  
12     Mr. Reynolds this, but you might just recall that he  
13     followed the Texas Railroad Commission process.

14          A.     Mr. Reynolds has presented testimony in many  
15     cases, and he does follow a very thorough procedure.

16          Q.     And did he do that for the Mesquite cases?

17          A.     Yes, he did.

18          Q.     So he followed the exact approach that you  
19     consider as --

20          A.     What we are --

21          Q.     -- thoroughly investigated and developed?

22          A.     What we are looking at as being a method for us  
23     to use.

24          Q.     And he used that already?

25          A.     That's correct.



1           **Q.    For these exact wells?**

2           A.    Correct.

3           **Q.    And he identified no faults of concern?**

4           A.    Based on the publicly available information,  
5    yes.

6           **Q.    I just want to qualify that.  It's not just**  
7   **publicly available information that Mesquite was using,**  
8   **is it?  They were using information from NGL's seismic**  
9   **monitoring network?**

10          A.    But they were not using any 3D seismic or 2D  
11   seismic that I was aware of.

12          **Q.    Is that how you define publicly available?**

13          A.    No.  That's not publicly available.

14          **Q.    No.  But, I mean, is that the difference**  
15   **between publicly available and not publicly available,**  
16   **is 3D versus a private network --**

17          A.    No.  But what you're looking at -- the -- the  
18   concept of using 3D seismic to improve your  
19   understanding of what faults are in the Precambrian is  
20   one of the issues that was raised in several papers, is  
21   how accurate of the information you have and putting it  
22   into the model.

23          **Q.    Does the Texas Railroad Commission require 3D**  
24   **seismic modeling?**

25          A.    Depending upon what level of concern they have.

1           Q.    Would you have to be above 2.0 magnitude to get  
2   there?

3           A.    You would have to have something to motivate  
4   you up.

5           Q.    Was there any evidence that you saw at the time  
6   of the denial to motivate you to think that there was  
7   something higher than 2.0 in that area?

8           A.    I did not have this information at the time.

9           Q.    Even publicly available information? I mean  
10   there's USGS --

11          A.    Even publicly available information for the  
12   process which they use.

13          Q.    Hold on a second.

14          A.    Yes.

15          Q.    So are you saying that you didn't even look at  
16   publicly available information for seismic data when you  
17   denied the Baker -- I'm sorry -- the Laguna Salada  
18   applications?

19          A.    The information provided through New Mexico  
20   Bureau was looked at. I did not look at TexNet at that  
21   time. No, I did not, nor did I apply this information  
22   since I did not have it at the time.

23          Q.    Right. You didn't have this information at the  
24   time, did you?

25          A.    No, I did not.

1           Q.    I think that was one of my objections to using  
2   the exhibit, but I won't go into that any more.

3                   Does Texas have any kind of spacing  
4   requirement in its model -- I mean in its --

5           A.    In its UIC program?

6           Q.    Yeah.

7           A.    No, it does not.

8           Q.    Does Colorado?

9           A.    No, it does not.

10          Q.    Oklahoma?

11          A.    It uses a system which regulates based upon  
12   proximity, so --

13          Q.    The net volume?

14          A.    As well as proximity.

15          Q.    Where is that in the materials, that Oklahoma  
16   regulates based on proximity?

17          A.    Well, it would be in the -- looking at the  
18   reduction plan, and in the Logan trend proper, they do  
19   take into account proximity of disposal wells. They  
20   also consider it as a part of their red, yellow and  
21   green light, based upon what I've seen.

22          Q.    Is that triggered by a specific location  
23   instead of the Logan?

24          A.    They look at a collective set of wells.

25          Q.    Around a specific location?

1           A.    That's correct, around an event.

2           Q.    Around an event?

3           A.    That's correct.

4           Q.    And there haven't been any events in the area  
5 of the Mesquite wells, have there?

6           A.    Based upon information, none.

7           Q.    So is it fair to say that -- well, I'm not  
8 going to ask that question.

9           A.    Remember, I'm not a seismologist.

10          Q.    I know.

11                   Let's see. A lot of the materials that you  
12 prepared -- not prepared, but provided in your exhibits  
13 all relate to either Oklahoma, Texas, other states, or  
14 those that do relate to New Mexico are based on enhanced  
15 recovery, secondary recovery; is that right?

16          A.    As well as Dagger Draw.

17          Q.    And how far away from the Mesquite wells is  
18 Dagger Draw?

19          A.    Dagger Draw is to the north, the potash area,  
20 so it is --

21          Q.    About how many miles would you say?

22          A.    Ten to the Lagunas.

23          Q.    How about more like 40?

24          A.    40.

25          Q.    Okay. How about the WIPP project, the Waste

1     **Isolation Pilot Plant, do you know how far that is to**  
2     **the Mesquite wells?**

3           A.     Yes, I do. The Laguna Salada wells are 12 to  
4     12.8 miles. The Blackbuck-Solaris are 9 to 9.5 to the  
5     southeast, and the Baker is 9.1 or 9.2 miles to the  
6     south of the WIPP perimeter.

7           **Q.     So ten-ish?**

8           A.     Uh-huh.

9           **Q.     And how about from the potash areas? I didn't**  
10    **really understand your concern about Mesquite somehow**  
11    **affecting the potash --**

12          A.     Well, if you have a seismic event -- and the  
13    mining that is done there is critical -- pillar [sic],  
14    you can impact the supports which hold the back of the  
15    mine up.

16          **Q.     And how far are the nearest potash --**

17          A.     Workings?

18          **Q.     Yeah.**

19          A.     To the Baker, I would say six -- 16.

20          **Q.     16?**

21          A.     Uh-huh. We have workings in 23 South, 20 East,  
22    and then down to 23 -- excuse me -- 22 South, 30; 23  
23    South, 30; 23 South, 29, based upon the BLM.

24          **Q.     Okay. Earlier today Mr. Brooks said that you**  
25    **need to take into consideration induced seismicity**

1     because it's an impact to the public's health when  
2     houses shake. Is that a resource protected by -- is  
3     that a U.S. underground source of drinking water,  
4     people's houses?

5           A.     No. That's under our general rules, is to  
6     protect the environment.

7           Q.     So would you say that your regulation of UICs  
8     is limited by or is defined by the MOU and your primacy  
9     agreement with the federal government?

10                  MR. BROOKS: Objection to that question.  
11     It's asking the witness to comment on the source -- on a  
12     legal issue of what the grounds for regulations are  
13     under New Mexico law.

14                  MS. BENNETT: I was under the impression  
15     that Mr. Goetze was an expert in the UIC program, and he  
16     himself testified about the memorandum of understanding  
17     and the primacy agreement earlier today and has, in  
18     fact, included it as an exhibit.

19                  MR. BROOKS: Well, I didn't object to the  
20     question about the UIC program and the primacy  
21     agreement. I objected to the question asked of  
22     Mr. Goetze whether or not the OCD has also -- New Mexico  
23     law.

24                  MS. BENNETT: So he doesn't know the answer  
25     to that?

1 MR. BROOKS: Best to question him.

2 EXAMINER BRANCARD: I think he already  
3 answered it on the previous question.

4 THE WITNESS: Probably.

5 MS. BENNETT: That's fine.

6 MR. BROOKS: My contention would be that  
7 the -- the OCD, when it is acting as -- as having  
8 primacy under the Safe Drinking Water Act is regulating  
9 injection. It also regulates injection and does not  
10 have different procedures when it is exercising its  
11 power under the Oil and Gas Act. So the regulation of  
12 injection is a dual-function regulation.

13 MS. BENNETT: If I could rephrase my  
14 question.

15 EXAMINER BRANCARD: Okay.

16 Q. (BY MS. BENNETT) Are you familiar with the OCD  
17 injection regulations?

18 A. Under the New Mexico Administrative Code?

19 Q. Yes.

20 A. Yes.

21 Q. And are you familiar with Rule 19.15.26.6?  
22 It's a rule within the injection --

23 A. Yes. I know what it is, but I don't have a  
24 specific reference of it in front of me.

25 Q. I'll read it, and I will suggest to you that I

1 have copied it verbatim from the regulations. It says  
2 that "the effect of the UIC regulations is to" -- and I  
3 quote -- "regulate injection wells under the Oil and Gas  
4 Act and to maintain primary enforcement authority for  
5 the Safe Drinking Water Act." Is that the objective of  
6 the UIC program -- New Mexico UIC program?

7 A. So far, yes.

8 Q. And how about New Mexico Statute Annotated  
9 70-2-12(B)(15), which is the Division's authority? Are  
10 you familiar with that statute?

11 A. Correct.

12 Q. I'm going to read something again that I will  
13 say to you is a quote from the statute. You can check  
14 me. "The Division is authorized to" -- and I quote --  
15 "regulate the disposition of water, produced or used in  
16 connection with the drilling for or producing of oil and  
17 gas." And I'm entering an ellipses here. And it says,  
18 "In a manner that will afford reasonable protection  
19 against contamination of freshwater supplies designated  
20 by the State Engineer." Does that sound about right to  
21 you?

22 A. Correct.

23 Q. Where in the Baker denial did you -- I'm  
24 sorry -- the Laguna Salada denial or today even have you  
25 identified freshwater supplies designated by the State



1     **Engineer that will be affected by the injection in these**  
2     **wells?**

3                     MR. BROOKS: I don't exactly have an  
4     objection to that question except to the extent that it  
5     suggests that the authority under the New Mexico  
6     rules -- under the New Mexico Oil and Gas Act is limited  
7     to Section 15 of 19. -- of 70.2 -- 70-2-12B and also  
8     includes -- and it also includes another subdivision --  
9     at least one other subdivision of the same section of  
10    the statute and authorizes the Division to regulate the  
11    disposition of oil in place for the protection of  
12    the -- for protection of the public health and the  
13    environment.

14                    MS. BENNETT: Okay.

15                    EXAMINER BRANCARD: Well, my concern with  
16    the question is not that. It's that you keep referring  
17    to the denial, which is not at issue here. What's at  
18    issue here is your application.

19            Q.     **(BY MS. BENNETT) Okay. Where in the materials**  
20    **today did you identify a freshwater supply designated by**  
21    **the State Engineer that will be impacted or potentially**  
22    **impacted by the drilling of the injection into the**  
23    **Laguna Salada wells?**

24            A.     I have not.

25            Q.     **And you didn't for the Baker wells -- with the**

1     **Baker well either, did you?**

2           A.     I have not.

3           **Q.     Where in your materials today did you identify**  
4     **any place where the Baker well will affect correlative**  
5     **rights of mineral interest owners?**

6           A.     If all was processed accordingly and with  
7     notice given, chances are both applications -- well, all  
8     three applications will have successfully noticed what  
9     we would potentially feel would be an individual with  
10    correlative rights.

11          **Q.     Okay. I'm going to ask the question again**  
12    **because I'm not sure I understood your answer.**

13          A.     Well, with the administrative review, we  
14    are asked -- as we go back to the exhibit, we asked the  
15    parties to do a one-mile notice, and so there has never  
16    been an issue or a question. And in most cases, asking  
17    or requesting above the one-half mile, as we had  
18    proposed or have in the primacy agreement, we always  
19    overnote as a means of protecting correlative rights.

20          **Q.     So I guess just to summarize -- and tell me if**  
21    **I'm incorrect here -- you're saying that the notice**  
22    **requirements protect correlative rights?**

23          A.     That's correct.

24          **Q.     And there was no indication that Mesquite did**  
25    **not comply with the notice requirements?**

1           A.    We didn't with the original application either,  
2   so --

3           Q.    So there is nothing in your materials today  
4   that would suggest there is a potential impact to  
5   correlative rights?

6           A.    We have provided proper notice, and we feel  
7   that that was adequate.

8           Q.    So that's it?

9           A.    Yes.

10          Q.    Thank you.

11                   I wanted to look at Exhibit -- it's behind  
12   Tab 7.  It's Exhibit 7-D.  It's the Snee and Zoback  
13   paper, I believe, and it's on page 132 of that exhibit.  
14   You quoted from this exhibit.

15          A.    That's correct.

16          Q.    And you talked about how there are -- the  
17   stress field is complicated, changes in the stress field  
18   are coherent and mappable, and then -- are you there?

19          A.    Yes.

20          Q.    Okay.  It's on page 132, behind Tab A [sic] of  
21   the Snee and Zoback paper.  If only these were  
22   consecutively paginated.

23                   (Laughter.)

24          Q.    7-D.  "Operators wishing to use the FSP tool to  
25   screen sites for fluid injection should use detailed

1     **fault maps that are specific to the injection**  
2     **interval" --**

3           A.     Correct.

4           Q.     -- "the underlying basement, and any  
5     **intervening units, which take into account geometric**  
6     **uncertainties."**

7           A.     Uh-huh.

8           Q.     Did you run a fault slip analysis for today's  
9     **hearing?**

10          A.     No, I did not because I'm not a seismologist.

11          Q.     Did you consider -- did you prepare or look at  
12     **any detailed fault maps of this area?**

13          A.     No, I did not.

14          Q.     Were you here when Mr. Reynolds testified?

15          A.     Yes. I was here when Mr. Reynolds testified.

16          Q.     And he used the fault screen -- fault slip  
17     **probability tool to screen those sites, didn't he?**

18          A.     We used the Stanford model, which we've  
19     accepted as a viable documentation for assessments.

20          Q.     And he looked at the -- he prepared detailed  
21     **fault maps specific to the injection interval, and he**  
22     **looked at the basement and intervening units and took**  
23     **into account geometric uncertainties?**

24          A.     I would defer to his discussion.

25          Q.     Okay. But it's fair to say that he undertook a

1     **fault slip probability analysis that the Stanford folks,**  
2     **that you cited to, contemplated?**

3           A.     He provides a good demonstration of information  
4     using the fault slip model. He provided an accurate  
5     depiction of what we asked for, as well as the  
6     information currently being required on many  
7     applications.

8           Q.     In your opinion, based on what you've  
9     reviewed -- you said you reviewed the testimony and the  
10    **exhibits that Dr. Zeigler --**

11          A.     Uh-huh.

12          Q.     -- prepared and supplied in the prior duration  
13    **of this hearing?**

14          A.     Correct.

15          Q.     And she concluded that there would be no impact  
16    to freshwater resources based on the injection if  
17    injection was approved in these wells? Do you recall  
18    **that?**

19          A.     That's correct.

20          Q.     Did you prepare anything today that contradicts  
21    **her?**

22          A.     We've never had an issue with that. There was  
23    always a basis of well construction.

24          Q.     So you've never had -- you're not taking issues  
25    **today with the fact that these three wells as proposed**

1     **won't impact freshwater resources?**

2           A.     I would take a look back at Solado, but I  
3     believe the well constructions were typical of wells in  
4     the area.

5           Q.     And, you know, earlier you spent a lot of time  
6     talking about the Ellenburger, and we talked about this  
7     a little earlier. But aren't all of the SWDs that are  
8     being proposed right now, aren't they all above the  
9     Ellenburger? If there are concerns about the  
10    Ellenburger, are you going to stop issuing SWD permits  
11    because you can't -- you don't have enough information?  
12    I mean, that's sort of what I took away from your  
13    discussion of the Ellenburger earlier.

14          A.     We are receiving as many as ten applications a  
15    week. Each of them will be required to log, and with  
16    that logging, a definitive mapping would increase.  
17    Right now I have several wells where bottom-hole  
18    determinations are irregular at best and have not been  
19    correlated properly. So the issue gets to be, as we  
20    accumulate these wells, just where is that bottom and  
21    where it is in relationship to the Ellenburger.

22          Q.     But there is still the Simpson and the Montoya  
23    between the injection interval and the Montoya -- I'm  
24    sorry -- the Ellenburger?

25          A.     There is the Ordovician. Yes.

1           Q.    Earlier today you talked about the order where  
2   you denied Mesquite's application to increase the tubing  
3   size?

4           A.    That's correct.

5           Q.    Do you remember in that order that you -- and  
6   maybe you do remember; maybe you don't. But I'm going  
7   to read to you from the order. And I'm happy to hand  
8   this out.

9           A.    Uh-huh.

10          Q.    But your paragraph number nine, "The Division  
11   supports the use of the Devonian and Silurian Formations  
12   as suitable disposal intervals to lessen the potential  
13   impact on production of hydrocarbon resources." Is that  
14   still your position?

15          A.    Yes, it is.

16          Q.    And so your concerns earlier today about the  
17   lack of information about the Ellenburger and lack of  
18   well controls, that doesn't undermine your statement --  
19   apparently continuing statement that the  
20   Devonian-Silurian Formation are suitable disposal  
21   intervals?

22          A.    The Division is continuing with this effort.

23          Q.    I was also intrigued by something you wrote in  
24   this order. In paragraph ten, you noted, "UIC Class II  
25   wells" -- and this was written March 30th, 2017. "UIC

1     Class II wells are not subject to any spacing  
2     requirements" --

3             A.     That's true.

4             Q.     -- "as described in Division Rule 19.15.15  
5     NMAC, and the Division is not statutorily obligated to  
6     protect the correlative rights of operators with regards  
7     to produced water disposal unless such injection  
8     activities impair an operator's ability to produce  
9     hydrocarbon resources."

10            A.     That's correct.

11            Q.     So this was written March 30th, 2017, a year  
12     and a half after you received the EPA working group  
13     document?

14            A.     That's correct.

15            Q.     And at that time, a year and a half later, you  
16     still hadn't imposed any spacing requirements?

17            A.     At that time we weren't getting over 200  
18     applications in six months.

19            Q.     At that time had you imposed any spacing  
20     requirements?

21            A.     No, we had not. We just looked at it.

22            Q.     So between March 30th, 2017 and June 2018, you  
23     still hadn't imposed a three-quarter-mile radius; is  
24     that right?

25            A.     That's correct. We were having meetings on it.



1           **Q.    And who was invited to the meetings?**

2           A.    It was a work group, which Mesquite was a  
3 participant.

4           **Q.    When you decided on the three-quarter-mile**  
5 **spacing screening tool, were you in a meeting when you**  
6 **decided that?**

7           A.    It was a result of a meeting.

8           **Q.    Who was at that meeting?**

9           A.    The exhibits provide you with that.

10          **Q.    So that's the Exhibit 9-C --**

11          A.    Yes.

12          **Q.    -- your own notes?**

13          A.    Uh-huh.

14          **Q.    Mesquite isn't identified as an attendee on**  
15 **that list?**

16          A.    No, they were not. But I did not make the  
17 list.

18          **Q.    Who did?**

19          A.    I don't know.

20          **Q.    So you don't know who made the list --**

21          A.    Well, I mean, the Director and the Secretary  
22 are those who initiated the work group.

23          **Q.    Right. But those are your notes of the**  
24 **meetings, aren't they?**

25          A.    That's correct.

1           **Q.    And so you're saying your notes don't**  
2           **accurately reflect the attendees of the meeting?**

3           A.    No.  It does.

4           **Q.    But you didn't say Mesquite was at the**  
5           **meetings?**

6           A.    No.  That was -- there is a whole year of  
7           meetings going --

8           **Q.    Oh.**

9           A.    -- and they are email-transcribed.  They are --  
10          XTO -- I mean, we had over 30 participants for over a  
11          year and a half going round with the discussion about  
12          the Delaware Mountain Group, as well as the push towards  
13          Devonian.  So --

14          **Q.    Did you in that year and a half of meetings --**  
15          **you said those are email-transcribed.  So you have**  
16          **copies of the emails relating to each of those meetings?**

17          A.    Yes.  We had meetings in here, in Porter Hall.

18          **Q.    At those meetings did you discuss the**  
19          **three-quarter-mile spacing requirement?**

20          A.    We talked about what was best.  In view of the  
21          demands placed upon the Devonian, one of the subjects  
22          considered was spacing.

23          **Q.    Did you talk about the three-quarter spacing --**  
24          **three-quarter-mile spacing?**

25          A.    This far ahead of what we were seeing at that

1 time, we had no information on the area of influence.

2 Q. So you did not?

3 A. No.

4 Q. So your notes reflect, though, that you were  
5 considering the three-quarter-mile spacing requirement  
6 at that time?

7 A. At the end of 2018, we had come to that  
8 conclusion, that this would probably be best based upon  
9 what we knew at the time.

10 Q. When you say at the end of 2018, was that like  
11 November 2018? December 2018? Your notes are dated  
12 December 2018.

13 A. Yes. That's right. Meetings were held from  
14 July through August, and they were predated by as much  
15 as six months of conversations between many parties,  
16 including NMOGA. We had representatives from NGL. We  
17 had representatives and discussions with 3Bear. So --

18 Q. So, again, though, the Mesquite applications  
19 were submitted in July 2018, and you're saying that you  
20 hadn't even kind of started talking about or moving  
21 towards the three-quarter-mile radius until December  
22 2018, six months later?

23 A. We were looking at one mile.

24 Q. Three-quarter mile six months later, according  
25 to your notes?

1           A.    Going from one mile to three-quarter mile.

2           Q.    Six months after their application?

3           A.    No.  We were looking at one mile before their  
4 applications were submitted.

5           Q.    Does anybody know about that one mile besides  
6 the working group?

7           A.    At the time we didn't really put it into any  
8 type of screening, so it was only discussion at that  
9 time.

10          Q.    You mentioned the Chevron hearing as sort of a  
11 basis for this .75-mile radius?

12          A.    There were several things.  Matador --

13          Q.    Is that in the record?

14          A.    Yes.

15          Q.    Is it in your exhibits today?

16          A.    Yes.

17          Q.    Is that Black River?

18          A.    That's right.

19          Q.    How about -- so -- and I'm going from memory  
20 here, and you can correct me if I'm wrong.  But the  
21 Black River order says that based on a technical review,  
22 the fluids will expand out no more than a half-mile but  
23 less than a mile over 20 years.

24          A.    Uh-huh.

25          Q.    And the Chevron order says more than a

1 half-mile but less than a mile over 30 years.

2 A. Uh-huh.

3 Q. So you're looking -- you're imposing a 1.5-mile  
4 spacing requirement today to control impacts that may  
5 occur in 30 years. It isn't even -- they don't even say  
6 in the exhibits that's it's a .75-mile radius in 30  
7 years, do they?

8 A. To put a \$13 million well in and then come back  
9 to an operator and say that you're too close is not a  
10 good best practice management.

11 Q. Is that your responsibility or the operator's  
12 responsibility to make that decision?

13 A. I guess if an operator wishes to spend their  
14 money, they shall do.

15 Q. I'd like to turn to 70, please.

16 A. What are we looking at?

17 Q. I'm sorry. Just a second. Oh, this is the one  
18 that I'm looking for, 3-D, and this is the Walters,  
19 Zoback, Baker, Beroza report. On page 11 of that  
20 report, it states, "The standards used by individual  
21 projects for traffic light systems would be most  
22 effective if they were tailored to a site-specific and  
23 dependent on the risk assessment, rather than fixed for  
24 all circumstances." Do you agree with that?

25 A. I do now.

1           **Q.    You do now.  What does that mean?**

2           A.    What does that mean?  Again, in the  
3   presentation of our information, we have come to  
4   understand greater, through discussion and with  
5   applications by such operators as NGL and with  
6   participation of other NGOs, that there always has and  
7   always would be a greater scope of what was needed in  
8   the decision-making process, which we don't have in  
9   place.  So yes, there is a lot more consideration now  
10  having gone through this last six months, last year, as  
11  to the use of a fault slip model, as well as the ability  
12  to see what we have as good information subsurface-wise.

13          **Q.    So you would say that standard that is fixed**  
14 **for all circumstances is not the right approach?**

15          A.    What we would provide is the opportunity based  
16  upon the best experiences, some sort of pathway as using  
17  the fault slip model, as using information that normally  
18  we would not ask as a possibility to resolve issues  
19  about induced seismicity.

20          **Q.    Let's look at page 16 of that same exhibit.  I**  
21 **think this statement on page 16 nicely summarizes my**  
22 **concerns here.  On page 16, there is a summary.  And**  
23 **this is still the Zoback paper I was just talking about,**  
24 **3-D -- page 16, 3-D.**

25          A.    Fire away.

1           Q.    Okay.  The summary states, "To date, there are  
2   many different guidelines, regulations and studies that  
3   have been published or put into practice.  Many of these  
4   are 'ad hoc,' prescriptive and reactionary."  Would you  
5   consider the 1.5-mile screening tool reactionary?  You  
6   were reacting to the experience that you saw in Oklahoma  
7   and Texas and the amount of applications you were  
8   receiving?

9           A.    I would not say it's reactionary.  I would say  
10   it was the best thing we had at the time with the  
11   information available.

12          Q.    So it was ad hoc?

13          A.    2015, this paper was written.  And our imposing  
14   of some sort of filter -- this is what we use the  
15   hearings for.  So we based it upon what we saw at the  
16   hearings as an area of influence from the wells over the  
17   life.

18          Q.    Again, though -- I'm sorry to keep harping on  
19   this.  But can you show me anywhere in the orders that  
20   you've prepared that show a .75-mile area of review is  
21   required -- or radius is required?  Has there been any  
22   testimony that shows .75 miles?

23          A.    Well, a .75 is where we think the additive  
24   effects of injectionable [sic] series of wells over time  
25   is what we were looking at.  What we were asking for at

1   hearing is one-mile area of review for wells that  
2   penetrate and one-mile area of notice.

3           **Q.    You mentioned earlier that you recommended to**  
4   **the Director that the Mesquite Laguna Salada**  
5   **applications be denied.  Is that true?**

6           A.    All things that go through the Engineering  
7   Bureau are presented to the Director for denial or  
8   approval or issuance of --

9           **Q.    Is there any communications that you have**  
10   **showing that you presented this to the Director for**  
11   **denial?**

12          A.    None other than just a cursory recommendation  
13   by conversation.

14          **Q.    So you recommended that these \$10 million,**  
15   **\$11 million wells be denied based on a cursory**  
16   **conversation with the Director?**

17          A.    If I had to put down every sheet of paper -- or  
18   every discussion, I think we would really be slowed down  
19   to the point where nothing would get done.

20          **Q.    Did you -- but you didn't write down anything?**

21          A.    No.  We have conversations.  We have meetings,  
22   and at the meetings, you present your findings.

23          **Q.    Are there any notes of the meetings?**

24          A.    No.

25          **Q.    So it's pretty much -- there's no transparency**



1 here for an operator like Mesquite to understand --  
2 other than your denial and other than what we're here  
3 today with, which is nothing site-specific, there is no  
4 real transparency for an operator like Mesquite?

5 A. Well, my communications with Melanie Wilson and  
6 your consultant, yes, there were opportunities, and the  
7 subject was brought up with the Laguna Salada because  
8 the Laguna Salada No. 7, I believe, had raised concerns  
9 with the Intrepid back line [sic] and then later  
10 Solaris.

11 Q. What is the status of that Intrepid well?  
12 Earlier today you said it was still active.

13 A. It is still an active order.

14 Q. But haven't they suggested or submitted  
15 something that they want to have a change, and it was  
16 denied?

17 A. No.

18 Q. Really?

19 A. Solaris?

20 Q. Yes. The --

21 A. The Intrepid?

22 Q. Yes.

23 A. The Intrepid stands as was approved. Maybe  
24 they're going to upsize the tubing?

25 Q. Whatever it is, it was insufficient and,

1     therefore, denied. And I understand that --

2           A.     You'll have to enlighten me then.

3           Q.     Yes. I'll find that in my materials.

4                     But I understand it's still an active  
5     permit, but you're basically holding Mesquite hostage  
6     while this other company -- because they have requested  
7     to do something and it's been denied, and yet Mesquite  
8     can't put in a well because Intrepid --

9           A.     Is that the Intrepid No. 2?

10          Q.     It's -- here it is. It's the Intrepid SWD Well  
11     No. 1, insufficient info, justification form [sic],  
12     approved program, wellbore diagram required; the future  
13     change request denied.

14          A.     This was issued.

15          Q.     This is dated 12/26/18. Has it been issued  
16     since then? This is the most recent thing I could find  
17     on the OCD website.

18          A.     You should dig deeper. Go to the order.

19          Q.     I have the order right here. So the original  
20     order was issued November 13th, 2017. I don't want to  
21     get hung up on this.

22          A.     Well, it's news to me. And there are other  
23     people who are reviewing documents, too, so it's just  
24     not me, myself and I. There are at least three other  
25     people who are participating in the review of the

1 documents.

2 Q. I just want to summarize a few things really  
3 quickly. You said that you agree with Dr. Zeigler that  
4 there is no risk to freshwater resources?

5 A. Correct.

6 Q. Would you agree with the EPA statement in the  
7 EPA work group, that to date there have been no -- no  
8 contamination of underground sources of drinking water  
9 from induced seismicity from injection wells?

10 A. That's correct.

11 Q. And you earlier note -- stated that there is no  
12 impact to correlative rights based on these three  
13 applications?

14 A. Based upon their notice, yes.

15 Q. And yet you still are recommending denial?

16 A. I was recommending denial based upon what was  
17 originally submitted.

18 Q. But I thought we were at a new hearing today?

19 A. Yes, you are.

20 Q. So you're still recommending denial?

21 A. I don't make that decision.

22 Q. So you don't have any input on what the  
23 decision should be?

24 A. That's correct.

25 Q. Have you discussed what you think the decision

1     **should be with Mr. McMillan?**

2           A.     No.

3           **Q.     With Mr. Jones?**

4           A.     No.

5           **Q.     With Mr. Brancard?**

6           A.     No.

7                     EXAMINER BRANCARD:   I hope not.

8                     (Laughter.)

9                     MS. BENNETT:   That's what I'm trying to get  
10    at.

11           **Q.     (BY MS. BENNETT) How about with the Director?**  
12   **Have you told her what you think the spacing requirement**  
13   **should be?**

14           A.     As far as -- she is aware of it.   Yes, she is.

15           **Q.     And is she aware of the fact that you believe**  
16   **that a 1.5-mile spacing requirement is justified in all**  
17   **cases?**

18           A.     She has accepted it as the standard at this  
19    point of what we're doing.

20           **Q.     So is it fair to say that we're not going to**  
21   **get a fair shake from her?**

22           A.     Oh, she'll -- she'll give you a fair shake.  
23    Remember that it was only my recommendation.

24           **Q.     But you don't get to recommend it, you just**  
25   **said, for now?**

1           A.    Oh, no, not now.  I'm a witness.

2           Q.    Yeah.  You're a witness.

3                       But earlier I thought Mr. Brancard said  
4  that you would have input as staff, opposing?

5           A.    I think he used the general staff word.

6           Q.    Okay.

7                       EXAMINER BRANCARD:  I'm missing it, but I  
8  assume earlier Mr. Goetze testified that he opposed this  
9  application.

10                  THE WITNESS:  That's correct.

11                  MS. BENNETT:  He does.

12                  EXAMINER BRANCARD:  Okay.  So there you  
13  are.

14                  MS. BENNETT:  I just want to make sure that  
15  Mr. Goetze is not involved in the decision-making  
16  process or whether, at the end of the day, these  
17  applications should be granted or denied.

18                  I think that's all the questions I have for  
19  now.  Thank you.

20                  EXAMINER JONES:  Shall we go on to the rest  
21  of the questions, Mr. Brooks, or do you have any  
22  follow-ups you want to --

23                  MR. BROOKS:  Well, I had some redirect, but  
24  I will wait until after all the attorneys have done  
25  their cross.  Actually, I prefer to do it after the

1 examiners have an opportunity to examine, but that's  
2 been denied before by earlier examiners, so I won't  
3 press the point.

4 EXAMINER JONES: Mr. Padilla?

5 MR. PADILLA: I have some questions.

6 CROSS-EXAMINATION

7 BY MR. PADILLA:

8 Q. Mr. Goetze, you testified that you have about  
9 200 applications, correct?

10 A. That's correct.

11 Q. What is the time period that you have  
12 accumulated the 200 applications?

13 A. Six months.

14 Q. How many of those applications have you issued  
15 or denied?

16 A. I couldn't give you a fair -- we're doing about  
17 20 to as many as 30 a quarter, but that would be through  
18 my reporting to EPA.

19 Q. Have you approved any of those applications?

20 A. Oh, yes.

21 Q. And what was the criteria for approving those  
22 applications?

23 A. We went to look at first the date of entry and  
24 then whether the application had its basic information,  
25 and then we would start looking at the proximity with

1 existing wells or wells that have protested or in the  
2 queue as far as the application process.

3 Q. So I take it that all of those applications  
4 that you approved were administrative applications?

5 A. No. They were at hearing also. We have as  
6 many as, I believe, ten NGL wells that are at hearing.  
7 Blackbuck has put into hearing several wells, Permian  
8 Oilfield Partners, as well as individuals such as was  
9 mentioned earlier, Longwood. There have been  
10 applications made for hearing, and they are pending.

11 Q. With respect to the Blackbuck Olive Branch  
12 well, did you do any site-specific analysis for that  
13 well other than proximity to other wells?

14 A. No, we did not.

15 Q. I won't go into all the questions Ms. Bennett  
16 asked you, but it's fair to say that you didn't do any  
17 fault slip analysis or injection rates or injection  
18 pressure?

19 A. No. We do not do -- the only thing we would  
20 look at would be the geology and basically the  
21 definition of what the injection interval is, something  
22 that we could normally do for an application.

23 Q. Did you do any analysis with respect to the  
24 Olive Branch, whether the confining barriers --  
25 basically the Montoya underneath and the upper

1     **permeability barrier, whether those were adequate?**

2           A.     We do look at the Devonian, top and bottom, and  
3     so yes, we do look at the available information through  
4     the Bureau for the -- as well as the Bureau of Economic  
5     Geology for what we see as the Simpson and -- God, my  
6     brain is giving way. But the Ordovician, we do take a  
7     look to see how thick the interval is and then look at  
8     what portion of it is Ellenburger.

9           **Q.     All of these wells have an interval basically**  
10    **of 1,000 feet, right, more or less?**

11          A.     Uh-huh.

12          **Q.     Plus or minus?**

13          A.     Yeah.

14          **Q.     Okay. Now, did you do an analysis as to**  
15    **whether there had been any penetrations beyond the**  
16    **Montoya into the Ellenburger in the area of the Olive**  
17    **Branch well?**

18          A.     Typically you're not going to find a  
19    penetration in the one-mile area of review, but then you  
20    do have adjacent wells that have -- if I am correct, you  
21    do have existing wells that are outside of that one-mile  
22    AOR.

23          **Q.     Now, let me direct your attention to your**  
24    **Exhibit 9-E. I think this is an order.**

25          A.     Yes. That's the example of the language we



1 have included in the orders.

2 Q. How was that adopted? Did you author that?

3 A. I presented it to management. Yes, I did.

4 Q. And when you say management, who? Who is  
5 management?

6 A. The Director and Deputy Director -- I mean  
7 Director and Deputy Secretary.

8 Q. And there was no notice of hearing or a hearing  
9 to adopt this order?

10 A. The stipulations were more of a recognition as  
11 to if the Division requested this information, that --  
12 the recognition that it had been provided was made part  
13 of the order so that the operator would have in his  
14 order the criteria by which the Division had reviewed  
15 it. And, therefore, at a later date, if there were  
16 questions about correlative rights or whether a fault  
17 slip analysis had been done, the operator would have in  
18 his order evidence that it had been submitted in the  
19 exhibit. So it was more of an effort to recognize the  
20 additional level of information which would be provided  
21 by applicants.

22 Q. Okay. If I were asked by a client to give them  
23 the requirements to meet for saltwater disposal wells in  
24 the Devonian, where would I find this, and how would I  
25 find this order?

1           A.    We would use the standard C-108, and then we  
2    would -- typically when we have a discussion, we would  
3    ask if there were additional requirements, considering  
4    where we were in the Devonian, as to are there any other  
5    additional information requirements that would make this  
6    process easier.

7           **Q.    Is this order now part of the C-108?**

8           A.    It's not an order.  It's an information  
9    request.

10          **Q.    Well --**

11          A.    The C-108 is the ability for the reviewer to go  
12    and ask for additional information.

13          **Q.    Okay.  And has the C-108 form been --**

14          A.    No.  It has not been --

15          **Q.    -- changed?**

16          A.    -- updated.  It still shows the one-half mile.

17          **Q.    As I understood your testimony with respect to**  
18    **Exhibit 11, you did not get that Exhibit 11 from the**  
19    **Railroad Commission.  You got it from somebody in**  
20    **industry?**

21          A.    It is from the advisory group to the Texas  
22    Railroad Commission.  It is a collaboration of oil and  
23    gas operators, as well as the input from the Advisory  
24    Committee for the Texas Railroad Commission.

25          **Q.    Mr. Goetze, why aren't we here in a rulemaking**

1     **hearing?**

2           A.     Because we have a 55 percent vacancy rate.

3           **Q.     But --**

4           A.     I know. I know. But there are extremes -- we  
5     should be doing a rulemaking, and it's something the  
6     Division needs to do. But it's to the point where to  
7     stop and try to make rules and go down the road while  
8     you're issuing permits, this is a conundrum we're placed  
9     in.

10          **Q.     But you haven't -- you haven't issued a**  
11     **moratorium and given a certain time period within which**  
12     **to implement the rules so that everybody can be on the**  
13     **same page?**

14          A.     This had been proposed by the legislature, but  
15     in light of the fact that this would not support  
16     production and, in essence, create waste and more of a  
17     problem, the concept of a moratorium is not very viable.  
18     You have to move on.

19          **Q.     Well, aren't we effectively in a moratorium now**  
20     **because you really aren't issuing orders? Right?**

21          A.     Well, we're in a moratorium because we can't  
22     write them fast enough.

23          **Q.     You did have a technical work group work on**  
24     **this, right?**

25          A.     We've had an overall UIC workshop held over a

1 couple of years, and then we had an advisory -- a  
2 technical advisory look at rulemaking at the end of  
3 2018.

4 Q. Since you've been here at the Division, have  
5 you -- has the Division implemented changes to the UIC  
6 rules?

7 A. Yes, we have.

8 Q. How did you go about doing that?

9 A. Through the process of -- an item was  
10 identified as an issue. An initiative was put forth  
11 either by industry, by management or by the legislature,  
12 and from that, we put together a package for which is  
13 presented as the case for Division, which is then  
14 brought before Commission.

15 Q. Did you give notice for those rule changes?

16 A. We sure did.

17 Q. Did I hear you say that the Dagger Draw was  
18 about 10, 11 miles away?

19 A. I'm sorry. I mean -- I'm looking at so many  
20 things so many times. It is north of the potash zone.  
21 It is away from -- but it is an example of what can  
22 happen.

23 Q. And injection in that case was into the  
24 Ellenburger, right?

25 A. The injection did reached the Precambrian.

1           **Q.    Okay.  What formations are involved in the**  
2           **Raton Basin study that you presented today?**

3           A.    Dakota and Shower [phonetic].

4           **Q.    Any Devonian in that area?**

5           A.    No.  We're void of Devonian, but the concept of  
6           its inclusion is reflective of, one, that this program  
7           is not just about the Delaware Basin, and, two, the  
8           injection up there had raised some concerns about the  
9           isolation of the injection fluids that have been  
10          categorized as being isolated in the Precambrian.

11          **Q.    In this case, however, it's got no application**  
12          **at all with regard to the Devonian, right?**

13          A.    Just the science.  The mechanism and pathway of  
14          transfer still represents a point at which, as a  
15          regulatory agency, for us to make a decision as the  
16          progression of injection goes on.  It's not a stagnant  
17          situation, that our evaluation of UIC injection wells is  
18          a living, breathing thing that we need to be aware of  
19          and be willing to provide some sort of pathway in light  
20          of observations that are made as a result of us  
21          approving orders.

22          **Q.    Mr. Goetze, I don't think anybody would**  
23          **disagree with the need for some type of standard for**  
24          **injection wells, and -- but the -- the Raton Basin study**  
25          **is an indication that something may be necessary, but**

1     that doesn't necessarily mean that 1.5 miles is the  
2     standard, correct?

3           A.     The Raton Basin, different geology for that.

4           Q.     So it's got to be site-specific, shouldn't it?

5           A.     It has to be -- correct. I will say, as a  
6     basin, there would be criteria, and the pathway still  
7     remains the same.

8           Q.     What formations are involved in the Socorro  
9     study that you --

10          A.     The Socorro only -- the Socorro is a geothermal  
11     center, and it has earthquakes greater than 3. It  
12     is the director for the state of New Mexico that is part  
13     of the WIPP. The state also has a state seismologist,  
14     which has an array at Socorro Peak in order to monitor  
15     the magma movements. So it is only brought up as a mere  
16     fact of coordination.

17          Q.     Different cat entirely?

18          A.     That's true. But we do have a state  
19     seismologist finally.

20          Q.     Do you know whether the Olive Branch  
21     application contained an analysis of seismology?

22          A.     I do not.

23          Q.     You don't know?

24          A.     I do not go back and review it for this  
25     hearing, but I believe that there was a supplemental,

1 but I would have to take a look again. Unfortunately,  
2 I'm not as well prepared for you, Mr. Padilla, as  
3 Ms. Bennett.

4 MR. PADILLA: Mr. Examiner, I think in the  
5 interest of time, I'll stop here, and I'll develop  
6 whatever I have with my witnesses.

7 EXAMINER JONES: Thank you.

8 Mr. Bruce?

9 CROSS-EXAMINATION

10 BY MR. BRUCE:

11 Q. Mr. Goetze, you've been around the Division  
12 long enough to be familiar with the rulemaking  
13 procedures before the Commission --

14 A. Correct.

15 Q. -- although I personally avoid those  
16 proceedings like the plague. There is a certain  
17 process. And if I'm misstating it, you let me know.  
18 But the OCD identifies a problem, and there is generally  
19 a committee formed --

20 A. Uh-huh.

21 Q. -- of both regulatory and industry people to go  
22 through the issues that are seen by the OCD. And then  
23 it has to go to Commission hearing or hearings. A lot  
24 of times there are multiple hearings on those rules, and  
25 that takes quite a while, doesn't it?

1           A.    Yes, it does.

2           Q.    Now, in the interim, certain cases may arise  
3   which require an order-by-order resolution. Is that  
4   fair to say?

5           A.    The EPA does cite that in its section of the --

6           Q.    And, of course, you need to do it to comply --  
7   not you. The Division needs to do it to comply with the  
8   requirements of the Oil and Gas Act?

9           A.    Well, I would let my attorney speak to that  
10   effect --

11          Q.    Right.

12          A.    -- but typically if there are unique  
13   situations, we do look at it as case by case.

14          Q.    And even when a rule is adopted, operators --  
15   and I'm talking whether it's SWD operators or oil and  
16   gas operators -- need to request an exception to the  
17   rule?

18          A.    There are requests for exceptions. Yes.

19          Q.    And, you know, if a rule provides for an  
20   administrative application to seek exception to the  
21   rule, that's one thing. Otherwise, you generally have  
22   to go to hearing -- to the hearing docket?

23          A.    The hearing provides the greater opportunity  
24   for examination in presenting information outside of the  
25   normal application process.



1           Q.    So even if a rule states X and an operator  
2   wants Y, generally you're going to end up at a hearing  
3   regardless?

4           A.    The tendency is yes.

5           Q.    That's all I have. Thank you.

6                   EXAMINER JONES: Okay. Let's do a  
7   ten-minute break.

8                   (Recess, 2:41 p.m. to 3:05 p.m.)

9                   EXAMINER JONES: Let's go back on the  
10   record.

11                  EXAMINER McMILLAN: Scheduling?

12                  EXAMINER JONES: You want to do that now or  
13   do you want to do it --

14                  MR. BRUCE: Find out now because earlier we  
15   discharged some people. It's probably better now.

16                  EXAMINER JONES: Okay.

17                  MR. BRUCE: Mr. Examiner, you know, it's  
18   five after 3:00. Questions from the panel, questions  
19   from Mr. Brooks, and then Deana's going to put on a  
20   rebuttal witness.

21                  EXAMINER JONES: Oh, yeah. I forgot about  
22   that.

23                  MR. BRUCE: So I think we're looking past  
24   4:00. She has to leave shortly thereafter. It's Friday  
25   night.

1 (Laughter.)

2 MR. BRUCE: I won't say why. But if we're  
3 not going to get done tonight, I think Mesquite can be  
4 taken under advisement today, but Solaris and  
5 Blackbuck -- you know, I don't think Ernie and I going  
6 to be all that long, but when all is said and done, it  
7 would take a few hours.

8 MR. BROOKS: Well, in deference to all  
9 those, I will forego redirect.

10 MR. BRUCE: Well, what I'm saying is, it's  
11 still going to take a while, and if we're not going to  
12 finish up tonight, I'd like the Solaris and Blackbuck  
13 witnesses excused so they can get the heck home. And,  
14 you know, there are some dates that I think the Division  
15 has proposed. We can maybe get together on Monday over  
16 those. As I told you, one of those dates is already  
17 scheduled for a fight, but I think -- and I can find out  
18 probably by Monday whether or not that's going to  
19 settle. And maybe that would be a date in a couple  
20 weeks to present the Blackbuck and the Solaris cases.

21 EXAMINER JONES: So two weeks from today?

22 MR. BRUCE: Yeah.

23 EXAMINER JONES: Yeah.

24 MR. PADILLA: That's fine with us. And the  
25 reason I'm always sensitive to this is because I was in

1 a case where I had to do my compulsory pooling case in  
2 half an hour, and that was a very contested case, and  
3 the other parties took most of the day. And by the time  
4 I got on, it was half an hour, and so --

5 EXAMINER JONES: Mr. Catanach had to go  
6 home to his kids probably.

7 MR. PADILLA: That wasn't the -- that  
8 wasn't the issue. Whatever it was, I don't want to have  
9 that spot in my case just because we're trying to finish  
10 by 5:00.

11 EXAMINER JONES: Yeah.

12 EXAMINER McMILLAN: Don't we, Phil, have a  
13 possible conflict?

14 THE WITNESS: Are you asking me to my  
15 availability?

16 EXAMINER McMILLAN: Yes.

17 THE WITNESS: I believe that from -- well,  
18 I know from July 5th through July 28th, I am in jury  
19 duty, Second District Court in Albuquerque. Yeah, shake  
20 your head. So I can see whether -- I've already  
21 postponed once, and I don't think I'm going to get a  
22 get-out-of-jail card a second time.

23 MR. BRUCE: Do not pass go; do not collect  
24 \$200.

25 EXAMINER JONES: You call in early on

1 Friday morning, right, and see if you're in or not for  
2 the next week?

3 THE WITNESS: That's correct.

4 MR. BRUCE: But I think you said that  
5 Florene indicated there were some dates, and let's look  
6 at those Monday between you guys and Ernie and me.

7 EXAMINER JONES: Yeah. Okay. I'll have  
8 her hold off making the docket then for the 11th.

9 MR. BRUCE: Yeah. Let's wait until Monday.

10 EXAMINER JONES: Okay. Let's continue with  
11 the questioning of Mr. Goetze.

12 CROSS-EXAMINATION

13 BY EXAMINER McMILLAN:

14 Q. My question is: Have you looked at -- have you  
15 looked to Dagger Draw?

16 A. Correct.

17 Q. Can you describe for me what have you looked at  
18 at Dagger Draw?

19 A. Dagger Draw, I looked at the information that  
20 has been compiled with regards to the incident which was  
21 identified by both the Bureau and by the scientific  
22 community as an incident of induced seismicity within  
23 the state of New Mexico.

24 Q. Have you looked at any of the electrical logs?

25 A. No, I have not.

1           Q.    Have you looked at any of the regional maps of  
2   structure maps in the vicinity of Dagger Draw?

3           A.    Only what is presented through papers.

4           Q.    Okay.  Can you -- can you elaborate on that?

5           A.    Well, as part of the paper presented in there,  
6   there was structure maps which were not included, but  
7   other than that, no there was no effort.

8           Q.    Okay.  In your examination of the paper, was  
9   there a relationship between -- is there a -- is there  
10   faulting through the Ordovician up to the Woodford and  
11   through the Woodford?

12          A.    I did not see anything that would suggest that.

13          Q.    What do you mean?  You need to elaborate on  
14   that.

15          A.    Well, I didn't go into an in-depth review of  
16   it, but the suggestion is not necessarily that there was  
17   faulting from the basement through the Ordovician into  
18   the Devonian, but that communication was established  
19   through the injection of fluids below the  
20   Devonian-Silurian section.

21          Q.    So what you're saying is faulting was not  
22   necessarily a factor in -- in causing the faulting?  Is  
23   that what you're saying?  I'm sorry.  In cause of the  
24   measurable earthquakes?  That's what I should have said.

25          A.    Well, Dr. Lithwen [phonetic], in her

1 presentation, as well as Dr. Sanford, identified the --  
2 scientists do the high probability that the injection  
3 into the area with the Precambrian and the Precambrian  
4 stresses are the source of the induced seismicity, and,  
5 therefore, that would be faulting that was already  
6 present in the subsurface in the Precambrian.

7 **Q. So do you believe there were -- the lithology**  
8 **could have created a pathway for the migration of**  
9 **fluids?**

10 A. Well, I mean, the wells were drilled to the  
11 Precambrian, and their completion was documented only  
12 partially, and the logs for at least three wells were  
13 unavailable. So based upon the general information  
14 available, it was more of a physical presence of a  
15 wellbore that either would have remained open or was  
16 plugged back improperly and still had communication  
17 either directly with the Precambrian or through the  
18 Ellenburger.

19 **Q. Okay. One of the big factors essentially is**  
20 **this idea of a pressure front. And what do you believe**  
21 **would happen if you put wells close -- closely spaced**  
22 **wells in a pressure front? Could that cause the**  
23 **downward migration of fluids based on the lithologic**  
24 **characteristics of the Lower Ordovician?**

25 A. The concern was raised, and this is part of the

1    reason why this .75 came up, is that as the density of  
2    wells increased, we're going to see an increase in  
3    reservoir pressure and, with it, the opportunity for  
4    migration through the Ordovician, not knowing how  
5    continuous or how -- how well a confining member it was  
6    considering the spatial density of the wells used to map  
7    and correlate. So their use of this template to select  
8    and deny raised out of an initial concern for pressures  
9    rising in the reservoir and potential migration.

10       Q.    I think you said something in your testimony  
11    that you either -- that there's very few cores available  
12    in the Lower Ordovician. Did you -- correct?

13       A.    Yes.

14       Q.    Did you ever have a chance to look at those  
15    cores or look at a -- an examination of --

16       A.    No.

17       Q.    -- work by experts who really get a core  
18    analysis for the lithology?

19       A.    No. The only cores I looked at for Devonian,  
20    but I did not look at the available cores for the  
21    Ordovician section.

22       Q.    And you didn't look at -- you didn't have the  
23    opportunity to look at some of the core descriptions by  
24    researchers?

25       A.    Well, there are some references. But again,

1 they are based upon the density that is quite sparse,  
2 and you may be looking at quite some distances between  
3 what was provided in their descriptions. But they are  
4 limited in themselves.

5 Q. And did they say that they were -- were they --  
6 in those descriptions, were they barriers or baffles?

7 A. I would state that a majority of them did  
8 identify a permeability and change in lithology, which  
9 would be a barrier -- confining barrier.

10 Q. Okay. So it's your -- do you believe -- and I  
11 believe Mesquite said this, that faulting is a major  
12 factor in -- or are there other factors involved?

13 A. Well, their modeling includes review for faults  
14 of concern, as well as not only faults through the  
15 injection and below but below in the Precambrian, as  
16 that is part of the fault slip potential assessment.  
17 There are some faults that are present, and they were  
18 presented but at some distance away.

19 EXAMINER McMILLAN: Go ahead.

20 EXAMINER JONES: Mr. Brancard?

21 EXAMINER BRANCARD: Oh, sure.

22 CROSS-EXAMINATION

23 BY EXAMINER BRANCARD:

24 Q. Okay. Let me just figure out what the  
25 Division's staff position is here. We have five



1 applications, and if I read from your Exhibit 1, you are  
2 requesting that the director deny all five --

3 A. Correct.

4 Q. -- based on this idea of maintaining a distance  
5 of 1.5 miles between injection sources? That's what I'm  
6 reading from this here.

7 A. Correct.

8 Q. And so the chart shows that for each of these  
9 wells, there are two sources either existing or proposed  
10 that are within 1.5 miles?

11 A. That's correct.

12 Q. So in other words, if Mesquite dropped one of  
13 the Laguna Salada wells, the other Laguna Salada well  
14 would still have a problem?

15 A. Using this criteria, yes. But if they were to  
16 relocate it, no.

17 Q. Okay. And so with the other two Applicants,  
18 part of their problem is that they're interfering with  
19 each other, is that correct, the Predator and Olive  
20 Branch?

21 A. Yes, both of them being within .55 miles of  
22 each other. That represents an issue.

23 Q. If one of them -- if one of them gets dropped,  
24 but they each also still have another well within 1.5  
25 miles?

1           A.     But we have -- and we have worked with  
2 operators. The 1.5 is what we'd like, but we'll offer  
3 the opportunity, again through hearing, to convince us  
4 that it's -- that that distance doesn't necessarily have  
5 to stand with sufficient information presented that  
6 there would not be issues.

7           Q.     Right.

8                         So Mesquite has proposed to go with what  
9 they claim was sort of the earlier policy, which was a  
10 one-mile, which they would be -- under this, they would  
11 be okay with a one-mile but Blackbuck and Solaris would  
12 not?

13          A.     Well, the one-mile, again, refers to only area  
14 of review and --

15          Q.     Well, I'm talking a one-mile distance from the  
16 injection sources.

17          A.     We really haven't. It's not until we've gotten  
18 into this large-volume injection that we were looking at  
19 this separation.

20          Q.     Right.

21                        So that's -- that's a point that I think we  
22 haven't really talked about here, is that the parties  
23 are talking about this sort of came out of nowhere, but  
24 isn't this somehow related to larger-volume disposal and  
25 larger tubing?

1           A.     The Mesquite case brought forward the concept  
2     that the industry was heading towards a larger injection  
3     volume and, with it, because of the depth that we were  
4     looking at in the Devonian, the cost effectiveness of  
5     having a much larger tubing, much larger injection  
6     volume became pretty much a model that industry  
7     approached and grabbed on to. So with that, we started  
8     to see applications scaling up to as much as 100,000  
9     barrels a day.

10          **Q.     Right.**

11                        **So it's that change, that shift in the**  
12     **tubing size and, therefore, the volume of injection that**  
13     **inspired this move to a larger distance between wells?**

14          A.     Well, yes, to consider the distance between  
15     wells, to think of something we could do.

16          **Q.     Okay. So before you didn't even consider that?**

17          A.     It used to be that we would just  
18     three-quarter -- I mean, we had -- 2-7/8 and 3-1/2 were  
19     the big ones, and rarely did we see anything in 4-1/2.

20          **Q.     So prior to the larger volume, you focused**  
21     **simply on the injection rate --**

22          A.     Correct.

23          **Q.     -- as your control?**

24                        **Okay. Now, a lot has been made about the**  
25     **lack of a site-specific analysis and that you're sort of**

1 arbitrarily pushing this 1.5-mile on all these wells,  
2 but judging from these maps you've given us here, it  
3 appears that there are a number of wells here -- and I  
4 think you've already described it -- that have smaller  
5 radius --

6 A. Correct.

7 Q. -- radii.

8 And that's based on?

9 A. The well construction and the inability to  
10 scale up to a larger tubing size; therefore, physically  
11 being limited by their original design.

12 Q. So while you are talking about an  
13 across-the-board 1.5, in reality, you're really talking  
14 about the 1.5 for wells that have the larger tubing  
15 size?

16 A. Well, for applications that are large capacity,  
17 yes.

18 Q. Okay. And so to flip to the last exhibit, 9,  
19 the Scanlon paper, look at page 175 there. It talks  
20 about linkages between produced water and seismicity,  
21 page 175, the little numbers at the bottom right-hand  
22 corner.

23 A. Thank you.

24 Q. They say, under the second column in the top  
25 there, "Oklahoma, Potential controls on produced water

1 management seismicity include," and they just list three  
2 options. Okay? Injection rate, you've always done,  
3 correct?

4 A. It is done via the .2, the pressure injection,  
5 but for --

6 Q. Right.

7 There's no -- there's no -- there is  
8 nothing in Rule 26 that requires that; is that correct?

9 A. That's correct.

10 Q. There's no number in Rule 26. That's always  
11 been there, throughout all the orders issued in the  
12 past?

13 A. .2 psi?

14 Q. Yeah.

15 A. .2 psi is what we submitted in our primacy  
16 demonstration, and it's approved by the EPA.

17 Q. Right.

18 But it's not in the state regulations?

19 A. No, it's not.

20 Q. And so the third one we've just been discussing  
21 here, which is this proximity injection to the basement,  
22 this is where -- you enforce this through not allowing  
23 injection into the Ellenburger, correct?

24 A. Correct.

25 Q. Again, there's nothing in the rules about that.

1     It's simply a policy. But if Mesquite came in next week  
2     with six applications into the Ellenburger, you would  
3     propose to deny them, wouldn't you?

4           A.     Yes, I would.

5           Q.     Okay. Would you be back in front of us here  
6     trying to justify that?

7           A.     That would be up to Mesquite.

8           Q.     So the middle one, though, it says "regional  
9     cumulative injection volume." Is that what we're really  
10    talking about here? I mean, we're talking about these  
11    volumes that are now being pushed into the water -- into  
12    this injection level, and you're trying to get control  
13    over that?

14          A.     This is where we're heading as far as what  
15    we're trying to look at as a management tool. Yes.

16          Q.     Okay. And so if you go down two paragraphs, it  
17    says, "In (2), we find the cumulative injection volumes  
18    for SWD wells in Oklahoma to be statistically associated  
19    with earthquakes." So in Oklahoma, they have an  
20    association between that volume and earthquakes, right,  
21    and that's what they've focused on? But they haven't  
22    focused on it by spacing; they've focused on it by --

23          A.     Managing injection rates, as well as individual  
24    wells.

25          Q.     Right.

1                   So -- and that seems to be in the Texas  
2 data, too, that they were imposing conditions where they  
3 were capping the injection volume barrels per day,  
4 right?

5           A.     That's correct.

6           Q.     And we don't do that, do we?

7           A.     We do not.

8           Q.     Nor do we put a cap on how long your permit is  
9 for, right?

10          A.     The assumption is that once you've reached the  
11 formation parting pressure, that the well is no longer  
12 and the permit is invalid, since you will now be  
13 exceeding what the UIC regs say.

14          Q.     But if they don't, they could --

15          A.     Go on for a long time.

16          Q.     -- go on for a long time, right?

17                   So could the Director look at putting caps  
18 on injection volume barrels per day?

19          A.     As part of the legal conditions, I would not  
20 know, but it's something that could be recommended to  
21 her. In certain cases, we've actually had applicants  
22 request that, and we have included it in the order that  
23 was signed.

24          Q.     Okay. I'm just trying to figure out what's  
25 acceptable here and what other -- because it seems

1 clear, from what Mr. Brooks has said about the Oil and  
2 Gas Act, what's in the EPA document, that the ability to  
3 deal with this on a site-specific basis and EPA  
4 specifically says, under UIC, the State has the ability  
5 to put conditions on a permit, right? That was in the  
6 first document?

7 A. That's correct.

8 Q. So I'm just sort of wondering what conditions  
9 are acceptable then to the parties.

10 So I want you to explain to me something  
11 that's in this article relating to earthquake sequence  
12 in the Raton Basin here, 6-F. Well, something caught my  
13 attention on page 12 of this article.

14 A. Yes.

15 Q. Yes. So the first sentence there, "Even in an  
16 underpressured, extensional system like the Raton Basin,  
17 where fluids can typically be injected with no wellhead  
18 pressure, earthquakes can still be induced."

19 A. Yes.

20 Q. So if one of your controls and your primary  
21 control is your pressure rate, how does that relate to  
22 that statement?

23 A. Well, it would state that the use of the .2 psi  
24 per foot would not necessarily provide us any type of  
25 protection, as well as management tool if the reservoir



1     were able to accept fluids on a vacuum, which  
2     essentially is a hydrostatic pressure. So it may be  
3     that the opportunity, regardless of what pressure we put  
4     on it, will not necessarily guarantee any type of  
5     control and preventive management for induced  
6     seismicity.

7           **Q.     Okay. So the Department has traditionally for**  
8     **years hung its hat on this injection rate control, but**  
9     **that may not be adequate?**

10          A.     That may be very true, especially with  
11     discussions with Dr. Rubinstein.

12          **Q.     So really it would be incumbent on the Director**  
13     **then to consider what other controls might be helpful in**  
14     **avoiding induced seismicity?**

15          A.     It's a task that's been handed to us in the  
16     sense to find something that works.

17          **Q.     Right.**

18                    So while, I mean, counsel has made the  
19     point about all this wonderful stuff that has come out  
20     of Oklahoma and the transparency of Oklahoma, the  
21     reality is all that wonderful stuff that came out of  
22     Oklahoma came out after Oklahoma had over 900 3.0 or  
23     higher earthquakes in one year?

24          A.     That's correct.

25          **Q.     That's what you're trying to avoid?**

1           A.    We're trying.  Yes.

2           Q.    Okay.  Thank you.

3                               CROSS-EXAMINATION

4   BY EXAMINER JONES:

5           Q.    Okay.  The Mesquite testimony from their  
6 witnesses, what would you have -- what do you like about  
7 it, and what did you not like about it?

8           A.    To say that I have not heard that testimony  
9 before, they have presented it; the experts have been  
10 called to present testimony before the Commission -- or  
11 before the Division and are very good at what they do.  
12 I mean, all -- given the efforts by each of the expert  
13 witnesses does provide an evaluation which addresses  
14 many of the concerns.  The fault slip model, as  
15 performed by Mr. Reynolds, is part of an understanding  
16 which exceeds the Division's ability to do anything by  
17 far.  The tendency is then we get back to what are the  
18 assumptions and what the information is used to make  
19 those determinations.

20                       So questions have been raised as to where  
21 we are in the section and how thick and how well-defined  
22 the confining layer and, looking at the modeling, the  
23 assurance that what we're getting is the best available.  
24 Even if there is concern, would there be a higher  
25 standard that would be required?  But the Division at

1     this time does not have that expertise.

2           Q.     Okay.  Mr. Reynolds' testimony about the faults  
3     seemed to focus on the faults being the danger point and  
4     so the modeling showing that if you keep all the wells  
5     at least one mile away from the faults -- the modeling  
6     that was presented, I think, afterwards with the  
7     reservoir engineer showed that maybe that would be a  
8     good path to go by.

9           A.     Well, this raises the other question which has  
10    been presented by the senior petroleum geologist,  
11    Mr. Ron Broadhead, of the New Mexico Bureau of Geology &  
12    Mineral Resources with regards to the overall general  
13    characteristics of the Devonian and Silurian.  Yes, as a  
14    basinwide receiver of injection fluids, it's more  
15    preferable than anything we have available.  But as has  
16    been demonstrated by the some of the operators, certain  
17    locations certainly are better reservoir rock, while  
18    others have limitations that were not identified until  
19    the well was drilled.  So the modeling is good.  The  
20    tendency is, down the road, you're going to have to take  
21    a look to see how that model fits into the real world.

22          Q.     Okay.  But it seems like it wasn't a very  
23    useful exercise to focus in on the faults and assume all  
24    the faults are nonsealing faults that are communicated  
25    to the basement rock, even though some of them may be

1     **sealing faults, correct?**

2           A.     Well, that would be an interpretation based  
3     upon available information.

4           Q.     Okay. Well, pressure data on either side of  
5     the faults might tell you something about that.

6                     But the other side of the coin is -- and I  
7     had this question in my mind when they were presenting  
8     it. If there is an issue with a higher rate --  
9     concentrated rate of injection even a long ways away  
10    from the faults, how could that affect the basement  
11    rocks? Do you know enough about the Simpson as a  
12    sealing -- bottom-sealing rock, that it would prevent  
13    it? I mean --

14          A.     We're going on -- well, the New Mexico Tech  
15    library [sic] has six cores for Simpson. And so we are  
16    making the assessment based upon folks who have mapped  
17    it, of course, from different directions, whether it's  
18    the Bureau of Economic Geology and/or the Bureau of  
19    Geology in Socorro. So -- and we have generally  
20    accepted the ability of it in certain locations, because  
21    of the thickness, that its permeability and porosity  
22    barrier will be such that it will be able to handle it,  
23    but that is based upon regional, not site-specific.

24          Q.     Okay. So let's say conditions for approval of  
25    wells that are spaced closer than a certain even

1     **arbitrary setback, what would you propose?**

2           A.     I don't know. We are still going through that,  
3     how close can we get and what would the information be  
4     needed.

5           **Q.     Yeah.**

6           A.     As a result of our work study groups, the  
7     question was raised: I have an open hole with a  
8     large-capacity well. How do I do a step-rate test on a  
9     well that will that take 30,000 barrels per day? How  
10    would you -- a lot of the operators have expressed  
11    concern with placing tools downhole in the open hole to  
12    do injectivity studies or step-rate tests, and, with  
13    that, how would you evaluate the reservoir? What  
14    questions do you ask up front?

15                   The acid-gas wells, we tend to have a very  
16    much over-the-top evaluation for those, which include  
17    step-rate tests and fall-off tests, as well running  
18    extensive log suites. And in light of that, the  
19    availability of information for those wells is quite  
20    cumulative. And, of course, with those wells, we  
21    actually put in requirements for downhole pressure  
22    temperature assessments and collecting of data.

23                   On the other side of the scale, we've had  
24    concerns over how -- as an alternative to a step-rate  
25    test, what would be the best bottom-hole measurements,

1 sampling on a quarterly basis for pressures, a variety  
2 of information that is out there, and how would you  
3 include that in an order and know that down the road  
4 that's going to be beneficial for you to make an  
5 assessment.

6 So we are relying on industry, and this is  
7 the way we do business, is to come up with some type of  
8 protocol that can be done with a low potential for  
9 losing equipment that is nonintrusive as much as it can  
10 be and at the same time gives us something that we can  
11 look at the reservoir with.

12 Q. It seems to me like the cumulative volume  
13 going -- buildup in that Devonian -- the term "Devonian"  
14 injectivity zone is -- is going to go up over time. No  
15 matter what anybody does here, it's going to go up  
16 unless you say no injection in the Devonian. So it's  
17 going to go up. So then you've got the other issue of  
18 if a concentrated rate in a given area is an issue,  
19 where you don't have time for it to dissipate, is  
20 that -- through the literature, has that been identified  
21 as an issue?

22 A. Well, for the Arkansas experience, they  
23 actually have no injection zones in the Arbuckle as a  
24 result of concerns and at least a level of confidence  
25 that continued injection will result in their episodes

1 of seismicity that they've had. So, again, back to the  
2 concept of management, yeah, there are places that we're  
3 going to probably see a cumulative effect, and they'll  
4 have to be evaluated on the merits after the injection  
5 has occurred.

6 Q. Yeah. Okay.

7 There seems to be a lot of things that can  
8 be done to not only gather information as the well is  
9 drilled and completed but also in the continued  
10 operation of the well, you know, like Hall plots or  
11 pressure transient analysis or, you know, as you  
12 complete the well, a little bit of sidewall coring,  
13 things like that. Have you seen operators do that and  
14 let you know about that kind of stuff?

15 A. The only folks who have brought forward such  
16 information have tended to be the larger operators like  
17 XTO and Chevron. As part of their protocols for  
18 assessing the well in their operations, they do this  
19 type of data accumulation. But other than that, no, it  
20 is not. The most we ever get is a log suite and then  
21 pressure and volume monthly.

22 Q. Even people talking to you about what they've  
23 done to their well that they haven't submitted to you,  
24 they haven't talked about enhanced operation of the  
25 well? I mean, obviously, you're requiring SCADA systems

1     **now, but --**

2           A.     There are midstream operators who have come  
3     forth with the ability to include SCADA systems and have  
4     requested that we include it, as well as, in the case of  
5     NGL, lay out array systems and have their own in-house  
6     seismic recordings.

7           Q.     Okay. One of the -- one of the black boxes I  
8     see is the actual Simpson, whether it is a -- what data  
9     is available for stress in the Simpson versus stress  
10    from the Devonian zone? And that's something that I  
11    wasn't totally -- I don't think the data is out there  
12    yet, or if it's out there, it wasn't presented the other  
13    day, about not quite a month ago. So have you heard  
14    anything about -- is the Simpson variable as to the  
15    thickness in this area, or is it just a general thick  
16    shale, or what is it?

17          A.     As you come up the basin, its thickness will  
18    vary. Certainly as you come up towards the shelf, it  
19    thins out, as does the Woodford, as well as the Devonian  
20    section. So there is regional play into it.

21                   As far as the varieties, in certain areas,  
22    the Simpson has been productive on the platform, but at  
23    the same time, it's not truly representative of what's  
24    in the basin. So --

25          Q.     Okay.



1           A.    -- that would be information that would be  
2   available.  To correlate to the basin would be a  
3   different --

4           Q.    Okay.  So the Simpson has been oil productive  
5   up on the platform?

6           A.    It has.  It has.  They have had pools.

7           Q.    Okay.

8           A.    Not very big.  Just one or two wells.

9           Q.    So it's possible it could be gas productive  
10   down in the basin?

11          A.    Well, you're a petroleum engineer.  I'll let  
12   you decide that.

13          Q.    Well, I can't be a seismologist either.

14                   As far as notice goes, you said you're  
15   doing a one-mile area of review and a one-mile notice?

16          A.    Correct.

17          Q.    Okay.  Are you just doing the standard notice  
18   that is required in the rules, or are you requiring  
19   notice -- if this is going to cause induced seismicity  
20   or if it's a possibility, those people living on the  
21   surface maybe should be required notice, too, or the  
22   surface owners, right?

23          A.    Well, that would be a water-quality standard as  
24   far as notice of surface in that radius, but we are  
25   still just doing it based upon the affected persons as

1 defined in the New Mexico Administrative Code.

2 Q. Okay. This ten kilometers, is that a radius --  
3 I forgot what Mr. Reynolds said, whether it was a square  
4 or a circle.

5 MR. REYNOLDS: (Indicating.)

6 EXAMINER JONES: It's a circle. Okay.

7 Q. (BY EXAMINER JONES) Okay. 122 square miles,  
8 right? And say again what they were using that for.  
9 They were looking at --

10 A. They -- the process in Texas is to look for  
11 anything greater than a 2.0 event, and then with that,  
12 the level of information requirements increases. So it  
13 is a -- a decision box, you may say. If you have  
14 nothing showing up, even the minimum requirements should  
15 be, it's fine. But doing the 2.0 and above gives  
16 certainly a greater review of what is on record.

17 Q. Okay. And as far as why a rulemaking hasn't  
18 started yet, couldn't that have been initiated by the  
19 operators also or NMOGA?

20 A. Well, NMOGA has been in discussion with us and  
21 has presented to us. So --

22 Q. So they're just talking, but they're not doing  
23 anything?

24 A. Well, they have asked, but at this point, no,  
25 there is nothing gone forward.

1           Q.    The faults that Mr. Reynolds talked about --  
2    I'd have to go back and look, but I thought he compared  
3    the faults in the Oklahoma orogeny area that might have  
4    been stack slip-type faults and these faults in the --  
5    in this area being normal type faults with a 30-degree  
6    angle.  So those are a little bit less likely to be --  
7    have induced slip on them; isn't that correct?

8           A.    The Lund Snee-Zoback paper does present a very  
9    accurate picture as to what faults have the potential  
10   for -- at least in the Permian Basin.  But as stated,  
11   it's based upon what's available as far as information  
12   that's out there already.

13          Q.    Okay.  Thank you.

14                   EXAMINER JONES:  Any --

15                  MS. BENNETT:  Well, I don't know if this is  
16   appropriate, but I did have a few follow-up questions  
17   based on questions the examiners asked.  I don't know if  
18   that's allowable.

19                  EXAMINER BRANCARD:  Well, I think it's  
20   Mr. Brooks' turn.

21                  MS. BENNETT:  Okay.  Thanks.

22                  MR. BROOKS:  I indicated earlier that out  
23   of deference to Mr. Padilla and Mr. Bruce, they need to  
24   get their witnesses out -- or at least my understanding  
25   was we were going to put Mr. Padilla's witnesses on

1 today and Mr. Bruce's on another date; is that correct?

2 MR. PADILLA: No. No. We're not going to  
3 put on a case today.

4 MR. BROOKS: Okay. I'll go ahead and ask a  
5 few questions that I have.

6 REDIRECT EXAMINATION

7 BY MR. BROOKS:

8 Q. Now, the notice requirement refers to area of  
9 review and describes specifically the relationship  
10 between the area of review and the parties to be  
11 noticed, correct?

12 A. Correct.

13 Q. And it uses the term "area of review"?

14 A. It does.

15 Q. And the term "area of review" is a term of art  
16 in the UIC rules?

17 A. That is correct.

18 Q. So the fact that we may urge a larger setback  
19 area does not ipso facto require additional notice?

20 A. No, it does not.

21 Q. Okay. And notice was given, and there is no  
22 contest, I believe, that notice was given in this case  
23 to everybody to whom notice is required by OCD rules?

24 A. That's correct.

25 Q. Okay. Now, the point was made on

1 cross-examination that a lot of other formations other  
2 than the Devonian are above the Ellenburger. In fact,  
3 most things are above the Ellenburger, correct?

4 A. Yes.

5 Q. If the Ellenburger is present?

6 A. That's correct.

7 Q. Now, is the question here, though, not rather  
8 the proximity -- the distance between the base of the  
9 injection interval and the Ellenburger is relatively  
10 short compared to shallower formations --

11 A. It is --

12 Q. -- than the Devonian?

13 A. It could be equal in separation as to the  
14 Devonian-Silurian section depending upon where you are  
15 in the basin, or it can be, I mean, reduced down to 300,  
16 maybe 500 feet. So it depends on where you are in the  
17 basin, and that separation will be dependent upon what  
18 information is available.

19 Q. Well, several of the articles in the exhibit  
20 refer to were the fact that for a long time most  
21 injection has occurred above the oil-producing zones,  
22 which put them fairly distant from the basin, right?

23 A. That is correct.

24 Q. And they've attributed some significance to  
25 that fact?

1           A.     Yes.

2           Q.     And here there is not a lot of separation  
3     between the injection formation and are the Ellenburger  
4     in terms of total feet of rock between the two?

5           A.     Again, it would be a thickness assessed by the  
6     best-available information, whether it is from core  
7     and/or seismic or well drill logs.

8           Q.     So you don't know exactly whether it is  
9     consistently on the basin?

10          A.     The level of spatial information is not as  
11     great as other formations.

12          Q.     You've conceded that you know of no -- or have  
13     not identified any freshwater sources that would be  
14     endangered --

15          A.     Correct.

16          Q.     -- by the applications?

17                     However, they did induce seismicity that  
18     could change; could it not?

19          A.     The potential is there that the cement for the  
20     well could be impacted.

21          Q.     Now, there was some talk about the word  
22     "moratorium." A moratorium is a temporary rule, in  
23     effect, if I'm using that term right.

24          A.     Yes.

25          Q.     How long would any temporary rule be affected

1     **that the Division might be entitled to make?**

2           A.     Well, based upon my experience with the Roswell  
3     Artesian Basin, it would only be good for 15 days.

4           **Q.     I believe that is correct.**

5                     **Thank you.**

6                     MR. BROOKS:   I'm going to pass the witness.

7                     MS. BENNETT:   May I ask a few follow-up  
8     questions then?

9                     EXAMINER JONES:   Go ahead.

10                    MS. BENNETT:   Okay.   Thank you.

11                                RE CROSS EXAMINATION

12     BY MS. BENNETT:

13           **Q.     These are questions in response to**  
14     **Mr. Brancard's questions to you.   He asked you whether**  
15     **OCD could impose volume limitations on wells, and you**  
16     **hesitated and said that you weren't sure if OCD could do**  
17     **that as a permit condition.**

18                     EXAMINER JONES:   Wait.   You mean rate.

19                     MS. BENNETT:   Rate, yeah.   Well, I guess I  
20     mean volume.

21                     EXAMINER JONES:   Volume is like filling up  
22     a container --

23                     MS. BENNETT:   Uh-huh.

24                     EXAMINER JONES:   -- but rate is volume per  
25     unit times.   So --

1 MS. BENNETT: Okay. Let's go with rate  
2 (laughter).

3 EXAMINER JONES: Yeah.

4 Q. (BY MS. BENNETT) So -- but my understanding was  
5 that your position today, the OCD's position, is that  
6 OCD has the authority to condition permits or to impose  
7 requirements to protect the environment. Is that your  
8 position?

9 A. Yes.

10 MR. BROOKS: I would object to that  
11 question because it asks the witness to come to a given  
12 opinion on a question of law.

13 Q. (BY MS. BENNETT) Let me just ask you this then:  
14 Turning back to the EPA report, the EPA report  
15 identified a number of operational approaches that it  
16 recommended or it suggested to regulators --  
17 administrators, on page 34.

18 A. Uh-huh.

19 Q. And the fourth bullet down says, "Modify  
20 injection well permit operational parameters as needed  
21 to minimize or manage seismicity issues," and the very  
22 first one is reduce injection rates.

23 A. Uh-huh.

24 Q. And that's the same bulleted list that you've  
25 chosen to select the 1.5-mile spacing requirement from;



1 is that right?

2 A. That bullet?

3 Q. That same list, the very next -- two bullets  
4 down, "separate multiple injection wells by...."

5 A. That is one we looked at. Yes.

6 Q. So even under EPA's own workbook, you could --  
7 or this guidance document, OCD does have the authority  
8 to reduce rates?

9 A. Well, three times I've been in hearing over it,  
10 no. I've lost.

11 Q. So how does OCD have the authority to impose  
12 spacing requirements but not injection rates?

13 A. Because we have been defined by the .2 psi per  
14 foot, which then makes the characteristics of the  
15 reservoir critical. This is why we had fracturing in  
16 the formation of the Delaware Mountain Group resulting  
17 in injection out of interval, in violation of the UIC.

18 Q. When Mr. Brancard asked you about the proximity  
19 to the -- of the Solaris and Blackbuck wells, I think  
20 you mentioned that even if one of those went away, in  
21 response to Mr. Brancard's question, even though they're  
22 closer than 1.5 miles to other wells, OCD could still  
23 approve those. Was that your testimony?

24 A. We would take another look at it, but it would  
25 be such that one of the wells was not going to be there.

1 Yes.

2 Q. But I thought you testified, too, that if one  
3 of the wells wasn't going to be there, you could still  
4 approve the remaining well even though it's closer than  
5 1.5 miles to an existing well.

6 A. We have, based on the history of our program,  
7 approved things closer than 1.5, and we've done it  
8 with -- both in the Matador cases at hearing, as well as  
9 with consideration given to the fact that they were  
10 preexisting wells. The order from the Commission warded  
11 [sic] -- the ability to increase the injection of wells  
12 in close proximity was approved, but at the time, we  
13 didn't have that understanding as to how close things  
14 were.

15 Q. But even today you're saying that you would  
16 allow a company to come back in and get a well closer  
17 than 1.5 miles to another well if the evidence at the  
18 hearing was such that you felt comfortable approving  
19 that?

20 A. If it was such they answered some of the  
21 questions about induced seismicity, because we do have  
22 many different types of operators, and we do have  
23 different levels of what induced-seismicity modeling has  
24 done. And this is something that has been identified to  
25 us by the scientific community, that in many respects,

1 for not having a criteria of what an induced-seismicity  
2 assessment is, that we have opened the door to another  
3 issue.

4 Q. Earlier, though, you testified that Mesquite's  
5 witnesses did a thorough job and that they try to  
6 address induced seismicity and that they've testified  
7 before Division a number of times. Is there anything in  
8 their --

9 A. Each of those is handled by a case-by-case  
10 basis.

11 Q. Exactly.

12 A. Yes. I know.

13 Q. Mr. Brancard asked you about notice and he said  
14 that the Oklahoma approach was based on, you know, three  
15 years or multiple evidence of earthquakes and isn't it  
16 better to be proactive in New Mexico. And wouldn't  
17 New Mexico and New Mexico citizens and New Mexico  
18 regulated entities benefit from that transparency at  
19 outset versus the Division coming up with rules and  
20 screening tools that aren't even identified to the  
21 regulated entities so they can partner with the Division  
22 in preventing the type of earthquakes that happened in  
23 Oklahoma?

24 A. We already do that through our AGI well  
25 program.

1           Q.    But I guess my point is there is nothing that's  
2   keeping the Division from providing notice of a 1.5-mile  
3   spacing requirement?

4           A.    No.

5           Q.    Okay.  And, in fact, that would actually help  
6   the regulated -- the operators if they knew?

7           A.    So would a staff.

8           Q.    Outside of the scope of that, but I'm happy to  
9   help with that, too, if I can.

10                   A moment ago, in response to Mr. Jones'  
11   questions about what you know and don't know, you were  
12   saying that there are so many variables that you have to  
13   take into account, like when are you going to do a  
14   bottom-hole test, what's the step rate, how do you even  
15   do a step-rate test for 30,000-barrels-a-day injection  
16   well, isn't that the exact reason, all those variables,  
17   that a rulemaking would be appropriate here?

18           A.    It would be rulemaking based upon what was the  
19   best recommendations.  But at this time, we still don't  
20   have a clear path as to those recommendations.  That was  
21   the reason for the meetings in 2018, is to define --  
22   define at least parameters that need to be addressed and  
23   the methodology of doing it and what we accepted as an  
24   industry standard or would be applicable to our  
25   concerns.  That's still being discussed.

1           Q.    Mr. Brooks asked you a question about this  
2   level of separation.  He said, So are you concerned that  
3   there is not a lot of separation here.  And you said  
4   that varies in the basin -- throughout the basin, and  
5   it's narrower at the shelf and deeper and thicker  
6   someplace else.  Do you know what the level of  
7   separation is for these wells?

8           A.    It is -- no, not at this point.  My head is  
9   kind of ended out.  But I'm sure you'll remind me.  But  
10   yes.  There is, based upon the cores available, what was  
11   estimated to be a large section.

12          Q.    So any concerns about a lot of separation  
13   doesn't really apply to these three wells, does it?

14          A.    Only if the well is properly installed.

15          Q.    And you have -- through the OCD regulation,  
16   there are controls about how wells are to be installed  
17   and maintained?

18          A.    Yes, we do.

19          Q.    Thank you.

20                    You said that there is the potential for  
21   the cement to be impacted if there is a seismic event?

22          A.    There is potential.

23          Q.    Does that exist for every well or just  
24   Mesquite's wells?

25          A.    It exists for every well.

1           **Q.    Does it exist for wells that are two miles**  
2           **apart from each other?**

3           A.    It exists for everybody.

4           **Q.    So that is irrespective of their distance from**  
5           **each other?**

6           A.    Well, it is a finding of the EPA.  It's one of  
7           the things they identified, that if you did have induced  
8           seismicity -- especially for older wells, we've got API  
9           cements that are not to standard.

10          **Q.    Are these wells older wells with APIs that are**  
11          **not to standard?**

12          A.    These are not the wells that would be impacted,  
13          but they may be impacted if not properly cemented.  I  
14          already have four wells that are not properly cemented  
15          as a result of improper circulation through the liner,  
16          which means that the zone of the H2S sources, primarily  
17          Pennsylvanian, are exposed to casing.  And so we have  
18          had new issues with regards to improper cement  
19          circulation, as well not having proper information  
20          provided to our district.  So --

21          **Q.    Are those Mesquite wells?**

22          A.    Pardon me?

23          **Q.    Are those Mesquite wells?**

24          A.    Not at this time, no.

25          **Q.    Those are all the follow-up questions I have.**

1     **Thank you.**

2                   EXAMINER JONES:   Okay.   Is that your case,  
3     Mr. Brooks?

4                   MR. BROOKS:   I believe so, Mr. Jones.   I'm  
5     not waiving -- since the other parties have not  
6     presented their rebuttal yet, I'm not waiving any right  
7     that we have.   Although I realize we normally don't have  
8     to present, but that can be requested, and I'm not  
9     waiving anything on that.   But that's my case.   That's  
10    the Division's case.

11                  EXAMINER JONES:   The Division's case.  
12                   You want to put on a rebuttal witness?

13                  MS. BENNETT:   Yes, just a very quick  
14     rebuttal witness.

15                  EXAMINER JONES:   Okay.

16                  MS. BENNETT:   Thank you.

17                   At this time I'd like to call Mr. Todd  
18     Reynolds.

19                  EXAMINER JONES:   Let the record reflect  
20     that he's been sworn already approximately a month ago.

21                   (Laughter.)

22                  EXAMINER JONES:   Hopefully he hasn't  
23     forgotten.

24                                 TODD REYNOLDS,  
25             after having been previously sworn under oath, was

1 re-called, questioned and testified as follows:

2 DIRECT EXAMINATION

3 BY MS. BENNETT:

4 Q. Mr. Reynolds, thank you for coming back today.  
5 I just have a few questions for you.

6 The last time you were here, we talked  
7 about an exhibit that you had prepared that we didn't  
8 have time to present because we were getting close to  
9 the end of the day; is that right?

10 A. That's correct.

11 Q. And is that exhibit essentially what I've  
12 handed out today, Mesquite Rebuttal Exhibit 1?

13 A. Yes, it is.

14 Q. Is this what you described to the examiners  
15 last time as a hypothetical study of a 1.5-mile well  
16 between a critically oriented fault versus 1.5-mile with  
17 setback limits near the fault?

18 A. Yes. That's what it is.

19 Q. And so your modeling essentially takes the same  
20 distance from between wells but then runs a different  
21 model for proximity to a fault versus proximity or  
22 distance from a fault?

23 A. That's correct. And what the exhibit will show  
24 is that simply creating a checkerboard pattern of wells  
25 1.5 miles apart will do nothing to mitigate the



1 seismicity risk if there is faulting in the area because  
2 some of those wells are going to be too close to the  
3 fault. And if we're going to screen wells that should  
4 or shouldn't be drilled, we should be doing a geologic  
5 screening rather than a geographic screening to try to  
6 make an attempt to identify faults in the area and  
7 really scrutinize anything that gets permitted too near  
8 those faults.

9 Q. Now, let's look at your FSP analysis really  
10 quickly, because earlier today we heard that there isn't  
11 a lot of data around in this area. And I understand  
12 this is a hypothetical fault slip probability analysis,  
13 but for these particular cases, Baker and Laguna Salada,  
14 were you able to find readily available data sources?

15 A. Yes. As far as -- you know, we have the  
16 Snee-Zoback paper to get an estimate of the direction of  
17 max horizontal stress. That's one of the parameters.

18 We've used, you know, the thicknesses from  
19 wells that have been drilled out here to identify the  
20 interval. And in addition to that, we've gone very  
21 conservative in saying that only -- we're only going to  
22 use half of that interval as the modeled injection  
23 interval instead of the entire interval.

24 And then there are a number of wells that  
25 are drilled to the top of the Barnett and the

1   Mississippian where you can take those wells and project  
2   down to the Devonian or down to the Ellenburger based on  
3   thicknesses that you see in the wells that went deep  
4   enough to see those other intervals. You can isopach  
5   each -- each interval and just add it to -- to those  
6   logs that got to the Barnett or got to the  
7   Mississippian.

8                   And in this specific area, there's -- I  
9   think I have over 50 well points in my area of review  
10   to -- to derive a structure map on the top of the  
11   Devonian, and it's not unlike what Mesquite would do to  
12   estimate the formation tops when they went out there to  
13   drill the well. They're going to take the information  
14   that they have to construct the best structure map that  
15   they can. And if it identifies faulting, typically what  
16   I have seen is the problematic faults in all of these  
17   areas do cut up through the sedimentary section to some  
18   extent. And so they are identifiable. They're not just  
19   these varied basement faults that aren't seen up in the  
20   section somehow.

21                   And that's what we've done, and we'll show  
22   that through another exhibit. But there is -- there is  
23   a lot of information out there, but you have to look at  
24   it.

25           Q.    Uh-huh.

1                   And so for the Baker and Laguna Salada  
2   wells, you actually did a site-specific fault slip  
3   probability analysis?

4       A.    Yes, I did, and that was presented last time.  
5   And then for this -- excuse me. For this hypothetical,  
6   we just put those same parameters into the hypothetical  
7   model, thickness, stress values, all of that, to just --  
8   to run the same model of a hypothetical fault that would  
9   be located in this same general environment.

10       Q.   Can you run us through the fault slip  
11   probability analysis that you have here -- the  
12   hypothetical fault slip probability analysis?

13       A.    Sure. ST-1 would be the first page of the  
14   analysis, and we've noted a fault that's oriented  
15   somewhat northeast to southwest, which would be the most  
16   critical angle that the fault could be from an azimuth  
17   standpoint.

18                   MR. BROOKS: Which tab are you looking at?

19                   THE WITNESS: ST-1.

20                   MS. BENNETT: Right behind Tab 1.

21                   THE WITNESS: On Exhibit 1, near the page  
22   number. Spacing Test 1 is what the page number is.

23                   So the FSP software calculates that a fault  
24   of critical orientation at this depth would have a  
25   pressure to slip of 1,750 pounds, roughly. And why do

1   you see this repeated over and over and over? It's  
2   because we've treated this fault as multiple segments.  
3   The FSP calculates the pressure at the center of a  
4   segment. And so just to draw one big, long segment here  
5   would only calculate the pressure right at that center  
6   point, so we've segmented the fault up into multiple  
7   segments because we're going to put multiple wells in  
8   here that we're going to look at.

9                   So 1,750 is the pressure that's going to  
10   cause the fault to slip if it's oriented in an optimal  
11   direction and has a near-vertical dip, which the faults  
12   out here do, of, you know, 80 degrees, 85 degrees.  
13   They're near vertical. And those parameters were all  
14   put into the model.

15                  The second page, ST-2, is the wells that  
16   were put into the model. Basically, it's just a spacing  
17   of -- I think there are 30 wells in here, all a mile and  
18   a half apart, all injecting at 30,000 barrels a day, and  
19   you see the fault running through the cluster of wells  
20   there, the diagonal northeast-southwest line.

21                  If we go to page ST-3, now we're running  
22   the model forward based on those well spacings and those  
23   injection parameters, and we start to see the pressure  
24   that's building along the fault. Those values you see  
25   are 692 pounds, 700-something pounds. They're in the

1 middle, and as you get out to the end, the pressure is  
2 less. But that's at year 2025. Okay?

3 Then we look at 2035, and now the pressure  
4 is approaching the pressure that it takes to allow fault  
5 slip, which is 1,750 pounds. You can see in the center  
6 section there that we're up around 1,500 pounds now, and  
7 that represents a 30 percent chance of fault slip, based  
8 on the model, which is shown in the column. On the far  
9 left-hand side, you see the color coding of the faults.  
10 Some of them are starting to turn yellow from green. So  
11 that's showing a higher percentage chance of fault slip  
12 along that fault segment.

13 If we go to ST-5 -- page ST-5, now we're  
14 out at 2045. And so we have all these wells drilled a  
15 mile and a half apart, but yet we're beyond the pressure  
16 that would cause fault slip now. We're at 1,900 pounds.  
17 We're 1,700 pounds at several segments along the fault.  
18 And so you would expect fault slip at this point or  
19 prior to this, actually.

20 Okay. So now we go to page ST-6. And what  
21 we've done here is we've decimated the wells that were  
22 within a mile and a half of the fault. We've taken  
23 those out of the model and said, you know, Those wells  
24 never should have been drilled in the first place based  
25 on proximity to the fault. We still have the wells a

1 mile and a half apart, and, you know, that might be  
2 something to be considered in an area where you know  
3 there is a fault.

4 In an area where there is no evidence of  
5 faulting, I'm of the opinion that a mile is appropriate  
6 for distance between wells.

7 But here you have an instance where you  
8 have a fault, and so you're not only spacing the wells a  
9 mile and a half off the fault, you're spacing the wells  
10 a mile and a half from each other also.

11 So we run the model out now, and at 2025,  
12 we're starting to see about 300 pounds along the fault,  
13 same injection profile as before. All these wells are  
14 injecting at 40,000 barrels a day.

15 ST-7 is at the 2035 year range. And so  
16 we're still -- all the faults are still in the green,  
17 showing zero percent probability of fault slip. You're  
18 keeping the pressures down below the pressure that is  
19 necessary to initiate fault slip.

20 And even all the way out to 2045 -- it is a  
21 given -- pressure is going to increase as the time  
22 increases and the volume increases, but at this stage,  
23 we're still 600 pounds below the pressure that is  
24 necessary to initiate fault slip. And all of the fault  
25 segments are still showing a very low probability of

1    fault slip. I think fault six is showing 3 percent of  
2    the fault slip.

3                    So in my experience, in looking at all  
4    these case studies that were listed, there is a  
5    problematic fault on every one of them. In the  
6    induced-seismicity world, they've identified a fault.  
7    Oftentimes, it's -- in most instances, it's less than a  
8    mile and a half, two miles from the well. In many  
9    instances, it's intercepted by the wellbore. In other  
10   words, the well cut the fault. And in a few instances,  
11   it's a situation where they blew out the bottom of the  
12   zone and blasted through the confining layer.

13                   That's not the case. So all this  
14   discussion of confining layer, it's -- it's good  
15   safeguard. It's good insurance. But in all of these  
16   cases, that was not the reason of induced seismicity.  
17   It was -- it was -- the conduit was the fault down  
18   through -- you know, the fault cut through the confining  
19   layer and provided the pathway down into the basement or  
20   the -- or the depth of seismicity. And generally it's  
21   not every fault. It's the ones that are oriented  
22   parallel to the stress field which tend to be more open  
23   and conductive because of their orientation.

24                   And there has been a tremendous amount of  
25   discussion today about the Simpson and whether or not

1   it's an appropriate confining interval. It would seem  
2   that that's been decided a long time ago when injection  
3   into the Devonian was allowed. So it's really kind of  
4   an irrelevant discussion on this idea of what the proper  
5   spacing this way (demonstrating) should be. That's more  
6   of a vertical consideration, which is similar to -- in  
7   Texas, we have vertical consideration of distance from  
8   the basement that injection is allowed, and -- but  
9   that's a different subject than why these permits were  
10   denied.

11           **Q.    (BY MS. BENNETT) You had a few other documents**  
12   **that you included with your exhibit. Are those contour**  
13   **maps and logs that you used to -- for data points?**

14           **A.    Yes. Under Tab 2 -- and for each of these**  
15   **following exhibits, which are maps and cross sections, I**  
16   **have oversized sections that I can leave with staff and**  
17   **provide to the other side so that we don't wreck our**  
18   **eyesight any further than it already is. So we can pull**  
19   **those out and look at them if needed, but we'll talk**  
20   **from these for now.**

21           **Q.    And just remind me. The first one which is --**  
22   **that says "structure map showing top of Devonian and**  
23   **cross-section lines" in the legend here, is that the**  
24   **first one we're looking at?**

25           **A.    Yes. What you see here is the 100-square-mile**



1 area of review around the two wells, which is a radius  
2 of 5.64 miles or 9.08 kilometers, is what it works out  
3 to. So we've looked far and beyond what is typically  
4 asked of us in Texas, and we've mapped the structure.  
5 We've taken the data points that go to the Devonian and  
6 all the other data points in this area that reach the  
7 Barnett and/or Mississippian, and we used those points  
8 based on the thicknesses to provide a projected top to  
9 the Devonian. So what you see is the structural  
10 expression of that on this contour map.

11 And what we'll see in some other exhibits  
12 is the faults -- this is at the stage when faults kind  
13 of identify themselves or present themselves in the  
14 data. If you see a major change in the contour interval  
15 or something like that, it's suggesting there could be a  
16 fault there.

17 **Q. Do you see anything like that on this contour**  
18 **map?**

19 **A.** No, I don't. And we'll look at the cross  
20 sections to see how they represent the structure also.  
21 And I know there was a comment last time about the lines  
22 of cross sections being on the same map as the geology.  
23 I need that to be able to look at the cross section and  
24 look at the structure map and say, what should we be  
25 seeing here? Should we be seeing a gradual dip, or

1    should we see a step up?  And you should see that  
2    reflected on the cross sections also.  So I would keep  
3    that map out and handy as we look at cross sections A  
4    and B, A, A prime and B, B prime.

5                   A, A prime is basically a dip cross section  
6    running from northwest to southeast.  And on this cross  
7    section, you see a number of wells that do reach the  
8    Devonian but a couple of wells that don't quite get to  
9    the Devonian but they see the Mississippian and other  
10   formation tops, and so we've projected down to the  
11   Devonian.

12                   And starting on the left-hand side and  
13   moving to the right, you just see generally the dip  
14   getting deeper as you go towards A, A -- I mean towards  
15   A prime.  And you can kind of use the dip established  
16   between wells to project what you would expect to see at  
17   the next well.  And any strong departure from that would  
18   be indicative of possible fault.  On this particular  
19   cross section, just straight downdip through the area,  
20   we see generally just a uniform southeast dip, without  
21   any strong structural indication of faulting.

22                   And this is -- I'll stop for a moment and  
23   say this is the type of information that would be  
24   requested in Texas if these wells were just a few miles  
25   south and a seismic event showed up within the area of

1 review, the circle -- 100-mile square circle. This is  
2 the kind of evidence we would put on that would get  
3 reviewed, but ultimately you would get a permit of some  
4 kind. It might have some conditions on it.

5 **Q. And let me stop you there. I think what you**  
6 **were saying earlier, though, was that unless there is a**  
7 **seismic event of a certain magnitude, you don't even get**  
8 **to this level in Texas, right?**

9 A. No. If this -- if they had drawn the state  
10 line different in 1845 or whenever -- the Baker is only  
11 four-and-a-half miles from the Texas state line, and  
12 that's just a line on the map. The geology in the basin  
13 is very similar on both sides of that line. And that  
14 particular -- I mean, both of these locations would be  
15 looked at. They would see that there is no USGS events  
16 within the circle or, you know, of any kind, and it just  
17 goes on down the line and gets approved.

18 **Q. Administratively?**

19 A. Administratively.

20 If there were events in the -- within the  
21 circle, then it would go into this other basket of how  
22 many events are in the circle and is it at a depth  
23 similar to the injection and all these other factors  
24 that would be considered.

25 So if we look at B, B prime, B, B prime is

1 a strike cross section. It's not -- it's further to the  
2 northwest primarily because we were looking for control  
3 points that went a little bit deeper. But what you see  
4 is at the top of Barnett and Mississippian, you know,  
5 that cross section is drawn such that if you look at the  
6 structure map, you should see very little -- very little  
7 variation in dip -- I mean depth between well to well to  
8 well across this line, and that's what you see at the  
9 correlative markers.

10 So in other words, we've taken that  
11 extra -- we've gone that extra step and provided the  
12 same kind of information that would be provided in the  
13 event that you were -- were in a seismic-active area, as  
14 we testified to last time and as the map shows today,  
15 and there have not been any seismic events in this --  
16 this area.

17 Q. And just to clarify, too, one of the things you  
18 talked about was that a fault has to be oriented in a  
19 certain way for induced-seismicity concerns to be  
20 triggered. Here I think you testified, for Laguna and  
21 Baker, that there aren't any faults. The closest one is  
22 ten miles. But in the event, they're not oriented in a  
23 way that would give rise to the type of concerns that  
24 were identified in the EPA manual?

25 A. Yes. And we can probably address that with the

1 next exhibit on Number 5.

2 Q. Okay.

3 A. The hypothetical that we went through on  
4 Exhibit 1 had a fault oriented parallel to the stress  
5 field, which, in this particular area, is about north 45  
6 east. So that would be considered a fault of concern, a  
7 fault that's oriented -- that you can identify and is  
8 oriented in that direction.

9 Now, the faults that the BEG has shown in  
10 this area are oriented totally different than that. If  
11 you look at Exhibit 5, Exhibit 5 is -- the BEG fault  
12 traces are shown as the black lines, and then the  
13 corresponding structure contours that the BEG had  
14 derived or mapped for the Ellenburger are also shown on  
15 the map. And it doesn't come out very well on these  
16 small copies, but it's better on the larger copy that we  
17 can provide. But you see little plus marks on the map.  
18 You'll see one -- if you look on cross section, C, C  
19 prime, the second point, that 01137, there's a little  
20 plus sign there. That's the sparseness of data that the  
21 BEG had when they made these maps. And so I think we'll  
22 all agree that even these BEG fault traces are highly  
23 suspect, and they're from 30 years ago, when there --  
24 there weren't nearly as many data points as there are  
25 now as shown on the previous map. We've got a lot more

1 data in here to assess whether or not we believe there  
2 is a fault in the area. And that's what we look at with  
3 cross section C, C prime and D, D prime.

4               If you keep -- again, keep this map out,  
5 the map under Tab 5, and we're going to look at cross  
6 section C, C prime, which suggests, based on the BEG's  
7 mapping, that between the second and third well on that  
8 cross section, you should step up. In other words,  
9 going from C to C prime, between that second and third  
10 well, you should step up about 800 feet. They're  
11 interpreting an 800-foot fault in there. And this is  
12 the one that we've described as being "nearest fault to  
13 the analysis" or the Laguna Salada. Well, we built  
14 cross section C, C prime, which is under Tab 6, and,  
15 again, between wells -- the two wells in the middle, we  
16 should have seen a step-up on the third well from the  
17 left, according to this -- this BEG interpretation, and  
18 it's not there. It's the exact opposite. It's just  
19 dipping off into the basin, and there is no evidence of  
20 a fault between there.

21               So, I mean, here is an example where we're  
22 being graded on that fault over and over and over, but  
23 yet there is very little evidence to support that that  
24 fault is there, at least in this particular area. There  
25 may be someplace else along that fault, but you

1     certainly could not have projected a fault across all  
2     these counties with two or three points on one side or  
3     the other. I mean, it's just -- it's peer-reviewed,  
4     but, you know, it -- it's a -- it's a published work  
5     that's now accepted as being meaning, well, that's where  
6     the fault is. And our more detailed site analysis says  
7     not only is that fault not down there, we don't see any  
8     faults in the area of the Laguna Salada areas. That's  
9     C, C prime.

10                     Now, we're going to look at D, D prime.  
11     And you'll notice again between the second and third  
12     well, the BEG is saying, We believe there is a fault in  
13     there. And when you look at D, D prime, I think most of  
14     us would agree, with a limited amount of training, you  
15     would see a very large fault between the second and  
16     third well on that.

17                     So, I mean, this is an example of the type  
18     of work that needs to be done, to site-specific screen  
19     wells and not geographically just say, Push them this  
20     distance apart; we'll be okay. You can do that, and  
21     then if you allow wells to be drilled near this  
22     situation, then you didn't effectively do your job.

23                     Now, this fault is not oriented optimally,  
24     but it's clearly a fault. There is clearly a fault  
25     there. And so --

1 MR. BROOKS: Where is that?

2 THE WITNESS: If you look at this map here,  
3 which was -- what exhibit was that? 6?

4 MS. BENNETT: It's this one, Phil. Phil,  
5 it's the D, D. Yes. It's right here (indicating).

6 THE WITNESS: It's the D, D prime.

7 So, you know, there is no disputing that  
8 the BEG sees a fault there. I see a fault there.  
9 Geomap, who we subscribe to, which is a subscription  
10 service -- I've got the access to that map, but I can't  
11 really copy it and show it to you guys because it's  
12 licensed -- they have faults there. And I can tell you  
13 that their maps around the Laguna Salada look almost  
14 exactly like mine. They don't have any faults in those  
15 areas. And they go to a much higher-level degree of  
16 analysis and study in building their structural maps  
17 because that's what people are paying for, is a good  
18 product. And these looks from 50,000 feet up that says  
19 this is what's going on out here are just not  
20 sufficient.

21 Q. (BY MS. BENNETT) So -- and the D to D prime  
22 fault that you noticed and that is pretty clearly  
23 evident on the cross section, that's a long ways away  
24 from the Laguna Salada, isn't it?

25 A. It's a very long ways away from Laguna Salada.



1           **Q.    And it's not optimally oriented either?**

2           A.    It's not -- we've analyzed that one a number of  
3   times. I mean, we've presented a number of permits in  
4   here for NGL and others, and there are a lot of wells  
5   being permitted over there. But it's typically on the  
6   order of -- 4,000 pounds is necessary to cause fault  
7   slip based on that fault orientation, and the  
8   .2-psi-per-foot limit is going to keep you from ever  
9   getting there, even right at near wellbore, much less  
10   some distance away from the wellbore to the fault.

11          **Q.    So just to recap, you actually identified**  
12   **logs -- well logs, you did cross sections, you prepared**  
13   **contour maps for these specific areas, and there was**  
14   **information for you to rely on to do that?**

15          A.    Yes. That's the type of analysis that I would  
16   typically do across the state line if there has been  
17   some concern of seismicity. We would be requested to do  
18   a structure map on the top of the injection interval, a  
19   structure map on the base of the injection interval,  
20   cross sections in a dip direction, cross sections in a  
21   strike direction and then, after all that data analysis,  
22   run the FSP based on the best available inputs that can  
23   be put into the model, and we present that data. It  
24   gets reviewed, and it will typically -- I've not come  
25   across one that didn't at least at some point result in

1   some kind of permit.  There may be rate reduction, or  
2   there may be requests to install a seismic monitoring  
3   system, but again, those are -- those are conditions  
4   that never even come in until there's been an event  
5   within the area of review, and we have none here.

6           **Q.   And you did all of that for the Mesquite**  
7   **applications -- or for the Mesquite hearing exhibits**  
8   **when we were here last time, right?  You did the FSP**  
9   **analysis?**

10          A.   That's correct.

11          **Q.   And you showed no -- zero, as I recall,**  
12   **likelihood of fault slip probability?**

13          A.   Well, the biggest problem with that model is  
14   there were no faults in the area of review to calculate  
15   what the pressure would be at the fault.  So yeah, the  
16   probability was zero because there were no faults to  
17   calculate the pressure at that specific fault.

18          **Q.   And you've had a chance to look through**  
19   **Mr. Goetze's and the OCD's exhibits, right?**

20          A.   Yes.

21          **Q.   Do you see anything in their exhibits that**  
22   **aren't similar to your FSP analysis, like the cross**  
23   **sections or the contour maps, for this area?**

24          A.   I think the closest they came was maybe Dagger  
25   Draw, but that was not any -- an analysis done by staff.

1 It was just a published paper. There was no  
2 site-specific geology presented in this area, not even a  
3 type log, that would show us what sections we're talking  
4 about.

5 Q. And, again, Mr. Goetze, when we were here  
6 earlier, noted that you have testified a lot before the  
7 Division. And, in fact, you have a lot of experience  
8 with the Texas Railroad Commission process, right?

9 A. Yes, I do.

10 Q. And in your opinion, if this was across the  
11 state line, this application would have been  
12 administratively -- these applications would have been  
13 administratively approved?

14 A. They would have. There would -- you know, as  
15 he stated, we do not have a spacing rule in the state of  
16 Texas. And so it is my understanding, everything I've  
17 heard here today, that's the only thing that's kept this  
18 one from being administratively approved.

19 Q. Thank you.

20 MS. BENNETT: I don't have any more  
21 questions for Mr. Reynolds.

22 EXAMINER JONES: Mr. Brooks?

23 MR. BROOKS: No questions.

24 MR. BRUCE: Questions, Mr. Padilla?

25 MR. PADILLA: None.

1 EXAMINER JONES: Questions?

2 EXAMINER McMILLAN: I don't have any.

3 CROSS-EXAMINATION

4 BY EXAMINER JONES:

5 Q. I'd just like to correct the record. I said  
6 earlier that -- I quoted you from last time saying that  
7 these faults in this basin were 30 degrees from  
8 vertical, and you said now they're 80 degrees. They're  
9 basically almost vertical.

10 A. They're almost vertical. Yeah, I heard you say  
11 that earlier.

12 Q. Yeah. I'm sorry that I said that.

13 A. That's all right.

14 But you were correct, the fault at 30  
15 degrees is similar to one that's at 90 degrees, because  
16 60 degrees is the optimal dip angle that would initiate  
17 slip. Not only optimal azimuth is important, but dip  
18 angle closer to 60 is more critical. And the closer you  
19 get to 90 or below 60 would be less likely slip, so it  
20 turns out 30 is the same.

21 Q. So you're talking about like a vector type  
22 system.

23 Okay. So if your stress now is so much  
24 different than the stress when those faults were  
25 created, what happened out there that caused the change

1     **to the stress regime?**

2           A.     The orientation of the faults versus what the  
3     current stress field is?

4           **Q.     Yeah.   Yeah.**

5           A.     You know, it's just things have rotated around  
6     over geologic time.  As you -- for example, the  
7     current-day stress in the Delaware Basin rotates from  
8     about north 30 east to 130 degrees as you get further  
9     south.  So as you get into Reeves County and other  
10    counties, the two coincide.  The ancient faulting and  
11    the current-day stress are more in alignment.  So it's  
12    just changed over time.

13                   And, you know, you asked about data  
14    collection.  You know, that would be one thing that  
15    could possibly be collected, is are we using the right  
16    assumption for the -- for the stress at that depth.  You  
17    know, wellbore breakouts are an indicator, and then  
18    there is also -- there are particular logs that can be  
19    run that will --

20           **Q.     Will orient the dipole sonic?**

21           A.     Yeah.  That will give you the rose diagram and  
22    show the orientation of the -- the stress field.  So,  
23    you know, that's something that could happen.

24                   But your question earlier to someone was  
25    gathering more information on the confining layer, the

1 Simpson. Well, we're never going to get that if we're  
2 stopping 100 foot at the Montoya every time.

3 Q. But if you don't have to stop --

4 A. Right.

5 Q. -- then you have to plug the well back, and  
6 that's not very successful either.

7 A. That's right.

8 And I can tell you from having looked at  
9 all those examples that were cited today and all the  
10 examples in Texas, there -- there aren't instances where  
11 the well was drilled and they blew out the confining  
12 layer. That was not the issue and the reason for  
13 seismicity. The issue and the reason for seismicity was  
14 proximity to the fault, and that fault provided the  
15 break through the -- through the seal, not any specific  
16 thickness or anything like that.

17 Q. The injectivity is a function not only of the  
18 porosity but the extreme big thickness of the, quote,  
19 unquote, "Devonian" in this area. That's why it's such  
20 good injection.

21 A. Right. And if we were talking about a 50-foot  
22 interval, the pressures that calculated these faults  
23 would be considerably higher because our container is so  
24 much smaller.

25 Q. Okay.

1 EXAMINER JONES: Anybody else have any  
2 questions for this witness?

3 Go ahead.

4 CROSS-EXAMINATION

5 BY EXAMINER BRANCARD:

6 Q. Well, I was just -- Mr. Reynolds, did you go  
7 through these materials that Mr. Goetze presented, the  
8 articles?

9 A. I've -- I've read probably all of them at some  
10 point over the last three years, but I can't say that  
11 I've read them all recently. I saw -- I looked at all  
12 of them last time and saw what they were and said,  
13 "Yeah, I've looked at that one or I haven't," and that  
14 kind of thing.

15 Q. Well, I mean, what struck me in reading these  
16 articles, which is the same thing I quoted to Mr.  
17 Goetze, was that several of the articles, the ones  
18 focusing on Oklahoma, the Raton Basin, are all talking  
19 about the impact of cumulative injection volume being  
20 associated with the rise in seismicity, along with  
21 depth. And so your whole discussion is talking about  
22 faulting, but I don't see -- faulting is not discussed  
23 in these articles. It's all talking about volume.

24 A. Well, there is a fault in every one of those.  
25 I don't think there is any one of those where they say a

1 well just out somewhere in a geologic province has  
2 injected too much would be a cause of induced  
3 seismicity. It's -- it's cumulative volume in areas  
4 near faults, is what it is.

5 Q. And so just to clear up Mesquite's position,  
6 that is that you're okay with a one-mile spacing but not  
7 a mile and a half?

8 MS. BENNETT: So just to be clear,  
9 Mr. Reynolds can give his position but not Mesquite's  
10 position. He can give his.

11 EXAMINER BRANCARD: Well, he's Mesquite's  
12 witness.

13 MS. BENNETT: He is, but I don't know that  
14 he -- I mean, I would rather answer that question if  
15 that's okay. What I can tell you is that Mesquite is  
16 comfortable with the 1.5-mile spacing requirement going  
17 forward but is asking for these three wells to be  
18 analyzed under the regime that they understood to be in  
19 place at the time. And they also are saying that even  
20 if the 1.5-mile spacing requirement is applied here, it  
21 has been not shown to be necessary. And I think  
22 Mr. Reynolds concedes that, that it hasn't been shown to  
23 be necessary to apply that here.

24 THE WITNESS: Yeah. To answer your  
25 question, it's not only my opinion, but from what I can



1 tell, it's the State of Texas and the State of Oklahoma  
2 and a number of other states' position that they don't  
3 view that as the most critical element, or they would  
4 have imposed some sort of rule between those spacing  
5 already. I mean, those are areas that have a tremendous  
6 amount of seismicity, much more than what has been seen  
7 in southeast New Mexico, and none of them have  
8 implemented a between-well spacing, but some of them  
9 have identified -- an example in Oklahoma, the Prague  
10 area and the fault of concern there, they drew a buffer  
11 around the faults and imposed rate restrictions on all  
12 the wells within that buffer. So this concept of  
13 cumulative volume wasn't applied to the whole basin. It  
14 was only applied to the wells within a certain distance  
15 of that fault, because wells some considerable distance  
16 from a fault are not going to raise the pressure many,  
17 many miles away. So it's recognition by the State of  
18 Oklahoma that they took action based upon a geologic  
19 area around a fault, not just arbitrarily over an entire  
20 basin.

21 Q. (BY EXAMINER BRANCARD) And the action they took  
22 and the action shown in Exhibit 11 is rate limitations?

23 A. Exhibit 11, I think, was the Texas package; was  
24 it not.

25 Q. Where they had a category of A, B and C, and

1     **one was 10,000 barrels day, one was 20- and one was 30-.**

2           A.     Yeah. But that is not based on a particular  
3     fault. That is just based on how many seismic events  
4     showed up in the area of review, how much cumulative  
5     volume is permitted in the area of review. There are  
6     about five factors that go into assigning an A, B or C  
7     grade on that analysis. And an A grade will get you  
8     30,000 barrels a day. A B will get you 20,000 barrels a  
9     day, and a C will get you 10,000 barrels day. And if  
10    you will agree to monitoring and some sort of mitigation  
11    plan, you can get an extra 10,000 barrels. So you can  
12    go up to 40, 30, 20. But that specific program is -- is  
13    based on what showed up within your 100-square-mile  
14    review, not necessarily certain wells around a certain  
15    fault.

16                               RECROSS EXAMINATION

17    BY EXAMINER JONES:

18           **Q.     Is that all out of Austin, or is that District**  
19    **8, District --**

20           A.     They are only imposing that in the Delaware  
21    Basin right now. I'm not seeing that be forced in the  
22    Eagle Ford, but I can see it heading in that direction,  
23    as applying a similar rating system and condition system  
24    to other areas.

25           **Q.     They permitted, though, out of Austin, right?**

1           A.    Yes.   Yes.

2                           CONTINUED CROSS-EXAMINATION

3   BY EXAMINER BRANCARD:

4           Q.    I just want -- your -- your entire focus is on  
5   the faults and the knowledge of faults, so I just want  
6   you to comment on this line that's in this latest  
7   article, this Lund Snee-Zoback, on page 132. Near the  
8   end, they say, "We consider the greatest uncertainties  
9   in the map to be the lack of knowledge of subsurface  
10  faults." So I think --

11          A.    Yeah. If you look at the Lund Snee paper, you  
12  will see that those fault traces that they've used are  
13  simply the BEG fault traces. They have not gone into an  
14  in-depth area of review.

15                   They also go on to state in that paper that  
16  they didn't -- the only factor they considered was fault  
17  azimuth and if a 4 percent pressure increase was seen at  
18  the depth interval of the fault, whether it would slip  
19  or not. So they didn't factor in the specific  
20  parameters of the injection interval or the other  
21  injection in the area, which our FSP model does.

22                   The model they run in that paper, it simply  
23  takes those fault traces and their orientations and say,  
24  "Are these faults optimally oriented to type slip or  
25  not?" They don't take into consideration any of the --

1    where the injection wells are or what depth they're  
2    injecting or anything.  It's, again, a 50,000-foot look  
3    at a basin.  And they identify, for example, these  
4    faults in this area just based on azimuth alone.  They  
5    see them as low risk.

6           **Q.    Well, I guess the concern for the Director**  
7    **would be if we base the analysis on absence or presence**  
8    **of faults and we have this statement here talking about**  
9    **the lack of knowledge of subsurface faults, is that a**  
10   **problem here?  I mean, are we basing our whole theory on**  
11   **something that we don't know, that there is a real lack**  
12   **of knowledge about?**

13          A.    Well, I would say -- it's been my experience  
14    that there is a large gap between the academics world --  
15    academic world in what they view as the data that they  
16    have available to them and the E&P world.  I mean, an  
17    example is we looked at 50 data points in here, and the  
18    BEG had zero within our area of review.  And those are  
19    the faults that are in the Lund Snee paper, is -- I  
20    would make the same statement if I hadn't mapped it  
21    myself and I was relying on someone else's work that was  
22    from a sparse data set.  I would say, you know, "I  
23    really don't know where these faults are."  I would -- I  
24    would make a comment in that paper because I didn't do  
25    the mapping.  And so I would have to protect myself and

1 say, "This is what my analysis is based on these faults,  
2 where they're located, that came from some other  
3 source," which tells me, you know -- I mean, it's a good  
4 paper, but if you're not doing the actually  
5 nuts-and-bolts work, you're not going to reach a comfort  
6 level of where the faults are and where they aren't.

7                   And, you know, to get there, you need to --  
8 if you've deemed it an area of concern, you need to ask  
9 for information like what we've provided, structure  
10 maps, cross sections, things that you can look at and  
11 say, "You know what, I don't like the way those contours  
12 are grouped up right there. Maybe that is a fault.  
13 What's the cross section show if you drew a cross  
14 section right through here?" And then the data would  
15 reveal whether it's a concern. If it is a concern,  
16 maybe you go one step further. If you want this permit,  
17 you need to go buy a seismic line or something. But  
18 that's not to say that should be required on every  
19 permit unless there is data that indicates there is a  
20 concern.

21                   But to answer your question, the reason  
22 there's so much focus on the fault and faults and  
23 whether or not there are faults is that's what the  
24 software is. It's a fault slip potential based on  
25 putting water into the ground in a certain formation.

1 Will it cause fault slip? That's where slips occur, is  
2 along faults. They don't just occur out in the middle  
3 of the basin where there are no faults.

4 MR. BROOKS: May I ask a follow-up  
5 question?

6 EXAMINER JONES: Yes.

7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 CROSS-EXAMINATION

2 BY MR. BROOKS:

3 Q. I forgot your name already. I'm sorry.

4 A. Todd Reynolds.

5 Q. Okay. Mr. Reynolds, you used the term "area of  
6 review." I'm not sure exactly in what sense you used it  
7 because you said there was no -- as I understood your  
8 testimony, you were saying that, in principle, you don't  
9 have to worry about induced seismicity unless an  
10 adequate proper fault analysis does not disclose the  
11 existence of a fault within the area of review.

12 A. Well, first answer to the first question, my  
13 reference to area of review is 100 square miles.

14 Q. Oh, okay. So you're not talking about --

15 A. A much larger circle.

16 Q. You're not talking about one-mile or  
17 one-half-mile area of review?

18 A. Not the notice circle or any of that. We're  
19 talking 100 square miles.

20 And then the statement was it doesn't rise  
21 to the level of FSP analysis, cross section, structure  
22 maps and all these things unless there's been a  
23 historical seismic event within that 100-square-mile  
24 area of review, and that would trigger doing all this  
25 other analysis.

1           Q.    Historical means what?  What period of time?  
2   We usually distinguish between historic time and  
3   geologic time.

4           A.    Sure.  Well, historical would be if it's in the  
5   archives.  Someone has recorded an earthquake in that  
6   area on an instrument.  But, you know, whether or not  
7   there is something in a cave and someone drew a picture  
8   and said, "The earth shook some other time ago," that's  
9   not what we're talking about.

10          Q.    We're talking about within a period of time  
11   that scientific observation of earthquakes -- of  
12   tectonic events has been recorded?

13          A.    Yes.  Because if there are faults out here,  
14   there was an earthquake at some point in time when that  
15   fault moved, but the --

16          Q.    But if you don't have -- if you do not find a  
17   fault from other evidence or you have not identified  
18   one -- let me rephrase.  Let me start over.

19                   If you have not identified a fault from  
20   geologic evidence or found a record of one, historical  
21   record, then you don't have to worry about them if  
22   they're outside this 100 -- you said 100 square miles?

23          A.    Yes.  What -- what triggers that additional  
24   analysis in Texas is -- I'm not quoting our rules  
25   there -- is for every saltwater disposal well permitted



1 in the state, you have to draw this 100-square-mile  
2 circle around it and search the USGS archives, and if  
3 there is a seismic event of any magnitude that has ever  
4 occurred in that circle, then we have to do all this  
5 other additional analysis.

6 **Q. Your -- your testimony is that this**  
7 **100-sqaure-mile area is, from a scientific point of**  
8 **view, adequate to disclose any faults that might have**  
9 **problems?**

10 A. It is adequate to the relevance of the wells  
11 that they are the subject, is that those wells would not  
12 impact -- there may be critical faults located outside  
13 that area of review, but a well in the middle of that  
14 100-sqaure-mile area is not going to impart a pressure  
15 change outside that 100 square miles.

16 **Q. But you're not testifying that you need not be**  
17 **concerned about any faults that are outside the**  
18 **one-half-mile area of review provided in the New Mexico**  
19 **UIC plan?**

20 A. No. If there was a fault outside the half  
21 mile, it would have been inside my 100 square miles.

22 **Q. Right.**

23 **Thank you.**

24 A. And I would have -- I would have -- it would  
25 have been in the model.

1           **Q.    Thank you.**

2           **A.    So that's why the area of review is much**  
3           **greater for the seismicity for review than it is the**  
4           **notice element.**

5           **Q.    Okay.**

6                       MR. BROOKS:  Nothing further.

7                               CROSS-EXAMINATION

8           BY EXAMINER JONES:

9           **Q.    Just quickly, the availability of listening**  
10          **devices and how would Mr. Goetze know if this area**  
11          **was -- had a 2.0, real small, seismic event?  How would**  
12          **he know that if he's looking at a permit application?**  
13          **In other words, is there enough monitoring devices, or**  
14          **are they public, or --**

15          **A.    Well, the USGS is a public archive record that**  
16          **is searchable.  You put in the coordinates of this well**  
17          **and give it a radius, and it will return any events that**  
18          **occurred in that.  Now, up until recently, that's all we**  
19          **had in Texas.  We did that, and the USGS detected it,**  
20          **and it started this process.  Now, we have the TexNet,**  
21          **so we're picking up a lot of the smaller stuff that the**  
22          **USGS didn't pick up, typically events in the 2.0**  
23          **magnitude, because their monitoring stations are so far**  
24          **apart from each other.  They just don't pick it up.**  
25          **It's not a big enough earthquake to do that.**

1           There was an array that went all the way  
2 across the country here about eight years ago and set up  
3 in sections of the country for two years. And they set  
4 up in New Mexico for two years, and then they moved it  
5 over and they set up sections of Texas for two years.  
6 And then they -- you know, they moved east. That's data  
7 that could be analyzed to see, you know, when they had  
8 that tighter grid. It was a very tight grid of  
9 monitoring stations. Did anyone -- were there any  
10 events detected? Where were the active areas? That  
11 data can be looked at to determine that. It's been done  
12 in Texas by a number of researchers, and, you know, they  
13 found events that did not get reported by the USGS  
14 because they had this tighter array that was able to  
15 pick it up.

16           And the client, I believe, at the last --  
17 you know, less than a month ago, we testified that the  
18 client would be willing to put monitoring stations in  
19 this area and share that information.

20           **Q.     So TexNet could be expanded up into New Mexico?**

21           A.     That's -- that's kind of up to TexNet to  
22 determine -- I mean, they could detect what's going on  
23 in New Mexico right now with a lot of the stations that  
24 they have, but they only report the stuff that falls  
25 within the borders of Texas. Now, the two systems could

1 be merged together, and, you know, both parties could  
2 use the information.

3 Q. With all the activity going on, the drilling  
4 and the trucks and the -- they actually can measure real  
5 small events that are going on?

6 A. Yeah. The trucks and quarry blast and all  
7 those things have a distinct character that can be  
8 filtered out.

9 Q. Even the drilling?

10 A. Yeah. Yeah.

11 Q. And the fracking?

12 A. That's usually below the threshold of  
13 detection.

14 Q. Okay. Okay.

15 A. Except when those cause earthquakes, and they  
16 do from time to time, but they're small.

17 MS. BENNETT: May I ask a quick follow-up  
18 question?

19 EXAMINER JONES: Yes.

20 REDIRECT EXAMINATION

21 BY MS. BENNETT:

22 Q. In regards to the publicly available seismic  
23 data below 2.0 magnitude, didn't Dr. Steven Taylor  
24 submit two studies that you reviewed and that are  
25 included in the materials that we presented at the

1     **hearing last time, our seismic monitors in the area?**

2           A.     Yes.  NGL has a series of monitoring stations  
3     in this area, and we did present the results of any  
4     events that have shown up on those, as a result of those  
5     monitoring stations.  And I think the highest magnitude  
6     was a 1.9, but it was not in this area.  It was -- it  
7     was further to the east at least 20 or 30 miles.

8           **Q.     Thank you.**

9                     EXAMINER JONES:  Okay.

10                    MS. BENNETT:  Thank you, Mr. Reynolds.

11                    I'm guessing there are no other questions  
12     of Mr. Reynolds.

13                    EXAMINER JONES:  Do you want to admit --

14                    MS. BENNETT:  Oh, yes.  May I please admit  
15     what we have marked as MRB-1, Rebuttal Exhibit Number 1?  
16                    (Mesquite SWD, Inc. Rebuttal Exhibit Number  
17     1 is offered into evidence.)

18                    EXAMINER JONES:  Any objection?

19                    MR. BRUCE:  No objection.

20                    MR. PADILLA:  No objection.

21                    MR. BROOKS:  No objection.

22                    MS. BENNETT:  May I make a brief closing  
23     statement -- two closing statements?

24                    EXAMINER JONES:  Yes.  We were going to --  
25     Mr. Brancard, we were going to ask for

1 proposed findings from all the attorneys.

2 MS. BENNETT: Okay. Thank you.

3 May I make a brief closing statement.

4 EXAMINER JONES: Sure.

5 CLOSING STATEMENT

6 MS. BENNETT: Okay. It will be very brief.

7 I have two things that I'd like to say.

8 First of all, as you may recall, I requested initially  
9 that these protests be dismissed because there was no  
10 technical evidence that had been presented, and  
11 Mr. Brooks objected to my request that the cases be  
12 dismissed -- or the protests be dismissed or the  
13 objections or opposition, whatever you want to call it,  
14 be dismissed because it was premature because we hadn't  
15 been given the opportunity to have technical evidence.

16 And just as a reminder, Mr. Brooks, in his  
17 February 18th email, stated, "Since the 1.5-mile  
18 distance is not a rule provision, it does not control  
19 unless a priority of the application in that particular  
20 case is shown. The Division has the power to issue  
21 rules or orders to regulate disposal of waste to protect  
22 the environment. If either party were to demonstrate by  
23 technical evidence that both wells now proposed cannot  
24 be operated consistently with environmental protections,  
25 the Division should enter an appropriate order."

1           The Division has not entered or identified  
2   or presented any technical evidence in the case today  
3   that relates to these wells, that show that these wells  
4   cannot be operated consistently with environmental  
5   protection. The un rebutted -- the unrefuted evidence by  
6   Mesquite's experts shows that these wells -- these two  
7   wells can be operated consistently with environmental  
8   protection.

9           So, again, I would renew my request that  
10   the opposition to these applications be dismissed and  
11   that these applications be returned to the  
12   administrative application process and be granted  
13   administratively posthaste.

14           Beyond that, I would also just say that I  
15   think the evidence today that came out demonstrates that  
16   this 1.5-mile screening tool is not being applied  
17   fairly. It's not being applied across the board. In  
18   fact, just two weeks ago, there was a hearing that went  
19   forward where a well was proposed to be closer than 1.5  
20   miles to a Mesquite well. If something doesn't scream  
21   arbitrary, I think that should. That well was allowed  
22   to go forward to hearing unopposed, unopposed, and  
23   it's closer than 1.5 miles to the very well that's at  
24   issue today. That doesn't seem like a fair or a  
25   reasonable approach. It seems very arbitrary and ad

1    hoc.

2                   I would also just point out that throughout  
3    this period of time, the Division had the EPA report in  
4    2015.

5                   The Division, in 2017, says there is no  
6    spacing requirement.

7                   The Division, in 2018, January 2018,  
8    approves the Black River application, which is a well  
9    closer than 1.5 miles to another well. The Division, in  
10   June 2018, approves an application for a well closer  
11   than 1.5 miles to another well. Mesquite submits its  
12   applications in July. According to Mr. Goetze's notes,  
13   there are meetings that occur without Mesquite's  
14   attendance that occur between July and December. And in  
15   December 2018, Mesquite's applications are denied based  
16   on a rule, a requirement, a screening tool, whatever you  
17   want to call it, that was never provided to Mesquite,  
18   never given to Mesquite. Mesquite was never asked to  
19   provide any additional information. Mesquite would  
20   have. We did when we came to hearing.

21                  So I feel that what Mesquite is asking for  
22    is entirely reasonable. They want the three  
23    applications that they submitted in July of 2018 -- July  
24    2018 to be reviewed and approved under the July 2018  
25    status. It's clear that between July and December, the



1 Division's policy or the Division's ideas changed.  
2 Those changes were never communicated to the operator  
3 except as on an ad hoc basis, and Mesquite shouldn't be  
4 held to that ad hoc determination. Mesquite's  
5 application should be approved.

6 I also wanted to briefly make a statement  
7 on behalf of the Baker Ranch. And Mr. Baker's attorney  
8 could not be here today. But Mr. Baker and Mrs. Baker  
9 are with me, and they've asked me to read their  
10 statement into the record. But they're willing --  
11 Mr. Baker is willing to come up and stand beside me  
12 while I read it.

13 So this is a statement on behalf of Jesse  
14 Baker and the Baker Ranch and Mesquite SWD's application  
15 for an SWD well in Case Number 20472.

16 "This statement is made on behalf of Jesse  
17 T. Baker and the Baker Ranch by their attorney of  
18 record, James T. Roach

19 "Jesse T. Baker and the Baker Ranch fully  
20 support Mesquite's application for an SWD well on the  
21 Baker Ranch. Mr. Baker and Mesquite entered into a  
22 contract for the drilling and operation of SWD wells  
23 that is the subject of this application. The contract  
24 was entered into long before OCD representatives took  
25 the position that SWD wells should have a 1.5-mile

1     spacing. There was not even a suggested requirement  
2     when Mr. Baker and Mesquite entered into the contract  
3     and there was no notice that such a suggested  
4     requirement was going to be asserted by OCD.  
5     Furthermore, there was no knowledge or information then  
6     and now that there was a reasonable basis for such a  
7     requirement.

8                     "Mr. Baker opposes any restriction on his  
9     right to enter into the contract with Mesquite and  
10    further opposes any restriction on Mesquite's and  
11    Mr. Baker's rights to perform the terms of the contract  
12    formed before there was any consideration of the  
13    1.5-mile spacing restrictions. Mr. Baker opposes the  
14    attempt to restrict performance of the contract and to  
15    restrict the use of his land by such an arbitrary  
16    decision made after the formation of his contract.

17                    "Mr. Baker and the Baker Ranch have worked  
18    with Mesquite SWD, Inc. for over three years. Mesquite  
19    has always treated Mr. Baker fairly and courteously and  
20    the working relationship has been very good. Mesquite  
21    has been respectful in the way it operates on  
22    Mr. Baker's land and causes no disruption in the  
23    operation of the Baker Ranch. Mesquite has always been  
24    very eco friendly in its operation of the SWD well on  
25    the Baker Ranch. Mr. Baker is impressed with how well

1 Mesquite is able to operate an SWD well and be so  
2 accommodating to ranch operations.

3 "Mr. Baker and Baker Ranch request that the  
4 Mesquite SWD, Inc. application for the drilling and  
5 operation of an SWD well on the Baker Ranch be  
6 approved."

7 Thank you.

8 Thank you.

9 EXAMINER BRANCARD: Yeah. We'd like a copy  
10 of that.

11 EXAMINER JONES: Okay. If all the parties  
12 will give us proposed findings -- unless you want to  
13 react to --

14 CLOSING STATEMENT

15 MR. BROOKS: I want to make a couple of  
16 observations. I won't say it will be brief because some  
17 of my questions -- it's been asked of me many times:  
18 Why are lawyers' arguments called briefs when they never  
19 are? But it will be much briefer than Ms. Bennett's  
20 closing statement.

21 I want to say two things. One is that  
22 there is adequate technical evidence because Mr. Goetze,  
23 who is a qualified technical witness, testified that it  
24 was his opinion that a 1.5-mile separation distance  
25 should be imposed in these cases in the locations where

1     these wells are located. And it was adequate -- there  
2     is adequate basis for it in the papers filed because if  
3     the Division were to impose by rule -- were to task  
4     itself to impose by rule restrictions that would limit  
5     cumulative injection in an area -- you define -- you  
6     tell me what area and whatever the size of the area is.  
7     If you're to restrict cumulative injection into a  
8     formation in any size area, one way of -- one reasonable  
9     way of approaching it would be to reduce -- would be to  
10    limit the number of wells in that area because a larger  
11    concentration of wells in an area of a given size will  
12    result in more injection if the wells are the same  
13    volume as to each well and if they are located within a  
14    certain area -- defined area.

15                     That's all I have to say.

16                     EXAMINER JONES: So you oppose the motion  
17    to dismiss?

18                     MR. BROOKS: Well, I oppose the motion to  
19    dismiss if it is indeed a motion to dismiss. It's a  
20    motion to summarily -- to issue an order, I take it,  
21    that summarily remands this case to the administrative  
22    process with the direction that the applications be  
23    granted, not for further consideration.

24                     EXAMINER JONES: Okay. Mr. Padilla.

25                     MR. PADILLA: I don't have a closing

1 statement or argument. I would request that my closing  
2 argument be deferred until after our case.

3 MR. BROOKS: I have no objection to that.

4 EXAMINER JONES: Okay. So the record in  
5 the Solaris-Blackbuck matter is going incorporated into  
6 the Mesquite cases?

7 EXAMINER BRANCARD: Vice versa.

8 MR. PADILLA: Well, at this point we have  
9 to separate the requested findings for the Mesquite  
10 case, and I shouldn't have to submit requested findings  
11 on behalf of Blackbuck in these cases. But now I think  
12 we can separate so we will file separately.

13 EXAMINER JONES: Okay. So we'll just get  
14 from the two antagonists or --

15 MR. BROOKS: Well, yes. We should now  
16 finalize the case as to Mesquite. We can't finalize the  
17 case as to the other Applicants until we've heard their  
18 rebuttal.

19 EXAMINER JONES: As far as the deadline for  
20 the proposed findings, what do you think? What do you  
21 propose?

22 MR. BROOKS: Well, I have no real input on  
23 that at this point, but I will respect any deadline that  
24 is imposed. I would think we would need at least a  
25 week, to be reasonable, given the magnitude of the

1 evidence. And it would help a whole lot if we could  
2 have the record, but I have no idea when the record will  
3 be ready, and I know the court reporter is overwhelmed.

4 Can you give us any idea when you could get  
5 this record ready?

6 (Discussion off the record with the court  
7 reporter.)

8 MR. BROOKS: I'm not in a hurry to get the  
9 record, but I would like at least a week after we get  
10 the record to prepare findings and conclusions.

11 EXAMINER JONES: This (indicating) is of  
12 record already.

13 MR. BROOKS: Oh, that's the first hearing.

14 EXAMINER JONES: Yes. We have half it  
15 already.

16 MR. BROOKS: So we only need to concern  
17 ourselves with -- well, it would depend. But I would  
18 like some time after we get the record, today's hearing,  
19 but it does not have to be in a week.

20 EXAMINER JONES: You're not really asking  
21 for proposed orders or post drafts, just proposed  
22 findings?

23 MR. BROOKS: Well, whatever you set will be  
24 complied with.

25 MS. BENNETT: I'd like to suggest, if we

1    get the materials -- I heard you saying maybe the week  
2    of July 8th through the 12th would be the time the  
3    record would be completed, and if we need a week to  
4    review those, I would suggest that the findings of fact  
5    be submitted, as a special birthday present to me, on  
6    July 25th.

7                    MR. BROOKS:    That would be acceptable with  
8    me.

9                    EXAMINER JONES:    Six months before  
10   Christmas.

11                    (Laughter.)

12                    MS. BENNETT:    I would suggest July 25th as  
13   a deadline.

14                    MR. BROOKS:    I would also note one thing  
15   about July 12th.    It's a little embarrassing to admit,  
16   but I guess not really.

17                    (Discussion off the record.)

18                    EXAMINER BRANCARD:    Okay.    So proposed  
19   findings.    I mean, you don't want an order, but at least  
20   sort of what you would want the Director to include, if  
21   there are conditions or not, et cetera, that you would  
22   offer that.    That would be helpful.

23                    MS. BENNETT:    Thank you.

24                    And so are these cases then taken under  
25   advisement, or how does that work at this point?

1                   EXAMINER JONES:  They're taken under  
2  advisement.

3                   These three Mesquite cases, Cases 20472,  
4  20313 and 20314 are taken under advisement.

5                   The matter is closed.

6                   MS. BENNETT:  Thank you.

7                   (Case Numbers 20472, 20313 and 20314  
8  conclude, 5:16 p.m.)

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



1 STATE OF NEW MEXICO  
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court  
6 Reporter, New Mexico Certified Court Reporter No. 20,  
7 and Registered Professional Reporter, do hereby certify  
8 that I reported the foregoing proceedings in  
9 stenographic shorthand and that the foregoing pages are  
10 a true and correct transcript of those proceedings that  
11 were reduced to printed form by me to the best of my  
12 ability.

13 I FURTHER CERTIFY that the Reporter's  
14 Record of the proceedings truly and accurately reflects  
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither  
17 employed by nor related to any of the parties or  
18 attorneys in this case and that I have no interest in  
19 the final disposition of this case.

20 DATED THIS 11th day of July 2019.

21

22

23 MARY C. HANKINS, CCR, RPR  
24 Certified Court Reporter  
New Mexico CCR No. 20  
Date of CCR Expiration: 12/31/2019  
Paul Baca Professional Court Reporters

25