

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

ORIGINAL

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

APPLICATION OF CHUZA OIL COMPANY FOR Case 14853  
APPROVAL OF A NON-STANDARD PROJECT AREA  
PURSUANT TO NMAC 19.15.16.1 et seq., IN THE  
NORTHEAST HOGBACK UNIT, SAN JUAN COUNTY, NEW MEXICO

REPORTER'S TRANSCRIPT OF PROCEEDINGS  
EXAMINER HEARING

BEFORE: WILLIAM V. JONES, Technical Examiner  
DAVID K. BROOKS, Legal Examiner

June 7, 2012

Santa Fe, New Mexico

2012 JUN 21 A 8:19  
RECEIVED OOD

This matter came on for hearing before the  
New Mexico Oil Conservation Division, WILLIAM V. JONES,  
Technical Examiner, and DAVID K. BROOKS, Legal Examiner,  
on Thursday, June 7, 2012, at the New Mexico Energy,  
Minerals and Natural Resources Department, 1220 South St.  
Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91  
Paul Baca Professional Court Reporters  
500 Fourth Street, N.W., Suite 105  
Albuquerque, NM 87103 505-843-9241

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

FOR THE APPLICANT:

ERNEST L. PADILLA, ESQ.  
1512 S. St. Francis Drive  
Santa Fe, New Mexico 87505  
(505)988-7577

WITNESSES: PAGE

Patrick Padilla:

Direct examination by Mr. Padilla 4  
Examination by Examiner Jones 7  
Examination by Examiner Brooks 9

Donald Goddard:

Direct examination by Mr. Padilla 10  
Examination by Examiner Jones 21  
Examination by Examiner Brooks 29  
Further examination by Examiner Jones 32

Charles Stone:

Direct examination by Mr. Padilla 33  
Examination by Examiner Jones 58

INDEX PAGE

EXHIBITS 1 AND 2 WERE ADMITTED 7  
EXHIBIT 3 WAS ADMITTED 21  
EXHIBIT 4 WAS ADMITTED 57  
EXHIBIT 5 WAS ADMITTED 69  
  
REPORTER'S CERTIFICATE 71

1 EXAMINER JONES: Okay. Let's get started.  
2 Let's call Case 14853, application of Chuza  
3 Oil Company for approval of a non-standard project area  
4 pursuant to NMAC 19.15.16.1 et seq. In the Northeast  
5 Hogback Unit, San Juan County, New Mexico. Call for  
6 appearances.

7 MR. PADILLA: Mr. Examiner, Ernest L.  
8 Padilla, Santa Fe, New Mexico, for the applicant, Chuza  
9 Oil Company. I have three witnesses to be sworn.

10 EXAMINER JONES: Are the witnesses the  
11 same as on the prehearing statements?

12 MR. PADILLA: Yes.

13 EXAMINER JONES: Any other appearances in  
14 this case?

15 Will the witnesses please stand and state  
16 your names.

17 MR. PADILLA: Patrick Padilla.

18 MR. STONE: Charles R. Stone.

19 MR. GODDARD: Donald A. Goddard.

20 (Three witness witnesses were sworn.)

21 MR. PADILLA: I'll call Patrick Padilla as  
22 the first witness.

23

24

25

PATRICK PADILLA

Having been first duly sworn, testified as follows:

DIRECT EXAMINATION

BY MR. PADILLA:

Q. Please state your full name.

A. Patrick Lawrence Padilla.

Q. Where do you live, Mr. Padilla?

A. Santa Fe, New Mexico.

Q. What is your connection with the applicant,  
Chuza Oil Company?

A. I'm the president.

Q. What are your duties with the Chuza Oil  
Company?

A. My primary responsibilities include field  
operations, regulatory compliance and distribution of  
proceeds from oil and gas sales.

Q. What is the primary focus of this hearing  
today, in terms of the project area?

A. We'd like to designate the entire Northeast  
Hogback Unit as a special project area.

Q. Are you familiar with what type of oil and gas  
leases are in the unit?

A. Yes, I am.

Q. And tell the Examiner what kind of a unit this  
is.

1           A.     This is a federal exploratory unit.

2           Q.     How many participating areas are there in the  
3 unit?

4           A.     One participating area.

5           Q.     Let me ask you, can you give the Examiner a  
6 brief history of the unit itself?

7           A.     Yes. The unit was approved by the  
8 Commissioner of Public Lands on December 1st, 1959.  
9 Shortly thereafter, in 1965, it was at its original  
10 10,000-acre size. Shortly thereafter, it was contracted  
11 to about 3,400. It's had several smaller contractions  
12 since. It currently stands at 2,431 acres and 13 federal  
13 leases.

14          Q.     Are there any private lands in this unit?

15          A.     No.

16          Q.     Are there any state lands in the unit?

17          A.     No.

18          Q.     What efforts have you made, in terms of  
19 contacting or coordinating with the Bureau of Land  
20 Management, concerning this project?

21          A.     We've been in extensive contact with the  
22 Bureau of Land Management in regards to this project and  
23 specifically in regards to changing the downhole programs  
24 on our already approved and permitted Wells Number 73 and  
25 74.

1 Q. And those, I take it, are approved for  
2 vertical drilling; is that right?

3 A. Yes.

4 Q. And what do you need to do to change the  
5 drilling program under those permits?

6 A. As far as the BLM is concerned, we would need  
7 to submit a new sundry notice with a new drilling plan  
8 and a revised C-102 plan.

9 Q. Let me digress a bit. Is the participating  
10 area the same as the current boundaries of the Northeast  
11 Hogback Unit?

12 A. Yes.

13 Q. Let me hand you what we have marked as Exhibit  
14 Number 1 and have you identify that, please.

15 A. This is a -- the red shaded areas delineate  
16 the current 2,431 acres of the Northeast Hogback Unit.

17 Q. And is there anything other than -- well, you  
18 have two pages there. What's the second page?

19 A. The second page shows much the same, but in  
20 terms of the section or township and range.

21 Q. Okay. Have you submitted a plan of  
22 development to the Bureau of Land Management?

23 A. Yes, we have.

24 Q. And is that Exhibit 2?

25 A. Exhibit 2 is our approved plan of development

1 for 2012 as submitted to the Farmington Bureau office.

2 Q. In terms of development, what are you  
3 intending to do?

4 A. We propose to alter the current vertical  
5 permitted status of Northeast Hogback Unit Numbers 73 and  
6 74 to be able to drill horizontal wells on the unit this  
7 year.

8 Q. Is approval of this application a condition  
9 precedent to proceeding to making the changes for the  
10 Bureau of Land Management?

11 A. Yes, it is.

12 MR. PADILLA: We offer Exhibits 1 and 2.

13 EXAMINER JONES: Exhibits 1 and 2 are  
14 admitted.

15 (Exhibits 1 and 2 were admitted.)

16 MR. PADILLA: And we pass the witness.

17 EXAMINATION

18 BY EXAMINER JONES:

19 Q. Is the Gallup formation the only producing  
20 formation?

21 A. It is.

22 Q. And so when you talk about the participating  
23 area, you're talking about Gallup participating area?

24 A. Correct.

25 Q. But you would want this to be limited to the

1 Gallup formation?

2 A. That is correct.

3 Q. And what vertical limits of the Gallup  
4 formation would you want to be specified?

5 A. I think that's probably an engineering  
6 question that will be addressed later by Mr. Stone.

7 Q. Are you the land witness?

8 A. Yes.

9 Q. Okay. And the owner?

10 A. I am the president.

11 Q. The president?

12 A. I'm the administrator.

13 Q. You make the decisions, then?

14 A. Some of them.

15 Q. Why was it contracted throughout the --

16 A. The nonproducing lands were excluded from the  
17 unit so as not to dilute the interests of the owner on  
18 commercially viable land.

19 Q. You mentioned that the state lands had  
20 approved this years ago, but you mentioned that there was  
21 a federal approval. Is there a document conveying it,  
22 that the Feds approved it?

23 A. Yes, there is, as well as the Department of  
24 Interior has approved the unit at the same time, shortly  
25 thereafter.

1 Q. Is there a name for that document?

2 A. I don't have it with me today, but I'd be  
3 happy to provide it.

4 EXAMINER JONES: I'm going to turn you  
5 over to Mr. Brooks because --

6 EXAMINER BROOKS: I don't know that I'm  
7 going to have any questions. You said -- I do have -- I  
8 guess I do.

9 EXAMINATION

10 BY EXAMINER BROOKS:

11 Q. What are all the red hatch lines? You maybe  
12 explained that but I missed it.

13 A. That's the unit, the current unit.

14 Q. I'm sorry?

15 A. That's the current unit.

16 Q. So the black line outlines the former extent  
17 of the unit?

18 A. That black line merely outlines the section in  
19 which the unit -- the sections in which the unit is. It  
20 doesn't have any bearing.

21 Q. The red hatch marks are the entire unit?

22 A. Correct.

23 Q. There's one participating area, and that  
24 consists of the entire unit?

25 A. That's correct.

1 EXAMINER BROOKS: I don't know that I have  
2 any other questions.

3 EXAMINER JONES: We might later, but thank  
4 you very much.

5 MR. PADILLA: We'll call Donald Goddard at  
6 this time.

7 DONALD GODDARD

8 Having been first duly sworn, testified as follows:

9 DIRECT EXAMINATION

10 BY MR. PADILLA:

11 Q. Mr. Goddard, would you please state your name?

12 A. Donald A. Goddard.

13 Q. Where are you from, Mr. Goddard?

14 A. I live in Baton Rouge, Louisiana.

15 Q. And you are a consulting geologist, I take it?

16 A. Yes.

17 Q. And have you ever testified before the Oil  
18 Conservation Division as a geologist?

19 A. Never have.

20 Q. Would you tell the Examiner what your  
21 educational background in geology is?

22 A. I received a Bachelor's degree in Geology from  
23 Florida State University in 1965. Later on, I went on to  
24 study a Master's and Ph.D. degree at University of London  
25 in Marine Geology and Geophysics.

1 Q. What has been your work experience in the oil  
2 and gas industry as a geologist?

3 A. After graduating from Florida State, I began  
4 working in Venezuela with Gulf Oil in Eastern Venezuela,  
5 and later on in the Venezuela oil industry with Royal  
6 Dutch Shell until about 1990. And then I moved to the  
7 United States, and I began working at LSU as a petroleum  
8 researcher.

9 Q. What type of research did you do at LSU?

10 A. Basically some exploration, mostly production  
11 and geological studies of the Gulf Coast basins. We had  
12 projects in marginal or mature areas, trying to improve  
13 production, working with small operators in the state.  
14 And I did that until about 2009, when I retired.

15 Q. Did you have a consulting business while you  
16 were at LSU?

17 A. We were allowed to do consulting. I did some  
18 consulting work. I did some projects in Argentina, in  
19 Venezuela and Mexico. But mostly since 2009 until now,  
20 I've been doing consulting in Louisiana and Texas, and  
21 now this project with Chuza.

22 Q. What have you done in terms of setting the  
23 Gallup formation in the area that is here today?

24 A. After speaking to Mr. Padilla, I got hold of  
25 all the data, all the logs, all the published literature,

1 which is a lot of published literature, regarding the  
2 Gallup Sandstone in the San Juan Basin. I looked at all  
3 the data, production data, and put together some of the  
4 sections, the cross-sections, looked at all the maps.

5 And we saw that the sandstones that we're looking  
6 at, channel sandstones, they tend to be fractured,  
7 naturally fractured. Typically these types of  
8 sandstones, the fractures are vertical.

9 MR. PADILLA: Let me stop you there.

10 We tender Dr. Goddard as an expert witness in  
11 geology.

12 EXAMINER JONES: Dr. Goddard is qualified  
13 as expert in geology.

14 Q. (By Mr. Padilla) Doctor, have you prepared  
15 certain materials for this hearing?

16 A. Yes. I prepared what I call a first phase  
17 report for Chuza.

18 Q. And what did that consist of?

19 A. That consisted of the correlations of the  
20 electric logs, the structural maps, the isopach maps of  
21 the sand thickness, and some economics. We ran some  
22 economics on reserves, and this information was handed to  
23 the reservoir engineers to continue their work.

24 Q. Let me hand you Exhibits 3 and 4, and we'll  
25 talk about that. Did you prepare Exhibit Number 3?

1           A.     Well, this is a structure map. It's a map of  
2 the top of the Gallup Sandstone. What it shows is the  
3 gentle dipping monocline.

4           It basically is a topography of the top of the  
5 Gallup Sandstone. It shows gentle dipping, and then  
6 towards the southeast, an increase in the dips from 3,000  
7 feet to 3,500. It shows that the top of the Gallup  
8 Sandstone we're interested in is about 1,500 feet.

9           Q.     So it's a shallow formation?

10          A.     Shallow. And it goes down to about 3,500 feet  
11 that -- we're interested from about that depth, 1,500 to  
12 3,500 feet in depth.

13          Q.     Before I interrupted you earlier, you were  
14 talking about fractured sands or --

15          A.     Um-hum.

16          Q.     Give the Examiner a general description of  
17 what you find in the Gallup itself.

18          A.     These reservoirs tend to be channels. They  
19 are channel sands. They meander through this area here.  
20 Reservoir-wise, they are very low porosity and  
21 permeabilities. The porosities range maybe about 12  
22 percent. Permeabilities would average about 50  
23 millidarcies.

24                 These reservoirs tend to be naturally  
25 fractured. And typically, from what we've observed in

1 similar reservoirs, the fractures tend to be vertical.  
2 And they are ideal candidates, we find today, for  
3 horizontal drilling.

4 Q. Let's turn to -- let me ask you about -- do  
5 you have anything further on Exhibit 3?

6 A. On Exhibit 3, I just show more or less where  
7 we plan to orient the horizontal laterals and basically  
8 trying to keep them on strike orizontally. So we want to  
9 drill them as horizontal as we can on strike of the  
10 formation, basically.

11 Q. Let's turn to Exhibit 4 and have you look at  
12 page 3, please.

13 A. (Witness complies.)

14 EXAMINER BROOKS: The pages do not appear  
15 to be numbered.

16 MR. PADILLA: They are, Mr. Brooks. Page  
17 Number 3 is by the margin

18 EXAMINER BROOKS: I see the numbers. Page  
19 3 actually is numbered. But there's a line over the  
20 number, so it's hard to see.

21 MR. PADILLA: Right.

22 Q. (By Mr. Padilla) What is this depiction here?

23 A. This is the stratigraphic column. Basically,  
24 it shows you the location of the stratigraphic unit we're  
25 interested in. It gives you the age of this unit, which

1 is a cretaceous sandstone. It shows you how it's located  
2 in respect to the Mancos Shale. You can see the Mancos  
3 Shale there.

4 It basically surrounds the Gallup Sandstone  
5 we're interested in, and it gives you the entire geologic  
6 column in the San Juan Basin.

7 Q. I see an orange dot in there, and it says,  
8 "oil." Is that the objective in this project area?

9 A. Yes, sir.

10 Q. And it also shows some -- on the dialogue in  
11 the left side, the Northeast Hogback Unit Number 73 and  
12 74 and the API numbers; is that right?

13 A. That's correct.

14 Q. And that indicates that we're also in the  
15 Horseshoe Gallup Pool; right?

16 A. That's correct.

17 Q. Let's turn to page 10 of Exhibit 4.

18 A. (Witness complies.)

19 Q. What does this page contain?

20 A. This page is a net sand isopach. It more or  
21 less tells the distribution of the Gallup Sandstone  
22 throughout the area here. It's the interval thickness  
23 from the top of the Gallup to about the base of it.

24 It also shows -- we call it a bubble map. We  
25 put the cumulative production on here. We show how much

1 each of the wells in the unit -- the amount of oil it's  
2 produced. The green lines are just more or less four  
3 horizontals that we would like to drill in the future,  
4 and it shows the orientation of those. So it's basically  
5 a bubble map on top of the net sand isopach.

6 Q. The green lines are just a general  
7 orientation; is that right?

8 A. That's correct.

9 Q. And do they conform more or less to the  
10 structure map in terms of the horizontal level that you  
11 want to be -- in other words, they follow the strike of  
12 the structure; is that right?

13 A. That's correct.

14 Q. So where are the 73 and the 72 wells located  
15 on this isopach?

16 A. You can see there's a purple dot there. You  
17 can barely see the 74, and it's next to the 2270. That  
18 is one location that we plan to drill. And it's next to  
19 Well Number 27.

20 And the other one is marked 73, and it's just  
21 above Well 26 on the map. Those are the two locations.

22 EXAMINER JONES: I'm sorry. I'm not  
23 finding 26.

24 THE WITNESS: One of them is a purple dot.

25 EXAMINER JONES: Here it is. Okay. It's

1 next to Well 27?

2 THE WITNESS: Next to Well 27. And then  
3 73 is about north of Well 26.

4 EXAMINER JONES: Thank you.

5 Q. (By Mr. Padilla) Let's go on. Do you have  
6 anything further on this page?

7 A. No.

8 Q. Let's go on to the next page, page 11. Is  
9 that a type log?

10 A. This is a type log for Well Number 27.

11 Q. What does the type log show?

12 A. Well, on the left-hand curve, it's just a  
13 gamma ray curve. It tells us the rock type. It shows  
14 the Mancos Shale on top of the upper Gallup Sandstone and  
15 some more Mancos Shale. And then you get the second  
16 Gallup Sandstone and the rest of the Mancos Shale below  
17 to 1,750, the limit of our pilot hole that we will drill.

18 This figure also shows where we tend to take  
19 some oriented cores.

20 Q. What's an oriented core?

21 A. Well, since we want to look at the fracture  
22 orientation in the rock, we orient the core true north,  
23 and we mark that core as we take it with a line. It  
24 gouges a line on there.

25 And it's necessary to do our -- the type of

1 analysis we want to do on the core. So to look at  
2 oriented fractures, we have to know that that core is  
3 right the way we took it out of the hole.

4 Q. Why is that important?

5 A. Because for the engineers, for the horizontal  
6 curves, it's very important they know as much as they can  
7 about the shales that we're doing the curve in. And the  
8 fractures will help them kind of orient the direction of  
9 the lateral, as well. So they need that.

10 Q. What's between the two Gallup Sands here?

11 A. You mean the shale interval?

12 Q. Yes.

13 A. That's Mancos Shale.

14 Q. Is there any significance with regard to the  
15 Mancos Shale in this hearing today?

16 A. No, not today. We know some information that  
17 the Mancos Shale may be a future gas potential. But  
18 here, we're not looking at that at this time.

19 Q. Does this type log show any of the porosity or  
20 permeability fractures that you testified about before?

21 A. No. We can get to porosity from here, but  
22 mainly that's the reason for our cores. We get good  
23 reservoir information out of these cores. We'll tie that  
24 in with our logging sweep. We're going to be taking some  
25 modern logs in here, a quad combo and maybe an acoustic

1 borehole imaging tool.

2           So the cores and our log sweeps are going to  
3 give us a lot more information than what we have. These  
4 are older logs, so you get the lithology from there and  
5 some porosity. We can determine porosity from these, as  
6 well.

7           Q.     Are the two sands prevalent throughout this  
8 area?

9           A.     From the logs that we've looked at -- and  
10 also, there are several fields around this area that  
11 produce from this Gallup Sand. It's a well-known  
12 producer in this area here, in the San Juan Basin. So  
13 there's a lot of knowledge and literature regarding that  
14 reservoir.

15          Q.     In terms of this area itself, the project  
16 area, is the sand pretty much -- are both sands present  
17 throughout the area?

18          A.     On all the wells and the logs, the logs say  
19 that the two sandstones are there. Towards the edge of  
20 the channels, because we were able to map isopach,  
21 sometimes the channels pinch out. And on occasion, on  
22 the log you see where there's no sand, where it's just  
23 shale. So we know the channel pinched out. And we've  
24 seen that both on the top and bottom sands. But most of  
25 the sand is prevalent throughout this field.

1 Q. Both sands?

2 A. Both sands.

3 Q. Dr. Goddard, in terms of tightness of the  
4 formation, can you give us -- can you give the Examiners  
5 some information on how tight this sand is?

6 A. These channel sandstones are typically very  
7 low porosity. Like I said earlier, maybe 12 percent  
8 average. Permeabilities are very low, from 1 to 50  
9 millidarcies, maybe averaging 40, 50 millidarcies. These  
10 are considered very tight.

11 You need to frack these sands to produce them.  
12 That's how they did them originally in the vertical  
13 wells. They did frack because they're so tight. There's  
14 low porosity and permeability. They're naturally  
15 fractured, but you do have to stimulate them. That's how  
16 they've done them in the past in vertical wells. And the  
17 drilling engineer will go into more detail regarding  
18 this.

19 But we know these fractures tend to be  
20 vertical in these tight formations, these tight  
21 reservoirs, and that horizontal drilling will cut as many  
22 of these horizontal fractures as possible. That's the  
23 reason that they are candidates for that type of  
24 technology.

25 Q. Dr. Goddard, after your study, have you made

1 any conclusions in terms of horizontal drilling in this  
2 project area?

3 A. We've done -- speaking to the drilling  
4 engineers, we've come to very interesting conclusions.  
5 For these reservoirs to be economic today, I think  
6 horizontal drilling is the way to go technically. I mean  
7 you can drill these things vertically, but the production  
8 rates won't be very high.

9 Q. Dr. Goddard, in your opinion, would approval  
10 of this application be in the best interest of  
11 conservation of oil and gas and the prevention of waste?

12 A. Definitely, I think so.

13 MR. PADILLA: We offer -- I'll hold off on  
14 Exhibit 4. But let me ask for admission of Exhibit 3 for  
15 now.

16 EXAMINER JONES: Exhibit 3 will be  
17 admitted.

18 (Exhibit 3 was admitted.)

19 MR. PADILLA: I'll pass the witness.

20 EXAMINATION

21 BY EXAMINER JONES:

22 Q. It sounds like you've got a lot of background,  
23 that you can compare this prospect to others around the  
24 areas that you worked and studied. It looks like it's  
25 located in the northwestern portion of the San Juan

1 Basin?

2 A. (Witness nods head.)

3 Q. Does that have any effect on the stress  
4 direction, fracture direction, azimuth of the fractures?

5 A. Well, these type of channel sandstones that  
6 we've looked at, you can tell from the structure that  
7 it's a very smooth structure. It's a monocline. But  
8 there is fracturing in here. These tight formations  
9 typically tend to be fractured. The tectonics dictates  
10 that in the area.

11 Q. The tectonics of the San Juan Basin affected  
12 the --

13 A. I'm sure.

14 Q. This lower sands, is it wet? I noticed it  
15 looked like the upper sand is the one producing.

16 A. No. Actually, when they produced these sands,  
17 they commingled them. So we don't have information  
18 regarding which one of the sands contributes the most  
19 oil. They both contribute. You can tell from the  
20 resistivity curves on here.

21 Now, you won't see an oil/water contact in  
22 these sands. These are gas expansion drive reservoirs,  
23 so -- but the saturations tend to be 40 percent water and  
24 60 percent oil typically in these Gallup Sandstones. So  
25 they're gas expansion. We don't see on the logs any

1 oil/water contact. We know that the water saturation  
2 tends to be 40 percent.

3 Q. It looks like the resistivity is lower in the  
4 lower sands. But you want to drill some vertical wells  
5 first, get some science and orient the core --

6 A. Run the logs.

7 Q. -- and try to confirm what you already  
8 probably suspect?

9 A. Right.

10 Q. You're going to run an imaging -- like a  
11 microimaging log and process it?

12 A. There's a company named Pinnacle that I'm  
13 familiar with. In the pilot hole, we will run -- they're  
14 tools, they're very precise seismic tools -- in the pilot  
15 hole and afterwards, as well, after you drill these  
16 horizontals. We deal with Haynesville Shale quite often.  
17 And then you run it again, and they will do a fracture  
18 map for you.

19 So Pinnacle can -- you'll see the fracturing  
20 before you do your horizontal. And then you run it  
21 after, and you can see the fracture. So we map those  
22 fractures, basically.

23 Q. And in your sands, do you have much clays that  
24 you worry about?

25 A. There are several -- a lot of clays in here.

1 That's why when you drill these vertically and you  
2 perforate them, the perfs will go into these shales. But  
3 horizontally, I think we can frack through the shales,  
4 but these reservoirs tend to be very shale laminated.

5 Q. Can you talk about the maturity of the shale,  
6 as far as whether it's in an oil or gas generation window  
7 or -- the shales are the source rocks, I take it?

8 A. The Mancos Shale is known from the literature  
9 that they are the main source rock in the area. And  
10 that's one of the reasons the oil in here is very light.  
11 You're looking at a 40, 41 degree of gravity oil. And  
12 the hydrocarbons in the gas are the -- the evidence shows  
13 from not only the literature that the Mancos Shale is the  
14 source rock here. So that's correct.

15 Q. 41 is good, but it's not exactly condensate.  
16 Do you expect elsewhere in the basin that there would be  
17 gas in the Mancos and sometimes condensate?

18 A. From what I've read, yes, I think there are  
19 some production in the Mancos, I believe. It's something  
20 new. It's coming from all those -- the Haynesville, the  
21 Barnett. So there's no reason why this cretaceous shale  
22 shouldn't produce as well.

23 Q. The Haynesville, is that cretaceous?

24 A. No. The Haynesville is Jurassic in age. It's  
25 just a little bit older than this. The Mancos here is

1 cretaceous in this basin.

2 Q. Do you have any unconformities within the  
3 Mancos?

4 A. I don't -- in this area here, I didn't see any  
5 at all. But in other areas you might have some  
6 unconformities with the lowermost strata. In here, I  
7 don't see any from the logs.

8 Q. I noticed that on your strat section, you had  
9 unconformity on the lower end between the early  
10 cretaceous and the late cretaceous?

11 A. Yes.

12 Q. That would be down below the Dakota?

13 A. There it is on the Dakota. There's one there,  
14 the Dakota Sandstone. The wiggly lines are your  
15 unconformities on here.

16 Q. So is this called the Torrivio member, or is  
17 this -- is there a member name for this sandstone?

18 A. They call it the Torrivio member of the  
19 Gallup. We call it the Gallup Sandstone.

20 Q. You're targeting the sands here, instead of  
21 the shales. Is there a possibility some day to target  
22 the shales on this unit?

23 A. When we run these logs and do all this work, I  
24 think we can look at that in the future. Right now we're  
25 just targeting the sandstones.

1 Q. Even though the sands have been depleted by  
2 the existing wells?

3 A. You know, we believe that the drainage area --  
4 that you have this 40-acre drainage area. From my  
5 experience with South Texas, with a lot higher porosity  
6 sandstones and permeabilities, you're not draining three  
7 to five acres. You're not draining that 40 acres. If  
8 you're draining 10 acres around these sandstones, you're  
9 doing pretty well, we believe, from the engineering.

10 So even if you are draining 40 acres, we're  
11 going to get way out past those 40 acres in between these  
12 wells to capture any of that bypassed oil that the  
13 verticals haven't produced, basically.

14 Q. You wanted to drill -- you're looking  
15 preliminarily to drill northeast/southwest. Is that --  
16 that's a long strike. But is that crossing fractures, or  
17 is that --

18 A. No.

19 Q. -- for engineering reasons?

20 A. That's a good question. I think when we run  
21 our analysis on our cores and the shales, and the  
22 drilling engineers, if they see that the orientation of  
23 the shales are such a way, they're going to drill, you  
24 know, perpendicular to that. So there will be  
25 flexibility to orient these laterals in a different way.

1 We just put it there just to see if we can drill them on  
2 strike, to keep the well horizontal.

3 But if the cores say, hey, we should drill  
4 them in this direction, there will be flexibility for  
5 that.

6 Q. The core data, meaning the --

7 A. Oriented cores.

8 Q. -- fracture orientation?

9 So the maturity in the shales, are you going  
10 to study that when you take this core?

11 A. They have done that. We might do some  
12 geochemistry on these shales. Once we have these cores,  
13 we can do many analyses. That's what's important about  
14 these cores.

15 Q. Try to do whole core, wireline retrievable  
16 cores?

17 A. Probably four-inch cores.

18 Q. Hopefully, you'll get good recovery?

19 A. Well --

20 Q. The unit they mentioned has been contracted  
21 several times. So did you look around to see whether the  
22 unit -- whether this type of technique of drilling and  
23 completion with the new science you're going to gather  
24 might expand the productivity of this area? Or the  
25 stratigraphic boundary of this unit, is that determined

1 by stratigraphy or structure or --

2 A. It's determined by the well control,  
3 basically. I can see that some of these -- the outer  
4 wells, the sands tend to be thinner. So we're looking at  
5 the edge of that channel. I mapped these, the next sand  
6 at the top and the basal, and they're just meandering  
7 through here. And you can see, more or less, the edge of  
8 the channel from the log control, from the well control.

9  
10 So if I don't have control outside of there, I  
11 can't tell right now. But from these other fields out  
12 there, we know there's Gallup Sands all over this area.  
13 There's other fields around here that do produce in the  
14 Gallup, so we know it's everywhere around here.

15 Q. That structure map, was that from the surface  
16 or sea level reference or --

17 A. The structure maps -- you tend to separate  
18 your ground level. You subtract the ground level, so  
19 everything is from sea level is how you do your structure  
20 maps.

21 Q. Yeah. But what I mean is, is it above sea  
22 level or below sea level? I didn't see reference on  
23 there.

24 A. These appear, where we are, probably above sea  
25 level.

1 Q. So it's a shallow --

2 A. Yeah. We're way up here, pretty high.

3 Q. So it's pretty shallow?

4 A. Yeah. I mean the top of the sands is 1,500  
5 feet below the surface.

6 Q. 1,500 feet? Okay.

7 A. Below the surface. And the deepest we can see  
8 is 3,000. We're probably interested as far as 3,000  
9 feet. We're interested in the two sands between 15 and  
10 3,000, basically.

11 Q. If you kick off 500 feet up, that will be in  
12 the Mancos?

13 A. You're in the Mancos. The Mancos outcrops  
14 here. The Mancos goes all the way to the surface,  
15 basically.

16 EXAMINER JONES: Thank you very much.

17 EXAMINATION

18 BY EXAMINER BROOKS:

19 Q. Well, we have heard a lot of debate around  
20 here about what the relationship is between the concepts  
21 of Mancos and Gallup. I would gather -- correct me if  
22 I'm wrong. But I would gather the base of the Point  
23 Lookout is a very fairly definite marker that people  
24 pretty much agree on in the San Juan Basin, and the top  
25 of the Dakota is similarly a marker that's fairly

1 identifiable. But there seems to be a lot of confusion  
2 in the geology in between.

3 What does the expression Gallup -- what does  
4 that generically, in the San Juan Basin, refer to?

5 A. I'm not familiar with how the formations are  
6 named. But typically, formation names are given where  
7 the outcrop and the closest town -- there's probably a  
8 place named the Gallup, the town, and that's where it  
9 gets its name from. That's how we name formations.

10 Q. I just wondered. In this area, apparently  
11 you're saying the Gallup is a sandstone --

12 A. A channel sand.

13 Q. -- the Mancos is a shale?

14 A. Um-hum.

15 Q. And it appears both above and below the Gallup  
16 Sandstone?

17 A. Basically the Mancos surrounds --

18 Q. Yeah

19 A. -- the Gallup Sandstone. The Gallup Sandstone  
20 is a fluvial deposit. The Mancos Shale, we call them  
21 prodelta marine shales. So you think of and up and down  
22 movement, constantly tectonics.

23 So at one time, when you're up high -- and  
24 your sandstones are fluvial, they're probably near the  
25 surface -- then it goes down, and you get this marine

1 shale on top of it. And this up-and-down movement gives  
2 you these two sandstones in there.

3 Q. I'm not a geologist, so my ability to  
4 understand what you might be able to tell me is probably  
5 very limited. But what my interest was, because I've  
6 heard it debated both here in this hearing room and among  
7 people at the OCD, is what is -- not so much why the  
8 Gallup was named the Gallup, but what is it about the  
9 Gallup that enables -- that makes it a distinct formation  
10 that you can identify what is Gallup and what is Mancos,  
11 since they seem to be interrelated and --

12 A. If you look at the logs, the electric logs on  
13 here -- I think it's Figure 11 -- you can see the shales  
14 very clearly in here. The shale on the left line, that  
15 is a shale line. Then you hit -- where the gamma ray  
16 goes to the left, those are sandstones. That's your  
17 sandstone channel in there. Below it again is the  
18 Mancos.

19 The geologists that did the work in here at  
20 the beginning, they had these samples from cuttings, and  
21 they were able to look at the -- we call it the  
22 foraminifera in here, and it gives you the age and the  
23 environmental depositions of these formations.

24 But on the logs, the Gallup stone outcrops up  
25 here. So they had -- I mean there's tons of literature.

1 This area is very well known geologically. So we can see  
2 in the subsurface very clearly when you come out of the  
3 shale into the sands just from the logs alone. They're  
4 very clearly distinctive.

5 Q. So you don't think, at least in this  
6 particular area, that there's any difficulty in  
7 distinguishing between the Gallup and Mancos?

8 A. No, no. It's very easy to distinguish the  
9 sandstone from the shale.

10 EXAMINER BROOKS: Thank you.

11 EXAMINER JONES: One more question.

12 FURTHER EXAMINATION

13 BY EXAMINER JONES:

14 Q. You said it outcrops, and I noticed it's on  
15 the northeastern edge. Do you have hydrodynamic pressure  
16 maintenance here, or is there a basin-centered gas-type  
17 deal here, or --

18 A. The Gallup tends to be oil prone in here. The  
19 Mancos, from what I've read lately, tends to produce more  
20 gas, but it's deeper. So as you go deeper, you have more  
21 gas generated.

22 But in this shallow area here, we don't know  
23 because we haven't tested the Mancos in the shallows  
24 here. So I don't know.

25 EXAMINER JONES: Okay. Thank you very

1 much.

2 MR. PADILLA: We'll call Rick Stone at  
3 this time.

4 CHARLES STONE

5 Having been first duly sworn, testified as follows:

6 DIRECT EXAMINATION

7 BY MR. PADILLA:

8 Q. Mr. Stone, please state your name.

9 A. Charles R. Stone.

10 Q. Do you go by Rick?

11 A. I do.

12 Q. Mr. Stone, where are you from?

13 A. I'm from Tyler, Texas.

14 Q. And I know you run a consulting business,  
15 Sigma Engineering. Where is that?

16 A. It's in Houston, Texas. The corporate office  
17 is based there.

18 Q. You haven't testified before the Oil  
19 Conservation Division as a petroleum engineer?

20 A. I have not.

21 Q. Can you tell the Examiner what your  
22 educational background is?

23 A. Education, a Bachelor of Science Degree in  
24 Mechanical Engineering, Texas A&M, 1979.

25 Q. After that, what did do you after 1979 in the

1 oil and gas business?

2 A. I went to work for the former Sun Gas Company,  
3 which was a part of the old Sun Company. And I worked  
4 the first three years there with them as a mechanical  
5 design engineer for offshore production platforms.

6 Q. Then after that, what did you do?

7 A. After that we -- I went into production  
8 engineering, Gulf of Mexico, once again offshore, and  
9 managed 17 offshore production platforms, performing  
10 completions, workovers, repairs downhole.

11 Q. As a production engineer?

12 A. As a production engineer.

13 Q. What did you do after that?

14 A. After that -- that job took about three years,  
15 as well. And then I transferred into the drilling  
16 department, still offshore, Gulf of Mexico, and offshore  
17 California. And I've been a drilling engineer/completion  
18 engineer the rest of my career.

19 Q. I take it at some point you became a  
20 consulting engineer; is that right?

21 A. I can't hear you.

22 Q. I take it at some point you became a  
23 consulting engineer on your own?

24 A. Yes, sir.

25 Q. When did do you that?

1           A.       I spent a total of 12 years with Sun Gas  
2 Company, and then it became Oryx Energy Company. And I  
3 left Oryx in October of 1990 and became a consultant.

4           Q.       What kind of projects have you done as a  
5 consultant?

6           A.       Mostly drilling and completion projects.

7           Q.       Where have those projects been?

8           A.       They've spanned the globe, pretty much.

9           Q.       Give us a sampling of where you've worked.

10          A.       Southeast Asia, Bohai Bay in China, Gulf of  
11 Thailand; Balikpapan in Indonesia; West Africa, three  
12 different areas: Gabon, Equatorial Guinea and Cameroon.  
13 And in the Middle East, Tunisia, and offshore Dubai. And  
14 then in the Russian sector, I worked all four of the  
15 Russian -- three Russian, Syberia, Eastern Central and  
16 Western; as well as Sakland Island, just north of Japan.

17          Q.       How about the United States?

18          A.       United States, I've worked all over. Since --  
19 I would say the focal area has been the five states  
20 around Texas, and I worked the mid-continent area quite a  
21 bit. I worked Loco Hills in Eastern New Mexico. I've  
22 worked up in the Northeast in the Utica Shale and the  
23 Marcellus Shale plays up there. And I worked California,  
24 both offshore and deep water, as well as on shore, in the  
25 shallow tar sands.

1 Q. Have you familiarized yourself with the  
2 geologic features of the Gallup formation in connection  
3 with this application?

4 A. I'm hearing impaired. You've got to  
5 understand that if you want to communicate with me.

6 Q. What have you studied to familiarize yourself  
7 with the geologic features of the San Juan basin, and  
8 particularly the Northeast Hogback Unit?

9 A. I've studied Dr. Goddard's work and the  
10 production history of the area, the subsurface strata.  
11 And we've had many discussions about that between he and  
12 I and the success of the vertical completions in the area  
13 and the way that they vertically completed those wells.

14 Q. Have you been tendered as an expert petroleum  
15 -- or as an expert in petroleum engineering in federal  
16 and state courts?

17 A. Yes, sir.

18 Q. Give us some idea of where you testified.

19 A. The most recent federal case was the Macondo  
20 blowout in the deepwater Gulf of Mexico. I represented  
21 M.R. Schlumberger in that case, and that was in Federal  
22 Court in New Orleans.

23 MR. PADILLA: We tender Mr. Stone as an  
24 expert petroleum engineer.

25 EXAMINER JONES: Mr. Stone, you understand

1 sometimes we have engineers that are one year out of  
2 school coming up here, so you are a different expert in  
3 that regard. We highly qualify you as an expert before  
4 this Division.

5 THE WITNESS: Thank you.

6 Q. (By Mr. Padilla) Let's turn to Exhibit Number  
7 4, Mr. Stone. Let me direct your attention to the bullet  
8 points on page 2 of Exhibit 4 and have you briefly talk  
9 about those bullet points.

10 A. Well, this is -- basically what the pamphlet  
11 tells you, the overview here, current permit details.  
12 We've got two wells permitted for vertical completions.  
13 I would petition you to consider a horizontal change to a  
14 horizontal completion there. That's something these guys  
15 will take care of.

16 Project status, we've got a few general plans  
17 at this time still in process, based on the outcome of  
18 the efforts here. And the project status is a discussion  
19 of the drilling technology that we're going to employ to  
20 get the reserves out of the ground and to the surface.

21 We've got a current allowables chart that we  
22 need to discuss the relationship between that and the  
23 requested allowables for a horizontal well, and then  
24 we've got a few conclusions.

25 Q. Let's turn to page 6 of Exhibit 4 and have you

1 identify what's on that page.

2 A. This is a -- it's a general plan, as you can  
3 see, entitled on the picture there, with a wellbore  
4 schematic. We plan to drill single laterals 3,000 feet  
5 in extent.

6 If you look at the picture, you can see that  
7 we plan to drill a pilot hole down below -- probably 80  
8 or 90 feet below the lower part of the Lower Gallup  
9 Sandstone. And the purpose of that pilot hole is to  
10 acquire two cores, oriented cores, as we've already  
11 discussed, and also to get a full logging sweep across  
12 both sandstones. And also, we'll be looking at the  
13 Mancos, as well.

14 That pilot hole will be plugged back to a  
15 pre-determined depth to allow us to kick off and build  
16 our curve and go horizontal and develop the target  
17 horizontally.

18 Q. Mr. Stone, in our application we asked for  
19 some flexibility to do multilaterals, essentially up to  
20 four laterals, to complete both sands out of one vertical  
21 well.

22 A. Yes, sir.

23 Q. Is that still an objective?

24 A. We have investigated the multilateral  
25 application closely, and it's our opinion that it's not

1 feasible, not economically feasible. It's more efficient  
2 to drill four single laterals than to drill one mother  
3 bore with four laterals out of that single mother bore.

4 Q. That's purely based on economics?

5 A. Yes, sir.

6 Q. Anything further on this page 6?

7 A. The only other point I'd like to make, as you  
8 can see, we're going to drill single laterals. So we  
9 will only address one sandstone, either upper or lower  
10 Gallup Sandstone, at a time.

11 Q. When will you decide, say, on this initial  
12 well, what sand you're going to complete?

13 A. How would we decide?

14 Q. Yes.

15 A. That's a good question. The pilot hole work  
16 that we do with the cores and with the logging sweep will  
17 assist us in figuring that out. But at the end of the  
18 day, we have to know what kind of production we can  
19 expect out of each sandstone. Right now, with the  
20 commingling we've got in the vertical wells, we don't  
21 know the answer to that.

22 Q. Let's go on to the next page, page 7. What do  
23 you show on that page?

24 A. This is a comparison. The big question in the  
25 upper section is, why horizontal drilling? It's a

1 comparison between vertical drilling and traditional  
2 horizontal drilling in the presence of the vertical  
3 fractures which we believe exist in the Gallup  
4 Sandstones.

5           You can see with a traditional vertical well,  
6 if you're fortunate, you might contact one natural  
7 fracture and have a pretty good well. If you're not  
8 fortunate, you could drill between two of those fractures  
9 and basically either have a dry hole or one that's  
10 noncommercial or that's just not that good.

11           Conversely, if you drill a horizontal well,  
12 you have the opportunity, with proper orientation, to  
13 contact many, many natural fracture systems that could  
14 greatly enhance the productivity and the development of  
15 the reservoir.

16           Q.     You don't know where the fracturing is?

17           A.     We do not know where the fracturing is at this  
18 time.

19           Q.     In terms of Dr. Goddard's testimony concerning  
20 oriented cores, how are you going to do that?

21           A.     How would I do the oriented cores?

22           Q.     Yes.

23           A.     It's a process that we -- that the coring  
24 companies do. But basically, we put a core barrel in the  
25 hole. It has a special scribe in it. That as the core

1 is -- basically, the core comes up the inside of the core  
2 barrel and it's cut with a special bit. And that core is  
3 marked with a scribe. So when it comes out, we know it's  
4 oriented to true north.

5 So the core is removed exactly from the  
6 position it was in the rock before we drilled around it.  
7 That's very important, because it tells us the planes of  
8 least principal stress and maximum principal stress. And  
9 from that, we get the orientation of the fractures.

10 The orientation of the fractures in this case  
11 is extremely important to drilling and completion  
12 efficiency.

13 Q. How will that affect your decision as to how  
14 to orient the wells for maximum recovery?

15 A. Dr. Goddard alluded to this. But if the major  
16 fracture plane is in this direction, then we are going to  
17 attempt to drill perpendicular to that so we can get the  
18 highest number of fractures. If we're restrained by  
19 lease line restrictions or something like that or small  
20 spacing requirements, we may be forced to drill something  
21 like this. And you can see we may get one, maybe two  
22 fractures over 3,000 feet versus many fractures if we  
23 went perpendicular. So that's the tie-up with the  
24 spacing requirements.

25 Q. Now, you understand you're still limited on

1 the site boundaries by setback requirements?

2 A. Yes, sir, 330 feet for an oil well. That's  
3 from the nearest boundary for both the terminus of the as  
4 well as well as the surface location.

5 Q. In terms of the interior of the unit, you want  
6 the flexibility to orient the well, however, to do that?

7 A. We need that flexibility. We certainly do.

8 Q. Let's turn to the next page, Page Number 8.  
9 What do you have on that page?

10 A. Why multi-stage fracturing is the big question  
11 in the upper left-hand corner. What I'm trying to  
12 illustrate here is it's not feasible to try to frack  
13 stimulate a 3,000-foot lateral, per se. And we're not  
14 going to put cement on the formation because we don't  
15 want to destroy the natural fractures.

16 What we're going to do is break that 3,000  
17 feet up into intervals, something between 350 to 500 feet  
18 of intervals. And they are isolated by packers,  
19 specialized packers that accomplish this.

20 You can see from the picture in the upper  
21 right-hand corner that I've got -- the black tools there  
22 are the packers in this particular illustration, with  
23 perforated pipe in between. Those are swell packers, and  
24 there's a special rubber compound. They're undersized  
25 when you run them in the hole so you can get around the

1 curve and get them in the hole. And in the presence of  
2 oil, in about seven days of time, they swell up and  
3 actually contact the borehole wall. It's like putting a  
4 plug in the bathtub. You seal off an area.

5 Like I said, that space between two packers is  
6 going to be somewhere between 250 and 500 feet. That  
7 question will be answered when we get our core analysis  
8 done. So that's the idea of multi-stage fracturing.

9 Q. How about the second picture?

10 A. That's the same concept. It's a different  
11 packer mechanism. That shows the hydraulic-set  
12 mechanical packers, that basically we can drop a ball and  
13 it lands into a profile. And then we can use a pump at  
14 the surface to pressure up that packer and expand it. We  
15 can set those packers very quickly. We don't have to  
16 wait seven days for them to give us isolation.

17 The two packer systems have different  
18 differential pressure capabilities, and they have  
19 different lengths. In other words, the length of the  
20 hole that they would actually isolate against. So one of  
21 the concerns is that at this shallow depth and with our  
22 fracture stimulation, if we choose to do that, that we  
23 might frack stimulate -- actually crack the rock around  
24 one of those packers and have communication from one  
25 stage to the next, which would hurt our ability to frack

1 stimulate that section.

2 So we're still studying that issue. And once  
3 we get that figured out, we will designate the packer  
4 system we intend to use.

5 Q. With relation to what you encounter in the  
6 pilot hole, how will this affect what packer system  
7 you're going to use?

8 A. The pilot hole, one of the things we're going  
9 to do with the core is we're going to take a piece of it  
10 and crush it, and that will give us the compressor  
11 strength of that rock of the Gallup Sandstone.

12 From that, we can determine what our expected  
13 frack stimulation pressures will be downhole. In other  
14 words, what it takes pressure-wise to actually crack the  
15 rock and initiate a fracture and then propagate it. That  
16 will give us some good data there.

17 It's going to have an effect on the space, the  
18 interval. Do we do five stages, do we do seven stages in  
19 3,000 feet? It's going to help determine that, as well  
20 as the stimulation pressures and volumes that we need to  
21 actually stimulate the well if we need to.

22 Q. What kind of drilling fluids are you going to  
23 use?

24 A. The drilling fluids, our attitude on that is  
25 in the pilot hole section, we would use some kind of

1 water-based fluid that does not compromise the logging  
2 acquisition, logging affirmation. And the horizontal  
3 lateral will be drilled with a clear fluid with no  
4 foreign solids in it.

5 Our intent is -- well, let me go back a little  
6 bit. One of the fallacies of drilling fractured  
7 reservoirs with drilling mud is that you basically  
8 destroy the natural fractures or plug them up, cause skin  
9 damage in the process of exposing that formation to the  
10 fluid. And horizontally, you're in contact with the  
11 producing formation much longer than you are if you drill  
12 vertically through a 30-foot formation.

13 So our attitude is we're going to use a clear  
14 fluid. There will be no solids in it. It will be  
15 environmentally friendly. You can drink it. And when we  
16 finish drilling the hole, the only solids that the  
17 natural fractures will see are going to be drill solids.  
18 And those -- if we have our hydraulics right, we should  
19 be able to circulate the hole clean while we're drilling  
20 it.

21 Q. How about -- what are you going to do with the  
22 fluids at the surface?

23 A. We're going to use a steel tank system. We're  
24 not going to have an open earthen pit. I don't have to  
25 deal with that. We want the capability of capturing all

1 of our fluid, cleaning it and re-using it on the  
2 subsequent wells.

3 Q. Let's turn to page 9. You have a number of  
4 bullet points there. Let's start at the top with the  
5 logging plans.

6 A. The logging, the quad-combo is going to be a  
7 gamma ray SP neutron density and sonic log. That will be  
8 our quad-combo. We expect to greatly enhance our  
9 understanding of the formation with this logging sweep  
10 versus what we have in hand now, which is vintage, I  
11 think 1960-style logs. So we should have much better  
12 information there.

13 Q. We've talked about coring and, to some extent,  
14 the drilling fluid. But you have some numbers here on  
15 the drilling fluids. What does that mean?

16 A. I have what, sir?

17 Q. On the drilling fluid, you have numbers on  
18 that bullet point.

19 A. 8.4 to 9-pound per gallon density drilling  
20 fluid is what we anticipate, based on virgin pore  
21 pressures. We may encounter some depletion, and it's not  
22 unusual to have loss of circulation in this area. We'll  
23 be ready for that. We intend to account for anything  
24 that we may see in our surface equipment.

25 Q. We've already talked about stimulation. How

1 about tubulars? What are you going to use there?

2 A. We have some corrosive products here in the  
3 production. The tubulars will be mild steel to address  
4 that. But mostly this is not a challenging environment  
5 for tubulars. It's normal to subnormal pressures.

6 And we're going to drill a hole size that's  
7 going to be friendly for negotiating the curve in the  
8 lateral with our completion string. And also, I don't  
9 see the tubulars being a huge challenge here. They are  
10 readily available. It's not something we have to have a  
11 special mill run to provide the tubulars to this well.

12 Q. The last bullet point there is completion.  
13 I'm curious about the open-hole completion. You just  
14 testified that you're going to run some pipe on the  
15 previous page, one of the previous pages. What do you  
16 mean by open-hole completions?

17 A. Open hole just means we're not going to use  
18 cement to isolate the completion casing in the hole.  
19 We're going to use isolation packers, as I illustrated  
20 earlier, to give us isolation for intervals.

21 But one of the interesting things to note is  
22 the vertical completions done early on in this field were  
23 all cemented, so they drilled the formation. If they  
24 contacted a natural fracture, they cemented it up. They  
25 cemented the pipe, and then they had to perforate the

1 pipe and perform frack stimulation. So they had to  
2 re-create what was already there naturally to enhance the  
3 productivity of the vertical wells.

4 And in this case, we're not going to do  
5 anything to upset our plug off or impede the natural  
6 fractures that we encounter. We want to keep those  
7 intact and in communication with the open wellbore.

8 Q. Mr. Stone, let's talk about allowables now.  
9 Let's turn to page 12 and have you identify what's on  
10 page 12.

11 A. Yes, sir. Well, these are vertical  
12 allowables, and they're current. They're based on the  
13 pool depth range and the acreage spacing that has been  
14 assigned to the field. We are within the 4,999 feet of  
15 the surface, and we are currently at a 40-acre spacing,  
16 which the chart shows us that we have an allowable of 80  
17 barrels per day.

18 We can take that -- one of the -- I've done  
19 this type of a hearing with the Texas Railroad Commission  
20 where we were trying to determine horizontal allowables.  
21 And we discovered -- the Commission, as well as myself,  
22 discovered that comparing vertical allowables, trying to  
23 develop a linear relationship between vertical allowables  
24 and horizontal allowables, is really not reasonable and  
25 not good.

1           In fact, if you think about it, if we take --  
2   if we're drilling a 3,000-foot lateral, it contacts --  
3   that hole, that lateral hole, will contact four 40-acre  
4   units, basically. So the tendency is to go back to this  
5   vertical allowable, take the 80 barrels and multiply it  
6   times four to come up with an allowable for the  
7   horizontal well. And we explored that with the Texas  
8   Railroad Commission.

9           But that really doesn't address the issue, and  
10   it makes a false assumption. In this case, a linear  
11   relationship like that would make the false assumption  
12   that there are no existing natural fractures in the  
13   Gallup Sandstones. We don't believe that to be the case.

14           So the point I need to make is that if we're  
15   drilling our 3,000-foot lateral, every time we contact or  
16   engage a natural fracture, it has some lateral extent  
17   unknown to us at this time. It has some lateral extent,  
18   and that lateral extent the capability of contacting  
19   40-acre spacings, as well, in addition to the main  
20   40-acre spacing we would contact in the mother bore in  
21   the lateral.

22           So the question to me that I can't answer is,  
23   what should the allowable be? And I would answer that  
24   with a question. How many natural fractures do we want  
25   to assume? How far do they extend? And then I can give

1 you an answer. Unfortunately, we don't have the  
2 information to do that, so I have an opinion on what we  
3 need to do.

4 Q. What is that opinion as to what the allowables  
5 should be?

6 A. My opinion, without having further  
7 information, and with the understanding that we are going  
8 to drill a couple of wells and possibly come back to this  
9 chamber with a further request, is that we need 1,000  
10 barrels per day allowable for this 3,000-foot lateral,  
11 with the understanding that we're going to drill a few  
12 wells, capture some data and see what the issue is and  
13 see whether we need to come back and ask for more than  
14 that.

15 Q. Dr. Goddard has testified that this is a  
16 solution drive reservoir, essentially. How do you assure  
17 yourself that you're not going to prematurely use up  
18 reservoir energy?

19 A. Well, the nature of horizontal completions is  
20 completely different than vertical completions. Vertical  
21 completions, you've got a 30-foot section of exposed  
22 Gallup vertically, and you basically have to create a  
23 draw-down pressure to get the oil to flow from the  
24 formation into the wellbore and up to the tubing,  
25 depending on whether you're pumping it or it's flowing.

1 But there's a differential pressure.

2 That differential pressure is quite high  
3 relative to the barrels of oil produced. What that means  
4 is that the depletion or the expending of reservoir  
5 energy is going to happen a lot quicker per barrel  
6 produced in a vertical completion.

7 In a horizontal completion, we've got 3,000  
8 feet of known exposure, and then we've got who knows what  
9 unknown exposure with natural fractures to the side. The  
10 amount of draw-down per barrel produced is much, much  
11 smaller. It's on -- in my career, I've seen it be as  
12 much as 100 times smaller.

13 For instance, in a vertical wellbore, you may  
14 have 2 to 300 psi, in this case, in a shallow well,  
15 draw-down pressure, to get the well to flow.

16 In a horizontal, that could be as low as 5 to  
17 10 psi. What that means in a horizontal well is that  
18 you're going to produce more oil for a lower expending of  
19 reservoir energy.

20 Q. What guarantee is there that you're not  
21 drawing too much gas? For example, that the gas is going  
22 to bypass the oil?

23 A. In a gas solution drive reservoir, what you  
24 don't want is you don't want to produce the well so hard  
25 that the gas begins to break out a solution in the

1 reservoir.

2           And that goes back to the draw-down pressure I  
3 was talking about before. As you draw down the pressure  
4 at the wellbore, that pressure, decreasing pressure wave,  
5 propagates out from the wellbore like this. And if you  
6 get the draw-down pressure down to the point that you're  
7 breaking out the gas in the reservoir, then the gas has a  
8 higher mobility rate in the rock than the oil does, and  
9 it could come out preferential to the oil.

10           What we want to do is attempt to keep it in  
11 solution, if we can. We may not be able to. But keep in  
12 solution until it gets into wellbore itself, then use the  
13 energy to help bring the oil to the surface.

14           There's a fairly easy production way to determine  
15 when you've passed the point of efficient reservoir  
16 lifting, and that's with the gas/oil ratio at the  
17 surface.

18           And a good example of that -- I have an  
19 example. If your gas/oil ratio is 200 to 1, that ratio  
20 is fairly constant up to, say, 700 barrels. And then  
21 it's slightly over 700 barrels per day, the gas/oil ratio  
22 jumps to 500 to 1. So you have a huge break in the trend  
23 of the gas/oil ratio, and then you know you've gone  
24 beyond the point of production on that well. You're not  
25 using your reservoir energy efficiently.

1                   So the prudent engineer is going to back off  
2 on that production, keep it back below that. As you  
3 deplete the well, that gas/oil ratio is going to  
4 naturally to come up anyway.

5                   So what I'm describing to is that you're going  
6 to have to continue to monitor that gas/oil ratio and  
7 back it down over the lifetime of the well to get the  
8 maximum amount of oil for the least amount of reservoir  
9 energy expended.

10           Q.       So that's a continuing process?

11           A.       It's a daily continuing process.

12           Q.       Let's turn to page 13 and have you identify  
13 what's on that page.

14           A.       Yes, sir.

15           Q.       I think we've already talked about a lot of  
16 issues that are highlighted here. But is there anything  
17 else that we need to talk about that we haven't talked  
18 about that's on page 13?

19           A.       The increased drainage area, I think, is an  
20 obvious thing we may not have addressed fully. We can't  
21 quantify that drainage area. We just know it's going to  
22 be considerably larger. The natural fractures are the  
23 unknown.

24                   I will tell you that if the outcome of this  
25 hearing and our study renders it feasible, we're going to

1 do some microseismic work as we're frack stimulating the  
2 well to actually get a subsurface picture of the  
3 fracturing, initiation of fracture and the extent of the  
4 fracturing.

5           So we will, if that's justified -- and  
6 basically, you put sondes in three different existing  
7 vertical wells. And then while you execute the fracture  
8 stimulation, you can get an actual picture of the  
9 direction the fractures are extending and everything.  
10 It's really neat stuff, high-level science. It's got to  
11 be justified to do that. It's not cheap.

12           But that process would give us a much better  
13 idea of what we're dealing with in overall drainage area.  
14 As of right now, we just don't know.

15           The virgin fractures, connecting virgin  
16 fractures, it's been my experience in old, mature fields  
17 like this that have been producing for many years that  
18 when we begin to drill horizontally, we interconnect  
19 depleted fractures and virgin fractures. And the end  
20 result is that we're going to re-charge the depleted  
21 fractures to the extent that the reservoir energy exists.

22           So I expect to see an increase in productivity  
23 in the surrounding vertical wells as we're drilling. So  
24 it's a neat phenomenon to watch it. It gives you some  
25 idea of the extent of the natural fractures and/or the

1 man-made fractures that occurred back in the '60s.

2           So I have experience with interconnecting a  
3 natural fracture 1,200 feet away. We were drilling a  
4 well, and we flooded out a producing well 1,200 feet  
5 away. So some of these fracture systems can be prolific  
6 and can go for quite a ways. That's the unknown in this  
7 particular case.

8           I've got optional fracture stimulation here.  
9 I will tell you that I put that in there because the --  
10 fracturing a vertical well in the Gallup Sandstone is not  
11 an option. It pretty much has to be figured into the  
12 overall cost. It's just not an option.

13           In a horizontal well, it might be an option.  
14 we don't know that yet. But if we contact -- we don't  
15 know if the fractures are single, large fractures or if  
16 they are swarms of fractures. We've seen both in  
17 analogous formations.

18           What I mean by, "swarms of fractures," it  
19 could be a section of the rock that's maybe 100, 150 feet  
20 in length. It has hundreds of small fractures in that  
21 vicinity. And then you go into rock that's not fractured  
22 and then back into another set of swarm fractures.

23           So the fracture type and the fracture  
24 density -- and we will be able to determine some of that  
25 during the drilling phase by monitoring rate of

1 penetration and by looking at things like return gas in  
2 the drilling fluid and even loss of circulation, if we  
3 happen to have that.

4 Q. Let's jump to page 15, to the conclusions  
5 portion of Exhibit 4. I think we've already talked about  
6 them. But in general, what are the general conclusions  
7 that you draw from your testimony today?

8 A. I guess the only thing I need to add there, I  
9 think, is that science that we intend to do on the first  
10 well only -- we should only have to do this on the first  
11 well. But it will allow us to efficiently drain the  
12 reservoir, efficiently orient the direction of the  
13 laterals, if we have spacing allowables to do, and it  
14 will allow us to have the maximum ultimate recovery of  
15 the barrels of oil.

16 Oil left behind is not of use to anyone. So  
17 it's our intent and our goal to efficiently get this out  
18 of the ground and create the jobs and the taxes and  
19 everything else that goes with -- and the profits that go  
20 with oil production.

21 Q. Mr. Stone, will approval of this application,  
22 in your opinion, be in the best interest of oil and gas  
23 conservation and the prevention of waste?

24 A. Yes, sir, it would be. I believe the way that  
25 we intend to execute the project is in the best interest

1 of all parties, all shareholders, the regulatory  
2 commission, as well as the public and the owners of the  
3 reserves.

4 MR. PADILLA: Mr. Examiner, we offer  
5 Exhibit Number 4, and we pass the witness.

6 EXAMINER JONES: Exhibit Number 4 is  
7 admitted.

8 (Exhibit 4 was admitted.)

9 EXAMINER JONES: Well, I guess the most  
10 important thing is that we're clear on what relief you're  
11 asking for in this case. You mentioned allowables for  
12 the horizontal wells. But you're not asking for  
13 allowable change for the vertical wells; is that correct?

14 MR. PADILLA: As I understand the rule, a  
15 horizontal well in the project area does not affect  
16 the -- and in the unit does not affect the overall  
17 allowable in the unit.

18 EXAMINER JONES: What else are you asking  
19 for? You're asking for non-standard locations within the  
20 unit?

21 MR. PADILLA: Obviously non-standard  
22 locations, because all of the orientation depends on the  
23 coring.

24 EXAMINER JONES: But to the extent of the  
25 boundaries of the unit, that would still be 330?

1 MR. PADILLA: Yes, sir.

2 EXAMINER JONES: I would love to ask a  
3 bunch more questions, but -- well, maybe quickly, because  
4 we've got such an expert cast here, Mr. Goddard and  
5 Mr. Stone.

6 EXAMINATION

7 BY EXAMINER JONES:

8 Q. Are you considering any open-hole stress tests  
9 like with packers, open-hole packers?

10 A. Yes, sir.

11 Q. Going in with drilling your vertical hole and  
12 coring it and going in with open-hole packers and running  
13 some stress tests in the shales versus the sands or  
14 something like that?

15 A. Our intent is just to develop the sandstone in  
16 in this case with our stage frack. Are you asking if we  
17 intend to involve the Mancos also in fracture  
18 stimulation?

19 Q. Yes. Because if you're going to frack it --  
20 you said, "optional fracking." But if you frack it,  
21 you're going to initiate the frack in the sands, and then  
22 you may or may not try to propagate them into the shales  
23 to rebelize the shales. So the stress difference in the  
24 rocks would need to be in your simulator or whatever.

25 A. That's a very good comment. The fact is that

1 Dr. Goddard explained these sands as meandering channel  
2 sands. Obviously, if we're drilling a straight  
3 horizontal well, which you don't have a lot of latitude  
4 to deviate the direction of the bit, once you get  
5 pointed, you kind of need to hang in there for torque and  
6 drag reasons.

7 If we encounter a section, say, a 150-foot  
8 section of Mancos Shale in that sandstone, as it's moving  
9 and we're not, then with the straddle packer system we  
10 have, we would have the option to isolate that section  
11 and not frack stimulate it. So that's one of the options  
12 of that system.

13 Q. Okay. But the actual stress is in your rock  
14 with your -- if you do plan a frack, you will plan it  
15 based on differences in the stresses, I take it, and the  
16 reservoir energy that you think is still there?

17 A. Yes, sir. I have a personal curiosity to  
18 see -- if we encounter loss of natural fractures, I have  
19 a personal curiosity to see how the well will produce  
20 unstimulated.

21 And if I can convince the rest of the team to  
22 go with that, we may. But with the understanding that we  
23 still have the option to go in and frack stimulate if we  
24 place the casing in the lateral and isolate the stages  
25 with the packers. So we would have an option at any time

1 during the lifetime of that well to go back in and  
2 initiate fracture stimulation.

3 I have a curiosity -- I would think you guys  
4 would be curious, as well -- to know if the well could be  
5 commercial producing from natural fractures. If that's  
6 the case, by the way, it sets up horizontal drilling all  
7 over this area.

8 Q. It would save Mr. Padilla a lot of money. You  
9 know, you might get more out, so -- you've got a  
10 challenging environment for drilling or fracturing here  
11 because of the existing depletion that's already happened  
12 and the different fractures, like you say?

13 A. Sure.

14 EXAMINER JONES: And you have to also work  
15 with the crews and the -- that could implement -- you've  
16 got a great plan. But you've got to work with the people  
17 that you've got in the San Juan Basin, obviously, which  
18 you've been doing it, I guess.

19 And the BLM, do they have any comments that we  
20 should know about when you met with the BLM?

21 MR. PADILLA: They simply want project  
22 area orders so that they can help us move forward.

23 EXAMINER JONES: It's a good comment.

24 Q. (By Examiner Jones) The Railroad Commission  
25 case you were talking about, is that a specific case, or

1 is that just discussions with them?

2 A. Which case?

3 Q. You talked about the philosophy of having  
4 allowables as far as potential damage to a solution gas  
5 drive reservoir in a vertical well versus a horizontal  
6 well.

7 A. The Texas Railroad Commission adopted a -- we  
8 wound up after -- we got an allowable increase that  
9 wasn't a linear -- it's more of an exponential  
10 relationship, if you can think about that a bit.

11 So we got an early-on allowable increase that  
12 was off the linear curve. And it was enough to give us  
13 economic feasibility to do the science we needed to do to  
14 drill a few wells and get the information and go back to  
15 the Railroad Commission in Texas. So we did that.

16 And when -- I think it was probably five or  
17 six wells had been drilled. We gathered the data. We  
18 went back and examined it with them, spent a day with  
19 them going over possible formulas, and we came up with a  
20 formula for horizontal well extension. And this was in  
21 carbonate formations, in Austin Chalk and Abuda and the  
22 Georgetown Formation in Texas.

23 So those are naturally fractured -- vertical  
24 fractured formations. They have a much tighter matrix  
25 permeability, and they're almost impermeable, compared to

1 the Gallup Sandstone. The Gallup Sandstone has some hope  
2 from a matrix sandstone, and it's also got the natural  
3 fracturing, which is a very good thing for the Gallup  
4 Sandstone. So that's something that we did not have to  
5 deal with, was the matrix permeability and the Railroad  
6 Commission allowables.

7 But that process pretty much extended all over  
8 Texas. It's been applied to the James limestone and  
9 several other -- the Edward limestone. It's all over,  
10 pretty much accepted in Texas at this time. And that  
11 work -- that hearing occurred back in 1988 or '89.

12 Q. During or before the Austin Chalk development?

13 A. That was the Austin Chalk development, yes.  
14 Are you familiar with it?

15 Q. Yes. I was working on the Vaca a little bit,  
16 and they were doing the Austin Chalk at the same time.  
17 But that was a fracture play.

18 A. The Pearsal Field was the first big one, and  
19 then it moved north.

20 Q. Speaking of that, if you kick off 500 feet up  
21 or so for a medium radius, you're going to have a big  
22 head on your formation for later stages of depletion.  
23 Have you guys talked to about how you would handle this?

24 A. That's the best question I've heard yet. I  
25 applaud you for that one. Yes, sir. Medium radius.

1 We're going to have to kick off somewhere between 900 and  
2 1,100 feet to get our curve.

3 So obviously, if we put a pump at the kickoff  
4 point, we're going to be -- the formation is going to be  
5 bucking a pretty good hydrostatic head to get up the  
6 pump, to flood the pump to get to the surface.

7 So we have a solution for that. That solution  
8 is not going to be utilized in the first well. It's more  
9 of a leading-edge thing than what we've currently seen.  
10 The only option that I see, as a production engineer, is  
11 something other than a rod pump.

12 Q. A co-pump?

13 A. Yes, sir. You're looking at a submersible  
14 pump to assist or some kind of a different type of pump,  
15 you know, plunger or something like that. But we have to  
16 figure out something to get down into the curve and  
17 closer to the formation to lift the hydrostatic head off  
18 the formation to allow it to continue to flow. That's a  
19 long-term production engineering problem.

20 Q. Are you planning on going into a lot of these  
21 old wells and kicking them off horizontally, or drilling  
22 new wells vertically?

23 A. We are not considering that. But that is an  
24 option that's on the table, pending the data that we  
25 gather in this pilot project.

1 EXAMINER JONES: I'll turn it over to  
2 David.

3 EXAMINER BROOKS: If I understand  
4 correctly what you said, Mr. Padilla, you're not asking  
5 for anything with regard to allowables in this  
6 application; is that correct? You're not asking for any  
7 change in applicable allowables in this application?

8 MR. PADILLA: The application does not  
9 have that, Mr. Brooks. But we are asking for a special  
10 allowable here at hearing in terms of -- as recommend by  
11 Mr. Stone.

12 EXAMINER BROOKS: I'm a little bit  
13 confused. You're asking for something that was not in  
14 the application?

15 MR. PADILLA: If you read the rule on the  
16 special -- on the special recently enacted regulation,  
17 it's really silent on allowables. And it doesn't say --  
18 and allowables are essentially inapplicable with regard  
19 to -- the state-wide allowable is inapplicable to special  
20 projects. So in a hearing for a special project or a  
21 project application, I think allowable is appropriate.

22 EXAMINER BROOKS: I should know these  
23 rules better than I do.

24 EXAMINER JONES: But you didn't address  
25 allowables in the horizontal well rule.

1 EXAMINER BROOKS: Well, we did address  
2 allowables in the horizontal well rule, but not really in  
3 the context of the beginning. We did not address them in  
4 the context of the unit, and I'm not sure how the  
5 allowable rules apply in units.

6 Can you educate me, Mr. Padilla, or do I need  
7 to educate myself?

8 MR. PADILLA: I could easily recommend a  
9 total unit allowable based on 40-acre spacing and  
10 multiply all the proration units in 40 acres, and then  
11 we'd be way above 1,000 barrels a day.

12 EXAMINER BROOKS: Is that what our present  
13 rules contemplate?

14 MR. PADILLA: I don't think it does. But  
15 I think the OCD, for some reason, has been -- I think, in  
16 speaking to you about how we determine allowables in  
17 preparation for the application, I view the project area  
18 as inherently a different animal, to where allowables  
19 would be one of the subjects of asking for a special --  
20 or a project area.

21 EXAMINER BROOKS: A project area that is  
22 comprised of multiple spacing units is defined as a  
23 project area because it is designed in multiple spacing  
24 units. That one I understand. Because there, the  
25 allowable determination is made in exactly the way your

1 witness was describing. You take the practical allowable  
2 and multiply it by the number of units.

3 I believe that rule is written generally  
4 enough that it probably applies to the project area. In  
5 other words, if you define the -- if you your project  
6 area is defined as the participating area, which it can  
7 be, then it would seem that the allowable would be the  
8 depth bracket allowable times the total number of units  
9 in the project area -- in the participating area. And  
10 then the operator would be allowed to allocate that  
11 allowable among the various wells that he drills, and  
12 you're indicating that that would be an adequate  
13 allowable?

14 MR. PADILLA: It definitely would be. If  
15 you divide 2,400 by 40, you wind up with 60 times 80.  
16 And that would be close to 5,000 barrels a day for the  
17 entire unit, so that would probably suffice.

18 EXAMINER BROOKS: I would think that would  
19 be wasting other people's time, wading through these  
20 rules while you're sitting here, waiting for me to do so.

21 EXAMINER JONES: We have had testimony  
22 that there's a difference between the draw-down of a  
23 vertical well versus a horizontal well and the effects of  
24 that magnitude of draw-down on a solution gas drive  
25 reservoir, and we've had testimony on a solution gas

1 drive reservoir.

2 But I guess what we haven't had is a specific  
3 number asked for. If we have to have a specific number,  
4 we could --

5 MR. PADILLA: I think Mr. Stone  
6 recommended 1,000 barrels a day for the initial well.

7 EXAMINER BROOKS: Well, if this -- you  
8 know, if a change in allowable is necessary, I'm not  
9 sure we're even in a posture where we can do that. If it  
10 wasn't asked for in the application, then consequently,  
11 it wouldn't have been stated in the advertisement. But I  
12 haven't picked my way through these rules.

13 And I think if I intend to do so, with you all  
14 sitting here waiting for me to do so, would be wasting  
15 everybody's time. I think we have to address this at the  
16 at the end. And if we need more information, we can  
17 contact you and continue it and ask you to supply it.

18 EXAMINER JONES: Is there an opportunity  
19 to continue the case for 30 days, or do we have to  
20 re-advertise?

21 EXAMINER BROOKS: We can continue and  
22 re-advertise. But at this point, I'm not sure whether  
23 it's necessary or not. I would hate to go through that  
24 procedure. I think it probably is not, and I would hate  
25 to go through that procedure if it's not necessary. We

1 would have to make a determination.

2           The reason I think it's not necessary is  
3 because I think that the rules are consistent with  
4 computing the allowable in the way you were suggesting.  
5 That is, you multiply the depth bracket allowable times  
6 the number of spacing units -- the standard spacing units  
7 in the participating area.

8           And you said that would be an entirely  
9 adequate allowable?

10           MR. PADILLA: On a unit and participating  
11 allowable, I think my quick arithmetic is 4,800 barrels a  
12 day.

13           EXAMINER BROOKS: You could allocate that  
14 between how many wells you wanted drill. And I think  
15 that's probably consistent with the way the rules are  
16 written, so I'm not sure you need any relief on  
17 allowables. So I would hate to say go back and  
18 re-advertise this case and ask for something, when you  
19 don't even really need it.

20           MR. PADILLA: I think we can live with  
21 that. And if the reservoir dynamics change, then I think  
22 we'd have to come back at a different time to set a  
23 special allowable for --

24           EXAMINER BROOKS: Your witness, who  
25 obviously is very knowledgeable, described the reasons

1 why you needed to have additional data from production to  
2 make that determination, and they were intuitively  
3 convincing.

4 Thank you. That's all I have.

5 MR. PADILLA: As a final, I have an  
6 affidavit that I've prepared on notices. And up to the  
7 yellow page that's in here are all offsets, and after  
8 that, it's interest owners in the unit. We have not  
9 received green cards for those five, but we anticipate  
10 that we're going to get them. We just haven't received  
11 them in the mail.

12 EXAMINER JONES: This is Exhibit Number 5?

13 MR. PADILLA: I'm sorry. I didn't have a  
14 label for that.

15 EXAMINER JONES: Exhibit Number 5 will be  
16 admitted.

17 (Exhibit 5 is admitted.)

18 MR. PADILLA: There are a whole bunch of  
19 owners. And I've got to tell you that it's not going to  
20 change anyone's interest, as you would in a spacing  
21 change, because everybody participates on a proportional  
22 basis in the participating area, so --

23 EXAMINER BROOKS: Is this case, where your  
24 client has the entire working interest, or are there  
25 multiple working interests in this unit?

1 MR. PADILLA: Chuza owns 100 percent of  
2 the working interest and 100 percent of the operating  
3 rights.

4 EXAMINER BROOKS: Okay. So all of these  
5 people are overriding royalty interest owners?

6 MR. PADILLA: Overriding royalties. And  
7 of course, the U.S. interest is a 12.5 percent royalty  
8 interest.

9 EXAMINER BROOKS: Thank you.

10 EXAMINER JONES: Is that all?

11 MR. PADILLA: That's all I have.

12 EXAMINER JONES: Okay. Case 14853 will be  
13 taken under advisement. Let's take a 10-minute break.

14 \* \* \*

15

16

17

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. \_\_\_\_\_,  
heard by me on \_\_\_\_\_.

18

19

\_\_\_\_\_, Examiner  
Oil Conservation Division

20

21

22

23

24

25


REPORTER'S CERTIFICATE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO  
HEREBY CERTIFY that on June 7, 2012, proceedings in the  
above captioned case were taken before me and that I did  
report in stenographic shorthand the proceedings set  
forth herein, and the foregoing pages are a true and  
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by  
nor related to nor contracted with any of the parties or  
attorneys in this case and that I have no interest  
whatsoever in the final disposition of this case in any  
court.

WITNESS MY HAND this 19th day of June, 2012.

  
Jacqueline R. Lujan, CCR #91  
Expires: 12/31/2012