

1 STATE OF NEW MEXICO
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
2 OIL CONSERVATION DIVISION

ORIGINAL

3 IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
4 THE PURPOSE OF CONSIDERING:

5 APPLICATION OF CONOCOPHILLIPS Case No. 14862
COMPANY OIL CO., and BURLINGTON
6 RESOURCES OIL & GAS COMPANY
(COLLECTIVELY "COPC") FOR
7 PRE-APPROVAL OF DOWNHOLE
COMMINGLING OF PRODUCTION ON
8 A POOL-WIDE BASIS FOR THE
BASIN-MANCOS GAS POOL, SAN JUAN,
9 RIO ARRIBA AND SANDOVAL COUNTIES,
NEW MEXICO

10 TRANSCRIPT OF PROCEEDINGS

11 EXAMINER HEARING

12 BEFORE: RICHARD EZEANYIM, Technical Examiner
DAVID K. BROOKS, Legal Examiner

13 June 25, 2012

14 Santa Fe, New Mexico

15
16 This matter came on for hearing before the New
17 Mexico Oil Conservation Division, RICHARD EZEANYIM,
18 Technical Examiner, and DAVID K. BROOKS, Legal
19 Examiner, on Monday, June 25, 2012, at the New
20 Mexico Energy, Minerals, and Natural Resources
21 Department, 1220 South St. Francis Drive, Room 102,
22 Santa Fe, New Mexico.

23 REPORTED BY: PAUL BACA, CCR #112
PAUL BACA COURT REPORTERS
24 500 4th Street, NW, Suite 105
Albuquerque, New Mexico 87102
25

2012 JUL - 3 P 2:06
RECEIVED OOD

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

For Applicant:

W. Thomas Kellahin
tkellahin@comcat.net
Kellahin and Kellahin
706 Gonzales Road
Santa Fe, New Mexico 87501
505-982-4285

Also Present:

David R. Catanach

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESS:	PAGE:	
CHARLES CREEKMORE		
Examination by Mr. Kellahin	6	
ZACK SWANEY		
Examination by Mr. Kellahin	32	
DRYONIS PERTUSO		
Examination by Mr. Kellahin	71	
CERTIFICATE OF COURT REPORTER	118	
EXHIBIT:	DESCRIPTION	
1-14	Mr. Creekmore's Exhibits	23
15-1-9	Mr. Swaney's Exhibits	58
15-10-24	Mr. Pertuso's Exhibits	102

1 CHAIRMAN BROOKS: At this time we'll call
2 Case Number 14862 Application of ConocoPhillips
3 Company and Burlington Resources Oil & Gas Company
4 for pre-approval of downhole commingling of
5 production on a pool-wide basis for the Basin-Mancos
6 gas pool.

7 Call for appearances.

8 MR. KELLAHIN: Mr. Chairman, I'm Tom
9 Kellahin of the Santa Fe law firm of Kellahin and
10 Kellahin, appearing this morning on behalf of the
11 applicant. And I have three witnesses to be sworn.

12 CHAIRMAN BROOKS: Would the witnesses
13 please stand and swear.

14 (Witnesses sworn.)

15 CHAIRMAN BROOKS: Please state your names
16 for the record.

17 THE WITNESS: Charles Creekmore.

18 THE WITNESS: Dryonis Pertuso.

19 THE WITNESS: Zack Swaney.

20 CHAIRMAN BROOKS: You may proceed,
21 Mr. Kellahin.

22 MR. KELLAHIN: Thank you, Mr. Examiner.

23 ConocoPhillips and Burlington Resources
24 are here before you this morning to ask you to
25 revisit a topic that was initiated when the division

1 adopted the Basin-Mancos gas pool.

2 That order was issued in the fall of '08.
3 And in doing so, the division adopted rules for this
4 pool but chose not to authorize this pool as a
5 pre-approved downhole commingling pool.

6 We're here before you today to ask your
7 approval to create a pre-approval for the
8 Basin-Mancos gas pool. That pre-approval will
9 involve four issues with regards to data that's
10 normally filed with the division form C-1078.

11 The exceptions we're asking for are the
12 pressure qualifications, the fluid compatibilities,
13 the economic criterias, and the value of that
14 production.

15 In doing so, it will help us streamline
16 this pool and the wells involved in this pool. The
17 end objective is that the Mancos collectively, as an
18 entire group of subsections, then can be commingled
19 with Mesaverde and Dakota production. And in doing
20 so, we can increase production that would otherwise
21 not be found.

22 In doing so, we have three witnesses: A
23 land witness, to give you the background of how this
24 is set up and used by the operators; we have a
25 geologic witness to describe the geologic values

1 involved in the commingling; and an engineer, to
2 describe the technical aspects of each of those four
3 components.

4 With your permission, we'd call at this
5 time Mr. Chuck Creekmore.

6 CHAIRMAN BROOKS: Mr. Creekmore.

7 You may proceed.

8 MR. KELLAHIN: Thank you, Mr. Examiner.

9 The prehearing statement that was filed in
10 this case details with specificity all of the
11 specifics with regards to the testimony this
12 morning. So if you need a summary, you can find
13 that in the prehearing statement.

14 CHARLES CREEKMORE,
15 after having been first duly sworn under oath,
16 was questioned and testified as follows:

17 EXAMINATION

18 BY MR. KELLAHIN:

19 Q. For the record, sir, would you please
20 state your name?

21 A. Charles Creekmore.

22 Q. And where do you reside, sir?

23 A. In Farmington, New Mexico.

24 Q. What is your occupation?

25 A. I'm a landman.

1 Q. And by whom are you employed?

2 A. By ConocoPhillips and Burlington Resources
3 Oil & Gas Company.

4 Q. On prior occasions, Mr. Creekmore, have
5 you testified as an experienced expert petroleum
6 landman?

7 A. Yes.

8 Q. As part of your responsibilities to your
9 company, do you do land work for both ConocoPhillips
10 and Burlington Resources?

11 A. Yes, I do.

12 Q. Collectively, we'll -- I'll simply refer
13 to them as ConocoPhillips, if that's all right.

14 A. Yes.

15 Q. As part of your land duties do you also
16 have responsibilities for knowing the rules and
17 regulations of the division?

18 A. Yes.

19 Q. In regard to this particular case, have
20 you made yourself knowledgeable about the
21 Basin-Mancos gas pool rules?

22 A. Yes, I have.

23 Q. As part of that effort have you
24 assimilated and compiled data with reference to that
25 pool?

1 A. Yes, I have.

2 MR. KELLAHIN: We tender Mr. Creekmore as
3 an expert petroleum landman.

4 CHAIRMAN BROOKS: So accepted.

5 Q. (By Mr. Kellahin) Mr. Creekmore, let's
6 turn to the exhibit book and explain to the Examiner
7 how you've organized the book, first of all.

8 When we look at the first 14 tabs, those
9 are all documents that relate to land matters and to
10 regulatory filings and orders of the division?

11 A. Yes. I have tried to capture the history
12 of the Basin-Mancos from the original rule to where
13 we are today.

14 Q. And when we get behind Tab 15, then, we
15 are into the geologic and engineering presentation?

16 A. Yes.

17 Q. To start off then, Mr. Creekmore, would
18 you turn to the exhibit book, what we will call
19 Exhibit Tab Number 1.

20 A. (Witness complies.)

21 Q. And behind that tab what do we find, sir?

22 A. This tab is the notice of the hearing
23 today. And attached to that is our application for
24 the case today.

25 Q. As part of this filing, Mr. Creekmore, did

1 you assume the responsibilities for sending
2 notification of this application to interested
3 parties?

4 A. Yes, we --

5 Q. How did you determine who those parties
6 were?

7 A. We secured all the operators that are
8 currently operating in the Basin-Mancos in the
9 San Juan Basin. We secured those names and
10 addresses. And -- from the NMOCD files themselves,
11 and then we sent notice to each and every one of
12 them.

13 Q. Was that notice in the form of this notice
14 letter dated May 17?

15 A. Yes.

16 Q. And it also included a copy of the
17 application?

18 A. Yes.

19 Q. So when we turn to Tab 2 of the exhibit
20 book, what is compiled behind that tab?

21 A. This is what we received from the post
22 office verifying that the operators in the
23 Basin-Mancos in the San Juan Basin were all -- all
24 received notice.

25 Q. Would you turn to what is marked as Tab

1 Number 3?

2 A. Yes.

3 Q. Let's take a moment -- and first of all,
4 you have a small copy of this large map?

5 A. Yes. This map indicates the Basin-Mancos
6 and also the existing pools that are in the Gallup,
7 Dakota, Mancos, and deeper pools in the San Juan
8 Basin. And it was compiled by Hopkins Map Service
9 on our behalf.

10 Q. What is the approximate dataset -- the
11 data, this dataset, that was used in compiling the
12 map?

13 A. Mr. Hopkins used OCD orders to compile the
14 current outlines for each of the various pools.

15 MR. KELLAHIN: Mr. Examiner, it's very
16 difficult to read the small map, if you desire to do
17 so. It's not essential for our presentation, but
18 for your further reference, there's a foldout copy
19 of a large map.

20 THE WITNESS: This is the same map just in
21 a larger form, sir.

22 CHAIRMAN BROOKS: Okay.

23 Q. (By Mr. Kellahin) So that the Examiner
24 knows what he will examine, and without going into
25 great detail, summarize for me what you have

1 displayed on this map.

2 A. This map is, like I described the smaller
3 map, it's the same map except a larger size. And it
4 shows all of the -- actually, the Basin-Mancos,
5 Mancos Gallup pools and Dakota pools in the San Juan
6 Basin.

7 CHAIRMAN BROOKS: I want to thank you for
8 preparing this map. This will be of great
9 assistance to the NMOCD even after this case is
10 completed. So...

11 Q. (By Mr. Kellahin) When we look at the
12 map, for example, Mr. Creekmore, and we want to use
13 it as a reference, can we make assumptions about the
14 fact that in the absence of the color coding and the
15 names, everything else within this area will be in
16 the Basin-Mancos gas pool?

17 A. Well, everything north of McKinley County
18 is in the Basin-Mancos. The purple outline that
19 goes around, basically, San Juan County and
20 Rio Arriba County and one section in Sandoval County
21 is the Basin-Mancos. The Basin-Mancos pool is
22 outlined within that purple outline there.

23 Q. So if we go south, outside the purple
24 boundary, then we pick up more information about
25 other pools?

1 A. Yes, other pools south of the
2 Basin-Mancos.

3 Q. Is there a way to look at this map and
4 also see where the Federal numbered units are? Can
5 you do that with this map?

6 A. They are outlined, also, in blue outline.
7 Yes, they are.

8 Q. It gets a little hard to do, but let's see
9 if we can do it.

10 Look over at the West Lindrith Gallup Gap,
11 Gallup Dakota pool --

12 A. Yes.

13 Q. -- in the purple there. Do you see it?

14 A. It's -- yes. It's 24 north, 2 and 3 --
15 well, 24 and 25 north, 2 and 3 west.

16 Q. Now, when I look in the southeastern
17 portion of that pool, then I see an area that's got
18 a blue dotted line --

19 A. Yes.

20 Q. -- scribed around certain acreage.

21 A. Yes. And that's --

22 Q. What would that represent?

23 A. That is the outer boundaries of the
24 Lindrith pool -- or the Lindrith unit, I'm sorry.

25 Q. So similarly, you can use that methodology

1 to help you locate the other Federal numbered units
2 within the map area?

3 A. Yes, you can.

4 Q. Let's set this map aside for a moment.

5 Let's begin to deal with the specifics of
6 the order I described a while ago when I referenced
7 an order issued in the fall of '08 as a rule that
8 adopted the special rules and regulations for the
9 Basin-Mancos gas pool.

10 A. Yes.

11 Q. Do you have a copy of those pool rules in
12 your exhibit book?

13 A. Yes. Under Tab 4 you have the entire
14 order, R-12984, which designated the Basin-Mancos
15 gas pool.

16 Q. As part of that process did the division,
17 as the applicant in that case, ask for things other
18 than the creation of this pool?

19 A. Yes.

20 Q. What else did they ask for?

21 A. Well, under -- well, they asked for
22 pre-approval for downhole commingling.

23 Q. And was that authorized?

24 A. No, it was not.

25 Under -- I highlighted that under Tab 6

1 under the order of Rule 5. I -- and the bold is
2 mine, where the application for pre-approval of
3 downhole commingling is denied. The underlying
4 denied is -- was in the rule itself, but it was
5 without prejudice to any new application for
6 pre-approval that the division or an operator may
7 file as a hearing application, and that's why we're
8 here today.

9 Q. Very good, sir.

10 When we turn past the order itself under
11 Tab 4 and look at Tab 5, was there any -- have you
12 reviewed the transcript of this case and the
13 exhibits?

14 A. Yes. Steve Hayden -- Steven Hayden, the
15 district geologist for the division in District 3,
16 out of Aztec, was -- made the presentation.

17 Q. Was he the only witness?

18 A. To my knowledge he was the only witness,
19 yes. According to the order he was the only
20 witness.

21 Q. What's your understanding of what he was
22 trying to do with the consolidation of these various
23 portions of the Mancos group of formations?

24 A. Well, my understanding is that he wanted
25 one gas pool to encompass the entire basin that was

1 not already subject to Gallup or Gallup Mancos or
2 Gallop Dakota pools.

3 Q. In that process, how did he treat the
4 subdivision of the Mancos that's described as the
5 Gallup interval?

6 A. Let me point out under his testimony 3B,
7 under this Tab 5, first of all -- and I highlighted
8 some of the areas that I thought were germane to
9 what we're trying to accomplish today.

10 He stated the Mancos formation has often
11 been incorrectly called the Gallop. And then he
12 went on to -- to describe that the Gallup formation
13 is not present in most of the San Juan Basin, but
14 there are several existing pools that are called
15 Gallup in the -- in the basin.

16 Q. Did he set up a process within the rule
17 and the special rules whereby there was a transition
18 area created between the Basin-Mancos and the
19 existing Gallup pools?

20 A. Yes, he did. Under the -- well, the
21 special rules had a transition area under -- if you
22 go back to Tab 4 under Exhibit A, there is a B
23 exception on a transition period or transition area.

24 Q. But my point is, there's buffer zones or
25 transition areas created for the Basin-Mancos to

1 inter-react, then, or finger, with existing Gallup
2 pools?

3 A. Yes.

4 Q. And there's a complexity to that entire
5 process?

6 A. Yes, there is.

7 Q. That's not the focus of what we're doing
8 here?

9 A. No.

10 Q. Turning past the summary of Mr. Hayden's
11 testimony, then, you've got the part that describes
12 the opportunity to come back for pre-approval for
13 downhole commingling.

14 And then we get to a Tab 7, and you've
15 created a spreadsheet, have you not?

16 A. Yes, I have.

17 Q. What was your purpose here?

18 A. I wanted to show alphabetically all of
19 these pools that are shown on the map that include
20 the Gallup or the Mancos formation throughout the
21 basin.

22 Q. These are organized alphabetically?

23 A. Yes. And some of them are alphabetical
24 with the west or the south or the east put at the
25 end.

1 Q. Well, let's take an example. If you read
2 down and you find -- see the Baca Gallup, this is
3 designated as an oil. And if you find that row and
4 you read across, and then you get a column that has
5 an order number. And in this case there is no order
6 number, right?

7 A. No. I was unable to locate some of the
8 order numbers. I did this from NMOCD online, and I
9 was unable to get over here to Santa Fe and find all
10 of the orders.

11 But piecing together various information
12 that I had, I did the best I could. Some of these
13 gas basins -- the orders, some of them, I could not
14 locate.

15 And then the next column, the gas basin,
16 the oil basin, I did the best I could with what
17 information I had, or as it had been --

18 Q. Is it fair to characterize this as a work
19 in progress?

20 A. Yes.

21 Q. When we get over to the column that is
22 headed -- and I would call this a green-shaded
23 color --

24 A. Yes.

25 Q. -- it says "Pool Modification."

1 A. Yes.

2 Q. And for the Gallup -- for the Baca Gallup
3 you have the word "Expanded."

4 What does that mean?

5 A. Well, if you go back to Tab 4, the order,
6 quite a bit of the body of the order goes into
7 Number 3 and Number 4, where the NMOCD contracted I
8 think approximately 15 -- I've got that someplace.
9 They contracted 14 or 15 of the various Gallup --
10 Gallup Dakota pools in the basin.

11 Q. So the header would indicate that in the
12 Basin-Mancos order itself they took further action
13 to deal with some of the Gallup pools?

14 A. Yes. It appeared that Mr. Hayden wanted
15 to lock in these pools at the time that -- and then
16 the order reflected that.

17 Q. And so when there is a colored notation in
18 that column, that represents what you have found in
19 relation to the Mancos order --

20 A. Yes.

21 Q. -- whether that existing Gallup pool was
22 expanded, contracted, or some other action taken?

23 A. Yes. Under 4 in the order, it expanded.
24 And then under 3 it contracted, and I reflected all
25 of those on this column -- or in this column.

1 Q. Let's turn past Exhibit 7. Exhibit 8 is
2 blank. And then if you'd look at 9.

3 Have you compiled, starting with
4 Exhibit 9, responses for companies that have sent
5 letters to you concerning your application today?

6 A. Yes.

7 Q. And what has been those responses?

8 A. We received a letter from WPX, which was
9 formerly Williams in the basin, giving support for
10 our application today.

11 Q. Does WPX Energy, that was formerly
12 Williams, do they operate any of these Federal
13 units?

14 A. Yes, they do.

15 Q. And which one is their principal unit?

16 A. The Rosa unit.

17 Q. Have they achieved approval to downhole
18 commingle the Mancos pool with Mesaverde in Gallup?

19 A. Yes, they have.

20 Q. And do you have a copy of the order that
21 allowed them to do that?

22 A. Under Tab 10 I have a recent order from
23 the NMOCD, R-12991, which reflects Williams
24 Production Company, LLC's, approval of downhole
25 commingling within the Rosa unit of the Laguna Seca

1 Gallup pool under -- it's under Rule 5 on page 2.
2 The Laguna Seca Gallup pool, the Cedro Gallup pool,
3 the Willow Gallup pool, and the Basin-Mancos gas
4 pool.

5 Q. In addition to Williams, did other
6 companies provide letters of support to your
7 application?

8 A. Yes, they did.

9 Q. And looking behind Tab Number 11, what do
10 we find?

11 A. Energen also sent a letter of support for
12 our application today.

13 Q. To aid the Examiner in his review of this
14 topic, have you included other division orders in
15 this exhibit book?

16 A. Yes, I have.

17 Q. Turn to Exhibit Tab Number 11 and describe
18 what you placed in the book.

19 A. This was the initial order allowing for
20 downhole commingling in the -- that affected our
21 pools in the San Juan Basin.

22 CHAIRMAN BROOKS: I believe you said 11.
23 That's 12, right?

24 MR. KELLAHIN: I'm sorry. I misspoke.

25 Q. (By Mr. Kellahin) Behind Tab 12, then, if

1 you'd turn to page 5 of that order -- it's not the
2 page of the order, but it's page 5 of your exhibits.

3 A. Yes.

4 Q. There is a provision of the order that
5 talks about pre-approval.

6 A. Yes.

7 Q. That is the procedure you're following in
8 today's hearing process?

9 A. Yes, that's -- that is.

10 Q. If we turn behind Tab 13, what do we find
11 behind that tab?

12 A. Well, that order that was -- or the
13 reference in that order to the rules eventually
14 became, and currently is, under Chapter 15 Part 12.
15 And you go down, and the pre-approval language is
16 the exceptions -- well, the downhole commingling
17 portion of that begins on 19 15 12 11. And these
18 are copies of the current NMOCD rules.

19 Q. When we turn to Tab 14, what are you
20 introducing in the book at this point?

21 A. Well, this is an actual C-107A that a -- a
22 blank copy of it, and then one that we have actually
23 submitted.

24 Q. For the Examiner's reference, then,
25 Exhibit Tab Number 14 would give him a real-life

1 example of the type of filing you currently have to
2 do --

3 A. Yes.

4 Q. -- in the absence of having the pool a
5 pre-approved pool?

6 A. Yes.

7 Q. To illustrate the complexity of these
8 filings, can you direct us to the page that begins
9 the list of parties to whom you send notification?

10 A. Well, in addition to the pre-approval you
11 can see that when you have to give notice,
12 especially in a participating area in a Federal
13 unit, there at the end of this are five pages of
14 parties that we have to give notice to in this
15 particular -- with this particular well. So it
16 becomes quite cumbersome to give notice on the
17 C-107As -- or the downhole commingling, I'm sorry.

18 Q. Well, that notification problem is a topic
19 for a different hearing on a different day, is it
20 not?

21 A. Yes, it is.

22 Q. What we're asking for today does not ask
23 the division to give us pre-approval to delete
24 notification to interest owners?

25 A. No, it does not.

1 Q. What we're asking for is the pre-approval
2 of certain other exceptions that the technical
3 people have to comply with?

4 A. Yes.

5 Q. In your opinion, Mr. Creekmore, as an
6 expert petroleum landman, do you think the granting
7 of this application would be in the best interest of
8 conservation and the prevention of waste and the
9 protection of correlative rights?

10 A. Yes, I do.

11 MR. KELLAHIN: We tender Mr. Creekmore's
12 Exhibits 1 through 14.

13 CHAIRMAN BROOKS: 1 through 14 are
14 admitted.

15 MR. KELLAHIN: That concludes my
16 presentation of Mr. Creekmore's testimony.

17 CHAIRMAN BROOKS: Thank you.

18 I actually don't think I have any
19 questions for Mr. Creekmore. The issue of what the
20 significant -- well, I do have one.

21 This would apply to downhole commingling
22 of oil as well as gas, right, oil production?

23 THE WITNESS: It would refer just to the
24 Basin-Mancos.

25 CHAIRMAN BROOKS: So the Basin-Mancos gas

1 pool?

2 THE WITNESS: Yes.

3 CHAIRMAN BROOKS: So it would only apply
4 to oil, to the extent that liquids were incidentally
5 produced from a well that is classified as a gas
6 well in the Basin-Mancos pool. Is that correct?

7 THE WITNESS: That would be my assumption
8 based on the facts, yes.

9 CHAIRMAN BROOKS: Yeah. And this order --
10 this Basin-Mancos order was not particularly well
11 drafted, which I can say because I drafted it. But
12 I -- we have been -- we've had some internal
13 discussions, and I think we're reasonably convinced
14 that the Basin-Mancos gas pool is the appropriate
15 classification only for gas wells. It's not
16 entirely clear in every case how you determine what
17 is and isn't a gas well, but that is all the issues.

18 MR. KELLAHIN: It is, Mr. Brooks.
19 Mr. Catanach and I have struggled with that, and
20 that's a topic for a different hearing on a
21 different day, but it is a problem.

22 CHAIRMAN BROOKS: Okay. Well, thank you.

23 I don't believe I have any other questions
24 for the witness.

25 CHIEF ENGINEER EZEANYIM: I have a

1 question for you.

2 I know David just said he didn't draft the
3 order very well. But the order is written as an
4 order, whether it's drafted very well or not.

5 You are here trying to convince us -- I
6 don't know if you are able to answer my question,
7 because I have a bunch of them to ask -- maybe you
8 or an engineer or a geologist -- to convince us that
9 the order we issued should be reverted. We denied
10 it based on the information that we received at the
11 time.

12 I'm hoping that after you present your
13 hearing today you're going to convince us to the
14 contrary what was presented by, you know, the
15 witness at the time that this order was drafted.
16 And that's what I'm looking for.

17 I don't know whether you're going to be
18 answering my questions or the geologist is going to
19 be answering my questions or the engineer is going
20 to answer my questions.

21 But what I want to hear is this. This is
22 what we were presented in 2008, and this is new
23 evidence that demonstrates that we could pre-approve
24 these three pools. And according to what Mr. Brooks
25 said, I don't know if -- you are talking about gas

1 only. You're not including oil, because as we speak
2 now, there are other prospects for oil in the
3 Mancos.

4 Are you going to include oil in the Mancos
5 for this downhole commingling application you're
6 seeking? Because that's a different animal in
7 itself. If you're talking about gas, then we'll get
8 into gas. I am not even talking about oil.

9 So I don't know what you -- because I want
10 to clear it up, so that when you come forward to
11 present, let's understand what you're saying.

12 If you want to include oil that's a
13 different thing. If you want -- if it's only gas
14 that you want to get pre-approval, then that's
15 different. So I wanted to make that clear.

16 So that as we proceed today, are you --
17 you might be thinking about what I just said.
18 Because I -- like I told you, even though as
19 proposed, we can clarify oil or gas in the Mancos.
20 And we could -- you know, if we do it, then we could
21 clarify that. It's difficult, but we could do it.

22 But I wanted to make sure what you're
23 asking for without either a blanket of oil and gas
24 in the Mancos, Mesaverde, and Dakota should be
25 commingled. We need to look at a lot of things.

1 MR. KELLAHIN: Mr. Ezeanyim, may I
2 respond, sir?

3 Mr. Ezeanyim, may I respond, sir?

4 CHIEF ENGINEER EZEANYIM: Okay. Go ahead.

5 MR. KELLAHIN: There was no technical
6 evidence presented by Mr. Hayden at the first
7 hearing. He simply asked for downhole commingling
8 with no technical support. It was -- he did not ask
9 for, and no company came forward with their own
10 data. We're now coming before you with our data
11 because there was nothing for you to look at.

12 In regards to the gas/oil thing,
13 Mr. Catanach and the technical people with Conoco
14 and I have examined the gas well/oil well problem.
15 And we believe it's highly unlikely that you're
16 going to find an oil well in the Mancos. The
17 gas/oil ratios are going to be so low that we will
18 not have a well that is a true oil well.

19 In those pools where there is a higher
20 opportunity for oil production, they are already
21 captured within the boundaries of existing Gallup
22 pools. And as we talk with the geologist about the
23 organization of the Mancos, he can describe for you
24 areas where the likelihood of more oil production is
25 more prevalent.

1 But in terms of downhole commingling, we
2 believe we're setting up the opportunity to take
3 that well bore, in its commingled fashion, where
4 you're not going to see Mancos portions of this
5 commingled qualifying as an oil well.

6 But all the technical answers are
7 available from the next two witnesses.

8 CHIEF ENGINEER EZEANYIM: Okay. I'm very,
9 very excited when I have some operators come in for
10 prospecting for oil in the Mancos.

11 MR. KELLAHIN: I think we can answer
12 those.

13 CHIEF ENGINEER EZEANYIM: Okay. Yeah. So
14 in that case I was excited, because I don't want the
15 gas, I want the oil. So if they come in saying we
16 could get oil in the Mancos, that's good.

17 MR. KELLAHIN: And we're always excited to
18 be here.

19 CHIEF ENGINEER EZEANYIM: And so in that
20 case I begin to wonder because, you know, I'm not
21 operating there. Only you guys know that. So
22 that's why if there is oil there, and I don't want
23 them to be commingled with the gas, so it's up to
24 you now to demonstrate that there's no oil there. I
25 don't know what those companies are doing. Maybe

1 they're wrong.

2 MR. KELLAHIN: In most instances what you
3 would call oil is really a condensate, and we're
4 dealing with condensates and not a true gravity oil.

5 CHIEF ENGINEER EZEANYIM: I understand
6 that.

7 MR. KELLAHIN: There will be a difference
8 that they can explain.

9 CHIEF ENGINEER EZEANYIM: Very good. I
10 think I will defer some of the questions later and
11 not ask Mr. Creekmore, if there are other witnesses
12 you're going to call.

13 CHAIRMAN BROOKS: Yes. The point
14 Mr. Kellahin makes is -- is well taken, as I can
15 speak from having drafted this order.

16 But the reasons that pre-approval of
17 commingling was denied in this previous order was
18 not because of the evidence that was presented; but,
19 rather, because of the evidence that was not
20 presented. The rule on pre-commingling specifies
21 certain things that have to be proven before we can
22 issue a pre-approval order, and there simply was not
23 evidence on many of those points produced here.

24 Okay. I have no further questions.

25 CHIEF ENGINEER EZEANYIM: No more

1 questions.

2 MR. KELLAHIN: With your permission,
3 Mr. Examiner, there is a part of the exhibit book I
4 overlooked. May I proceed?

5 CHAIRMAN BROOKS: You may proceed.

6 Q. (By Mr. Kellahin) Mr. Creekmore, if
7 you'll look at Tab 7 and look behind the three pages
8 of tabulations, there are some maps, and I have
9 neglected to ask you about the maps.

10 Let's start, then, on what is marked
11 page 4. Will you explain to the Examiner what
12 you're depicting on page 4 and behind Exhibit Tab
13 Number 7?

14 A. Actually, page 4 is based on Column 6 that
15 goes throughout the spreadsheet. And these are
16 pre-approved -- already pre-approved downhole
17 commingled pools within the San Juan Basin.

18 And of course up in the right-hand side is
19 the Rosa unit that I referred to earlier that --
20 that not only approved downhole commingling --
21 pre-approved downhole commingling in the
22 Basin-Mancos, but several other pools. So you
23 can -- this was prepared to show you that downhole
24 commingling has already been pre-approved in
25 numerous of the pools in the basin.

1 Q. Then when we turn to page 5, what are you
2 showing on this map?

3 A. Well, in addition -- and it's questionable
4 what color it is, but we think it's blue or a light
5 blue. We've also included the combined Gallup
6 Dakota pools within the basin which in and of
7 themselves are pre-approval for downhole commingling
8 when you have these Gallup Dakota pools.

9 So even further evidence that pre-approval
10 has already been granted by the commission -- by the
11 division throughout the basin.

12 Q. And when you go over in the lower left
13 side, there is a block that has some identification
14 codes.

15 A. Yes, uh-huh.

16 Q. When we look at the light-colored, those
17 are the pre-approved pools for commingling? Do you
18 see a code at the bottom, the last code?

19 A. Oh, yes, uh-huh. The pre-approved are the
20 yellow and the blue is the Gallup.

21 Q. And then above that you have a series of
22 circles with different colors.

23 What does that represent?

24 A. Those are the various company operators of
25 those wells.

1 Q. And the point is, you're trying to
2 identify those areas in which there is a data point
3 that represents an opportunity for the technical
4 people to have information about commingling?

5 A. Yes, uh-huh.

6 Q. And what do the red triangles represent?

7 A. The red triangles are at the very top, and
8 they're tri-mingled vertical wells that are proposed
9 in 2012 through 2014 by ConocoPhillips.

10 MR. KELLAHIN: That concludes my redirect
11 of Mr. Creekmore, Mr. Examiner. Thank you.

12 CHAIRMAN BROOKS: Thank you. I have no
13 further questions.

14 Mr. Ezeanyim?

15 CHIEF ENGINEER EZEANYIM: You may step
16 down, sir.

17 ZACK SWANEY,
18 after having been first duly sworn under oath,
19 was questioned and testified as follows:

20 EXAMINATION

21 BY MR. KELLAHIN:

22 Q. Mr. Swaney, for the record, sir, would you
23 please state your name?

24 A. My name is Zack Swaney.

25 Q. Where do you reside?

1 A. Farmington, New Mexico.

2 Q. What is it that you do?

3 A. I'm a geologist.

4 Q. On prior occasions, have you testified as
5 a geologic expert?

6 A. I have.

7 Q. And by whom are you employed?

8 A. ConocoPhillips.

9 Q. And in what capacity?

10 A. As a geologist. I have, for the last
11 almost three years, worked in the Mancos.

12 Q. As part of your Mancos responsibilities
13 for your company, have you reviewed the details to
14 assist the engineer in examining the opportunity for
15 downhole commingling of the Mancos?

16 A. Yes, I have.

17 Q. Generally, is that to be done in
18 association with production from the Mesaverde and
19 the Dakota?

20 A. That is true, yes.

21 Q. Based upon that study, do you have
22 recommendations to the Examiner about the
23 application today?

24 A. I do.

25 Q. Are you here to support the pre-approval

1 of the Basin-Mancos gas pool with regards to certain
2 components of the pre-approval process?

3 A. Yes, I am.

4 MR. KELLAHIN: We tender Mr. Swaney as an
5 expert petroleum geologist.

6 CHAIRMAN BROOKS: So qualified.

7 Q. (By Mr. Kellahin) Mr. Swaney, let's start
8 with the basic format of what it is that you're
9 looking at in the Mancos.

10 Is there an aerial description of the
11 Mancos that you can give for us?

12 A. Yes. Broadly, that -- well, it's marine
13 deposition. And in marine deposition, generally
14 what you expect is a large degree of lateral
15 continuity which I think is exemplified within the
16 Mancos.

17 Q. Why, as a geologist, should lateral
18 continuity be of importance in a commingling
19 environment?

20 A. It speaks to geologic inference. If you
21 have data points that are separated by several miles
22 or even 10s of miles, those data points in a -- in a
23 marine environment will -- you can infer that those
24 data points speak to a large -- to a large area, so
25 you can basically interpolate between them.

1 Q. When we turn to the exhibit book and look
2 behind Tab 15 on page 1 of that tab, it starts off
3 with four bullet points.

4 A. Yes.

5 Q. Is this your work product?

6 A. Largely, yes.

7 Q. What are you trying to indicate for us?

8 A. I'm trying to describe the specific
9 stratigraphy within the Mancos, first placing it in
10 an overall -- in the overall setting within the
11 Cretaceous stratigraphy. And I'm trying to show how
12 those logs appear, what changes occur across the
13 basin as well as the degree of consistency across
14 the basin within the Mancos.

15 Q. Okay. As a geologist concerned with the
16 topic of pre-approval of the Basin-Mancos for
17 commingling, what are the kinds of things that worry
18 you?

19 A. Generally, with -- it's just broadly, not
20 specific to the Mancos. But the concerns that you
21 would have are -- fluid compatibility, I think,
22 would be a very large one.

23 If you have extremely variant
24 mineralogies, for example, that's going to influence
25 the waters, the type of brines that exist within the

1 porosity. And so in some cases if you mix those
2 waters you can have porosity occlusion by
3 precipitation of minerals and that sort of thing and
4 cause production problems as well.

5 We find none of those problems within the
6 Mesaverde, Mancos, or Dakota.

7 Q. Let's begin, then, to describe the Mancos
8 container aerially, and then we'll look at it in a
9 vertical sense.

10 Can you turn to Page Number 2?

11 A. (Witness complies.)

12 Q. Describe for us what you're showing on
13 this display.

14 A. This is a modified version of a
15 stratigraphic cross-section from southwest to
16 northeast across the entire San Juan Basin.

17 Q. Take a moment and show us the orientation
18 of the cross-section by looking at the upper
19 left-hand corner of the display.

20 A. Yes. That's our key map. It shows in red
21 the outline of the productive portion of the
22 San Juan Basin.

23 This black line should actually extend
24 farther down towards Gallup, New Mexico, which would
25 be roughly at the corner of the Zuni uplift here

1 labeled, say, the northwest corner of that.

2 So the cross-section goes basically from
3 Gallup all the way roughly to Durango, around in
4 that area.

5 Q. Now the colored section, the larger
6 portion of the display, the far upper left-hand --
7 the right-hand corner of the display says north?

8 A. Correct.

9 Q. So if we take this whole colored display
10 and orient it on the layover of the cross-section
11 line, that would be the orientation of the cut?

12 A. That's correct.

13 Q. I would like to start our conversation by
14 having you look at the colored sections of the
15 Mancos and find the area that you have shaded in
16 yellow and identified as the Gallup sandstone.

17 A. Okay.

18 Q. Describe for us what we're seeing there.

19 A. Okay. What we're seeing is the Gallup
20 sandstone as it exists in Gallup, New Mexico, where
21 the typed section is.

22 And the main point to make about this is
23 that -- the dotted line that exists above it. This
24 dotted line is a nonconformity, which is a surface
25 of erosion or nondeposition.

1 In this particular case it's a surface of
2 erosion. There was a drop in sea level that exposed
3 this to -- well, subaerially, and then eroded off a
4 good portion of the section.

5 In this case it eroded off the Gallup
6 sandstone completely south of the San Juan Basin.
7 The implication of that interpretation, which again
8 is not mine. It's from a published paper in 1992,
9 and many others have supported this work.

10 The implication of that interpretation is
11 that there is no Gallup formation within the
12 San Juan Basin, or at least in the productive
13 portion of the San Juan Basin.

14 Q. When we look at this container --

15 A. Yes.

16 Q. -- and we've got it positioned in the
17 San Juan Basin, is there a tip or a grade or a
18 structure to this container?

19 A. Yes. The San Juan Basin is generally
20 shaped like a bowl. It has steep -- steep sides on
21 the east, the west, and the north, and a long slow
22 low-dipping slope to the south that gets shallower
23 as you come to the south called the Chaco Slope.

24 Q. Mr. Ezeanyim expressed concern about the
25 separation of dry gas from wet gas and oils in the

1 Mancos.

2 A. Yes.

3 Q. Can you answer -- use this display to
4 begin to answer his concerns?

5 A. I believe I can, yes.

6 Q. Let's do that.

7 A. Generally speaking in the San Juan Basin,
8 thermal maturity is what controls the presence of
9 various hydrocarbon systems.

10 CHAIRMAN BROOKS: What is that?

11 CHIEF ENGINEER EZEANYIM: What is that?

12 THE WITNESS: Thermal maturity, how hot
13 the shales --

14 CHAIRMAN BROOKS: I thought you said
15 "thrown maturity."

16 THE WITNESS: I'm sorry. Thermal
17 maturity.

18 A. What we find is that the deepest portions
19 of the basin are hottest, which makes sense, by
20 geothermal gradient.

21 And as you come up to the south, and
22 actually in all areas from the center of the basin,
23 you move from those hottest temperatures to cooler
24 temperatures. And as do you that, you go from a
25 completely dry gas to the center -- in the center of

1 the basin to a condensate, or wet gas system, in
2 somewhat of a thin band around the basin.

3 And then as you move outside of that,
4 again mostly to the south, you move into an oil
5 window, where we expect to have an oil system.

6 There is a -- there is a migration
7 overprint to this. Largely speaking, thermal
8 maturity does control the occurrence of various
9 hydrocarbon systems. But in some cases we find
10 condensate, or wet gas systems, outside of what
11 should be the thermally mature -- the thermal
12 maturity of the condensate, meaning that we find
13 condensate pools in what otherwise looks like an oil
14 window.

15 And that, we -- we -- our interpretation
16 of that is that we've had migration updip of the
17 lighter hydrocarbons from the condensate systems
18 into pools updip.

19 Q. If you are looking at a portion of the
20 Mancos that has a container that has oil in it --

21 A. Uh-huh.

22 Q. -- is there a relationship to those oil
23 containers that you can ascribe to what
24 Mr. Creekmore presented in the big layout map that
25 was presented behind Exhibit Tab Number 2 -- I'm

1 sorry, Tab Number 3.

2 A. Yes. You are talking about the large map?

3 Q. Yes, sir. Is there a relationship to what
4 would be a conventional oil pool container in
5 relation to the pool scribed on the big map?

6 A. Yes. I think the best place to start is
7 probably actually outside of the San Juan Basin
8 proper on the Four Corners platform, which is
9 basically just saying we're going to be on the other
10 side of the Hogback monocline.

11 So this Many Rocks pool, the Horseshoe
12 Gallup pool, Verde Gallup pool, all of these pools
13 are dominantly oil pools.

14 CHAIRMAN BROOKS: And where are you on the
15 map?

16 THE WITNESS: I'm sorry. On the
17 northwest.

18 CHAIRMAN BROOKS: I found it. Thank you.

19 THE WITNESS: Okay.

20 As you come down into the San Juan Basin,
21 the Cha Cha pool, Gallegos Dakota, Bisti and South
22 Bisti, these are oil pools as well as the West
23 Lindrith, the West Puerto Chiquito, Gavalin, Mancos,
24 and so on.

25 If you start from, say, Devil's Fork and

1 West Lindrith and move north --

2 Are you following me?

3 CHAIRMAN BROOKS: Not really.

4 THE WITNESS: Okay. So in 25 and 6,
5 Devil's Fork Gallup associated pool. It's purple.

6 I'm sorry. I've now moved into the basin.
7 Look a good bit to the southeast of where you're
8 looking now.

9 CHAIRMAN BROOKS: Oh, okay.

10 THE WITNESS: Yes. Sorry.

11 CHAIRMAN BROOKS: Here's the Devil's Fork.
12 That's way over on the line between San Juan and
13 Rio Arriba.

14 THE WITNESS: Right. So if you connect
15 where I was before at Horseshoe Gallup to Devil's
16 Fork, West Lindrith, Gavalin, Mancos, West Puerto
17 Chiquito, these pools off to the east, that
18 basically describes the oil rim, the oil window of
19 the San Juan Basin-Mancos.

20 If you start at Devil's Fork, move to the
21 north of there and go to Largo Gallup gas pool,
22 South Blanco, toes-to-toe, that trend right there,
23 we are getting into more of a condensate type
24 production.

25 And what I am describing is not based on

1 thermal maturity. What I'm describing is based on
2 the production from these pools as I remember.

3 And then when you move north of that into
4 what used to be LaJara Canyon, but is -- I believe
5 that's been dissolved -- and Laguna Seca to the
6 north, that's when you get more into the dry gas
7 rim -- or dry gas window of the basin.

8 Q. (By Mr. Kellahin) Mr. Swaney, is it fair
9 to characterize the occurrence of the pockets of oil
10 containers as already being controlled within
11 existing Gallup pools?

12 A. Within certain sands, that is true, and
13 we'll get into the specific stratigraphy. But just
14 to kind of tee that up, these linear trends that you
15 see, for example, Bisti, Lower Gallup, these pools
16 that have this very strong linear trend to them are
17 controlled by a single group of sands. In most
18 cases, the one individual pool will be the result of
19 one individual sands production.

20 And those are termed Tocito, or
21 toes-to-toe -- used to be called Gallup -- they
22 actually exist within the Niobrara, which we'll
23 discuss in a moment. That -- those sands are
24 generally delineated already by these pools.

25 Q. In coming back to Mr. Ezeanyim's concern,

1 then, as a regulator, if he allows the Basin-Mancos
2 entirely, at pool, to qualify for commingling on a
3 pre-approved basis, is he creating a problem for
4 himself in administering gas and oil wells within
5 that process?

6 A. I don't believe so. I believe that the
7 wells between these pools that are going to be
8 completed in a zone called the El Vado, which is
9 above these main sands, I believe that it will not
10 be difficult to tell that those are oil or that
11 those are gas.

12 Q. What is the exploration strategy of your
13 company and others with regards to how they are
14 going after this Mancos? How do they do this?

15 A. Generally speaking, what we are targeting
16 is the zone above these sands, which is the El Vado.
17 And like I say, we've got figures to describe this
18 better.

19 Q. Are these standalone Mancos wells?

20 A. Oh, no. No, these are not standalone
21 wells.

22 Q. How is it done, then?

23 A. It's done by commingling them with
24 Mesaverde and Dakota.

25 Q. Why is that done?

1 A. That is done because the Mancos is a
2 marginal producer and will not carry the cost of a
3 well in an economic fashion.

4 CHIEF ENGINEER EZEANYIM: Excuse me.

5 THE WITNESS: Yes, sir.

6 CHIEF ENGINEER EZEANYIM: Very good
7 questions. But I am still looking for an answer.

8 The question was asked: Why shouldn't I
9 be concerned about the oil and gas? Like I said, I
10 don't know what your answer was. I was trying to
11 see what you said there to convince me what all
12 should happen if you have oil and gas there. You
13 said you didn't believe so.

14 Why? Why didn't you believe so?

15 THE WITNESS: Well, I didn't believe that
16 there would be a problem, is what I said.

17 CHIEF ENGINEER EZEANYIM: Okay. Yes.

18 Why?

19 THE WITNESS: Not that there would be oil.

20 CHIEF ENGINEER EZEANYIM: Okay.

21 THE WITNESS: There will be oil between
22 these pools.

23 CHIEF ENGINEER EZEANYIM: All right. Why
24 is it not going to be a problem?

25 THE WITNESS: Because I believe -- well,

1 it depends on how the rule is handled, which I think
2 has some question marks in and of itself at this
3 point.

4 CHIEF ENGINEER EZEANYIM: Uh-huh.

5 THE WITNESS: But I don't believe it's
6 going to be difficult to tell whether or not you
7 have an oil system or a gas system in the Mancos.

8 And so I don't believe that there will be
9 issues with seeing the difference.

10 CHIEF ENGINEER EZEANYIM: Go ahead. I'm
11 sorry.

12 Q. (By Mr. Kellahin) Let's look at this
13 container. There's a structural component to it.
14 There's a slight --

15 A. Yes.

16 Q. -- there's a bowl shape with a slight tip
17 to it?

18 A. Yes.

19 Q. Does that give you an answer to help the
20 engineer, when he does the pressure information, to
21 explain why he's seeing a certain pressure regime in
22 the Mancos in relation to the Mesaverde or the
23 Dakota?

24 A. Yes.

25 Q. And what would that be?

1 A. What we expect, with greater depth we get
2 greater pressure. And the stratigraphy of the
3 Mesaverde, Mancos, and Dakota are such that they --
4 they get deeper together. And so you don't expect
5 different gradients between them at any portion of
6 the basin. So if there -- if one is higher, the
7 others are higher in conjunction with it.

8 Q. Let's turn and look at the containers in a
9 vertical sense.

10 If you'll look at page 3 with me.

11 A. (Witness complies.)

12 Q. When we talk of the Mancos as a formation,
13 it really is an accumulation of various
14 subdivisions?

15 A. True.

16 Q. And describe for us how they are
17 organized.

18 A. Okay. You will find many different
19 terminologies, terminology sets, associated with the
20 Mancos. This is how we see it.

21 We define the base of the Point Lookout as
22 the top of the Mancos and the top of the Greenhorn
23 as the base of the Mancos. So those are the
24 bounding surfaces of the overall Mancos group.

25 Within that we divide it into the upper

1 Mancos, the Niobrara and the Carlisle. The Niobrara
2 is then subdivided into the El Vado, which has its
3 own subdivisions, as you can see, and the base of
4 the Niobrara. It is within the base of the Niobrara
5 that the Tocito sandstones exist that I was
6 discussing earlier with respect to the Bisti Gallup
7 pool and so on.

8 The base of the Niobrara is that
9 unconformity I was speaking about in the previous
10 figure. It separates Niobrara-age rocks, which the
11 dominant -- is the dominant producer in the Mancos,
12 both historically and what we see as a future
13 target. It separates the Niobrara from the
14 Carlisle.

15 Below this unconformity, especially in the
16 southern portion of the basin, we see rocks that
17 are -- I call them Gallup equivalent. They don't
18 contain sandstones, but they are the lateral extent
19 of the Gallup formation.

20 Below that we have the Juana Lopez, also
21 called the Sanostee, and the Lower Carlisle.

22 Q. When the engineer takes the dataset of
23 pressure information, for example, from all of these
24 data points spread throughout the basin in the
25 Mancos and looks to see where, in fact, that data

1 comes from, generally, where would he find this on
2 Exhibit Number 3?

3 A. The pressure data that --

4 Q. Yes. Where does that come from?

5 A. Generally, that comes from the overall
6 Niobrara. The lion's share of the perforations
7 within the Mancos field-wide are within the Niobrara
8 regardless of whether it's called a Gallup pool or
9 not.

10 Q. Is the term "Gallup" equivalent to the
11 Mancos? That's not synonymous, is it?

12 A. No. No, it is not. The -- I've seen
13 multiple type logs from when Gallup was being used
14 regularly as a term within the Mancos. And none of
15 those type logs equate the top of the Mancos to the
16 top of the Gallup, the base of the Mancos to the
17 base of the Gallup. The Gallup formation is always,
18 as I have seen, a portion within the Mancos. That
19 generally correlates to what we would call the
20 Niobrara now.

21 Q. Is the data, available to the engineer,
22 data that you, as a geologist, would see to be
23 similar data as you would move up and down the
24 different subsets of the Mancos?

25 A. Yes.

1 Q. Is there any reason for those to be
2 different?

3 A. No.

4 Q. Let's look at your type logs and see if
5 you have a pattern of distribution of your type logs
6 that would give you data information that makes you
7 comfortable, as a geologist, that you've got
8 examples throughout the Mancos in the basin. And
9 starting, first of all, with Page Number 4.

10 A. Okay. So this is a key map to show you
11 where the individual type logs come from. The first
12 one we'll talk about is in the southeast portion of
13 the basin at Lindrith unit. Then we will move
14 west-northwest to Huerfano unit, and then we will
15 move to the north in Allison unit.

16 I choose these three areas because I
17 believe that they -- they show good type examples of
18 the appearance of Niobrara-age rock specifically,
19 but Mancos generally, and how they occur in large
20 areas of the basin.

21 Q. Let's then turn to the type log for the
22 Lindrith on Page Number 5.

23 A. Yes.

24 So to first describe what you're looking
25 at on the well log, on the left track we have a

1 gamma ray. On the right track we have in red the
2 bulk density curve, which we use for porosity. So
3 when the curve goes to the left that is more
4 porosity.

5 The other is in blue, which is the deep
6 induction curve. That curve is -- we use for a
7 hydrocarbon indicator. When it goes to the right
8 it's indicating that there's more hydrocarbons
9 there.

10 I have them scaled on this figure such
11 that when the red is to the left of the blue, then
12 that's an indicator that we -- that we like that
13 zone, basically; that there's probably pay within
14 that zone.

15 Also shaded in green in all three of these
16 will be the El Vado A, B, and C. That is what we
17 consider, generally, our largest target.

18 So to focus in on the Lindrith unit, here,
19 the unconformity is actually quite high. So --
20 meaning we have a relatively thick Gallup equivalent
21 section. There's no -- no pay or no production in
22 this area from these rocks.

23 That also means that our basal Niobrara
24 section is very thin. And the implication there is
25 there are no Tocito sandstones in this part of the

1 basin. And we, in fact, find none.

2 The green portion, the El Vado A, B, and C
3 in the Lindrith area, all look like they -- they are
4 hydrocarbon-bearing and look as though they are our
5 targets.

6 So when we move to Huerfano --

7 Q. That would be page 6 of Exhibit 15?

8 A. Yes.

9 When we move to Huerfano, the unconformity
10 has eroded down a little bit. And so we have a
11 thinner Gallup equivalent section and a thicker base
12 on the Niobrara section.

13 I chose this particular log because it has
14 a good example of Tocito sandstone in it. These
15 come and go laterally somewhat abruptly. In this
16 case, we have one in the well.

17 Historically, this is the -- this is where
18 the production first came from the Mancos, within
19 the Tocito sandstones. They are high porosity/high
20 permeability sands that was producible with '50s,
21 '60s, and '70s technology.

22 Above that is -- highlighted in green
23 again -- the El Vado zone. And here, it's a little
24 bit thicker than it was at Lindrith, and nearly the
25 entire section would qualify in our assessments as

1 something interesting, something worth going after.

2 It is worth mentioning -- I do not have
3 perforations listed on this particular well. But in
4 general, when you see a log like this, the Tocito
5 would be perforated as well as the El Vado above.
6 Where you don't have Tocito, traditionally, there
7 was no pool because the El Vado would not produce on
8 its own in economic quantities. Where they have the
9 Tocito sand they would perforate the El Vado as,
10 essentially, icing on the cake, thinking it would
11 pay for its own perforations. And I believe that it
12 probably did.

13 Q. And turning now to the Allison, on page 7.

14 A. Yes. So at the Allison unit, the
15 unconformity has, at this point, eroded completely
16 through the Gallup equivalent section, removing it
17 entirely. This is how the unconformity appears
18 at -- in most of the basin; that being that it
19 either erodes out the top of the Juana Lopez or it
20 rides right along the top of it.

21 Here, we have a different character to the
22 pay a little bit. The El Vado A and B are marginal,
23 at best, and probably not good targets. The C, in
24 fact, is a good target.

25 What is mostly different about the Allison

1 and Rosa area -- and this log could have just as
2 easily come from Rosa unit. The log character is
3 very, very similar to Rosa. Here, we have an upper
4 El Vado zone that looks like pay.

5 The overall point of these three type logs
6 is -- well, the first is to describe differences,
7 like I have done. The other is to point out that
8 you'll notice that on all three figures all of the
9 same surfaces appear. The stratigraphy is
10 consistent enough that you can find the same events
11 in every well log I have correlated in the basin
12 which is, at this point, probably approaching 2- to
13 3,000.

14 Q. Let's turn to page 8, Mr. Swaney.

15 A. (Witness complies.)

16 Q. What are you summarizing for us here?

17 A. I'm summarizing here how we view what the
18 El Vado is; that being that it's a silty section
19 within the Mancos that's characterized by high
20 resistivity and characterized by a lower gamma ray
21 signature, although that is not always specifically
22 the case in every well log.

23 We see that there are possible pay zones
24 in the upper Mancos. And also in the Carlisle we
25 think that there are future targets.

1 The upper Mancos right now is prob- -- is
2 a target because it does not, at this point, take
3 any technology beyond which that we are -- beyond
4 that which we have to complete that and produce it.

5 The possible future targets in the
6 Carlisle, we have a lot of difficulty placing our
7 completions in those zones, and so there's not a lot
8 of potential there that could be unlocked right now.
9 But we know it's hydrocarbon-bearing, and we know
10 that with advances in technology, though, that could
11 be a future target.

12 Q. Let's turn now to page 8, which is your
13 summary using a cross-section.

14 A. Yes.

15 Q. And let's take a moment and have you
16 summarize your major geological points insofar as
17 they relate to pre-approval for commingling of this
18 pool.

19 A. Okay. So on the top left corner I have a
20 key map. Lake Navajo is probably the easiest thing
21 to see, to tell where the cross-section was actually
22 drawn.

23 CHAIRMAN BROOKS: This is page 9, now.

24 THE WITNESS: Yes.

25 A. The point here is to summarize, really,

1 everything I have already just said, and in a
2 cross-section sense.

3 The purple wavy line you see throughout
4 the cross-section, that is the unconformity. So you
5 can see that to the south it's -- it's quite high,
6 close to the lower red line, which I call the basal
7 Niobrara wetting surface.

8 And then as you move to the north it cuts
9 down quite quickly into -- into at least close
10 proximity to the Juana Lopez, if not into it
11 altogether.

12 The main point here is that over this
13 great distance, roughly about 50 miles, you find the
14 same surfaces that you can correlate. What we say
15 generally about marine rocks, which is what the
16 Mancos is, is that they're locally consistent but
17 regionally variable. And that is borne out in this
18 cross-section.

19 You can -- you can track the same
20 surfaces, but as you go a long distance you see
21 differences in a lot of character, which I
22 summarized with the three previous logs.

23 Q. (By Mr. Kellahin) How does that
24 similarity help us make decisions about commingling
25 the Mancos on a pre-approval basis?

1 A. It's -- it allows you to take data that
2 can be separated by quite a long distance and
3 interpolate between them and make assumptions about
4 what happens in between.

5 With this level of consistency with
6 stratigraphy, it's a very reasonable thing to do to
7 say that if you have X pressure here and Y pressure
8 here, you will have something in between in the
9 middle.

10 Q. In terms of data points available to your
11 company, can you approximate for us the total number
12 of wells involved? Do you have --

13 A. Are you talking penetrations?

14 Q. Yes.

15 A. There are over 9,000 data points with at
16 least a gamma ray log that we can use to correlate
17 in the San Juan Basin. A lot of those are Mesaverde
18 Dakota wells that were never completed in the
19 Mancos, but they are data points, nonetheless.

20 Roughly half of those have some production
21 from the Mancos interval.

22 Q. Is the fact that your company has an
23 inventory of well bores that have been drilled to
24 the Mesaverde and the Dakota and left
25 unpenetrated -- untested in the Mancos, is that the

1 opportunity you're looking to advance?

2 A. Yes, absolutely.

3 MR. KELLAHIN: That concludes my
4 examination of Mr. Swaney.

5 We move the introduction of his exhibits
6 behind Exhibit Tab 15. They're pages 1 through 9.

7 CHAIRMAN BROOKS: Okay. Exhibit 15 is
8 admitted.

9 CHAIRMAN BROOKS: I will invite
10 Mr. Ezeanyim to cross-examine first and I'll follow
11 up, I think.

12 CHIEF ENGINEER EZEANYIM: What is your
13 name again?

14 THE WITNESS: My name is Zack.

15 CHIEF ENGINEER EZEANYIM: Zack, yes. I'm
16 thankful of your testimony here. At least you know
17 what we're trying to do. I mean at least the
18 intent, anyway, of what you have to say about this
19 Mancos.

20 Of course all we're trying to do here,
21 we're having to consider to commingle. We don't
22 know if we'll do it here in Santa Fe. We'll look at
23 all the things you said.

24 But now you are trying to have us give you
25 a blanket approval. Of course we can do it, if we

1 think we can do it. You know, we can do it. We
2 still have our procedures here. But my point is
3 that we need to examine these on a case-by-case
4 basis. However, you did a good job of trying to
5 convince us.

6 One of the questions I wanted to ask you:
7 How productive is the Mancos? Is it prolific or
8 marginal? What is your opinion about the Mancos
9 that we looked at in the geology?

10 THE WITNESS: It is marginal.

11 CHIEF ENGINEER EZEANYIM: It's not
12 prolific?

13 THE WITNESS: No.

14 CHIEF ENGINEER EZEANYIM: I'm talking
15 about gas.

16 THE WITNESS: We're talking about
17 across --

18 CHIEF ENGINEER EZEANYIM: Okay.

19 THE WITNESS: -- across the spectrum.
20 There are portions that have been prolific. For
21 example, the Bisti toes-to-toe, the Gallegos
22 toes-to-toe, these clean sands that I was describing
23 within the basin Niobrara --

24 CHIEF ENGINEER EZEANYIM: Yeah.

25 THE WITNESS: -- those -- some of those

1 sands, their high porosity and high permeability
2 lends them to prolific production and somewhat wide
3 spacings.

4 Those are a different animal than what we
5 are left with. I believe that those have all been
6 found and produced to depletion. So what we are
7 left with is relatively unfractured, very tight,
8 very low permeability El Vado zones that are
9 marginal across the basin.

10 CHIEF ENGINEER EZEANYIM: Okay. I know
11 you talked a little bit about compatibility here.
12 You know, that's also an issue.

13 THE WITNESS: Yes.

14 CHIEF ENGINEER EZEANYIM: Can you tell me
15 more about that?

16 THE WITNESS: Well, my first comment to
17 that effect is -- and I believe Dryonis will maybe
18 speak a little more to this -- is that our
19 experience tells us that there's no real problems.

20 We have been commingling, for example, the
21 Gallup Dakota pools. Those -- those have been
22 commingled for -- well, since their inception. And
23 we have seen no fluid compatibility issues in those
24 wells.

25 You could say the same thing at Rosa. Any

1 of these pools that have been pre-approved, we
2 haven't seen any production issues related to fluid
3 compatibilities. I believe that stems from the fact
4 that Dakota through Mesaverde are -- it's the same
5 source area for the sediments. It's Sevier orogeny
6 is the source area for -- to the west of us -- was
7 the source area for all of the material shed into
8 the -- into this portion of the Cretaceous seaway,
9 which is where these rocks were deposited.

10 So we have the same source for the whole
11 section, and we have the same seaway depositing all
12 of these rocks.

13 I think the similarity in the source areas
14 in deposition lends itself to a similarity in the
15 fluids within the porosity.

16 CHIEF ENGINEER EZEANYIM: Okay. I think
17 I'm -- that concludes what I wanted to ask you for
18 now. I might come up with some other questions
19 later, because I'm still looking for something.

20 THE WITNESS: Yes.

21 CHIEF ENGINEER EZEANYIM: I'm looking for
22 applicability, you know, on whether we can approve
23 it or not.

24 THE WITNESS: Sure.

25 CHIEF ENGINEER EZEANYIM: But once all of

1 the testimony has been presented, let me see what we
2 can do.

3 THE WITNESS: Thank you.

4 CHIEF ENGINEER EZEANYIM: You can go
5 ahead, Chairman Brooks.

6 CHAIRMAN BROOKS: Thank you.

7 Looking at page 2 of your Exhibit 15, the
8 area that you have designated Gallup sandstone on
9 there, is that -- is that the only area that you
10 would -- could -- and the nomenclature that you
11 would prefer for geologic zones, is that the only
12 area that you would actually call Gallup?

13 THE WITNESS: Yes. On this diagram, that
14 is the only area that I would call Gallup.

15 CHAIRMAN BROOKS: So where you have shown
16 Gallup on your other exhibits, you're talking about,
17 basically, this stringer, or what looks like a
18 stringer, and -- when you compare it to the overall
19 vertical dimension in your exhibit.

20 THE WITNESS: The answer there is yes and
21 no.

22 CHAIRMAN BROOKS: Okay. Please explain.

23 THE WITNESS: Yes. So the Gallup
24 sandstone, as shown on here, it is actually a true
25 sandstone.

1 Below it, within the same interval of
2 Gallup rocks, there are -- there are non-sandstones.
3 There are shales and other lithologies.

4 And what I am showing on mine is not this
5 true sandstone, it's the material that's below that
6 true sandstone.

7 CHAIRMAN BROOKS: What you're showing now,
8 you're talking about exhibits other than page 2?

9 THE WITNESS: Yes. So for example, on 3,
10 what this Gallup equivalent is representing is the
11 rocks between the top of the true Gallup sandstone
12 and the top of the Juana Lopez.

13 CHAIRMAN BROOKS: Okay.

14 THE WITNESS: Within that package there
15 are multiple lithologies. At the top of it is where
16 this Gallup sandstones exists.

17 CHAIRMAN BROOKS: Yes. And that Gallup
18 equivalent, then, would that be encountered in a
19 larger portion of the basin than what is shown as
20 the Gallup sandstone on page 2?

21 THE WITNESS: Yes. It would extend a
22 little bit to the north of that.

23 CHAIRMAN BROOKS: Okay. Is that a
24 hydrocarbon-prospective formation at all?

25 THE WITNESS: It is our view that it is

1 not.

2 CHAIRMAN BROOKS: Okay.

3 THE WITNESS: Yes. It is our view that it
4 is not.

5 CHAIRMAN BROOKS: Now, at the time that
6 these Gallup pools were designated -- I don't know
7 exactly when it was, but it's been quite a long time
8 ago.

9 THE WITNESS: Yes.

10 CHAIRMAN BROOKS: That would -- would that
11 have been before the papers were written that
12 explained this -- this geology of this area?

13 THE WITNESS: I don't know specifically.
14 I know some of them were, yes. I know that the term
15 Gallup, as applied to what should be in my view
16 called the Niobrara, persisted well beyond the
17 understanding that there was no true Gallup in the
18 basin -- in the productive portion of the basin, I
19 should say.

20 So I don't know if there were pools that
21 were created using that terminology after the
22 understanding of the unconformity or not. But I
23 know that the recognition of the unconformity --
24 that the lack of recognition of the unconformity
25 early on in interpretations of these rocks is

1 what -- what colored and created the Gallup pools
2 that we see, or at least some of them that were the
3 earliest.

4 CHAIRMAN BROOKS: Okay. And if I
5 correctly understood your testimony, although I
6 didn't follow necessarily which was which, you were
7 indicating that some of the production from the
8 existing Gallup pool actually came from what you
9 have identified as the Niobrara?

10 THE WITNESS: Nearly all of it did.

11 CHAIRMAN BROOKS: Okay. So then when you
12 go back to Exhibit Number 4, and go to the attached
13 rules, Rule 1B on page 11 of Exhibit 4 states "any
14 well drilled within the Basin-Mancos gas pool."

15 Now first of all, we've got to figure out
16 what's a well drilled within the Basin-Mancos pool
17 to apply this -- this rule.

18 But the Basin-Mancos pool is defined by
19 outer boundaries. And if you will take my word for
20 it, as the draftsman, there is really nothing in
21 this pool except Rule 1B that excludes the existing
22 Gallup -- the existing Gallup pools from the
23 Basin-Mancos pool. It doesn't say it's all the land
24 in these counties with the exception of existing
25 pools. It just says it's all the land within these

1 counties.

2 THE WITNESS: Okay.

3 CHAIRMAN BROOKS: So we get to what 1B
4 says: "Any well drilled within the Basin-Mancos gas
5 pool that is to be completed as a standalone oil
6 well in the Mancos formation -- that is to be
7 completed as a standalone oil well in the Mancos
8 formation -- and it's within two miles of the outer
9 boundary of any oil or associated oil pool
10 identified in paragraphs 3 and 4 shall be drilled
11 and spaced in accordance with the rule applicable
12 to -- rules applicable to such pool."

13 Given the way the -- and I'm explaining a
14 lot of things rather than asking a question, but
15 I'll get to my question once I've gone through this.

16 Given the way the order is written, that
17 the outer boundary -- that the definition of the
18 Basin-Mancos pool does not exclude the areas that
19 are within the existing Gallup pools, and given that
20 this rule says only that the pool rules for the
21 Gallup pools will govern if a well is within two
22 miles of the outer boundary of the Gallup pool.

23 If you read this provision literally, it
24 would mean that any well completed -- if you read
25 Rules 1 and 2 literally, you would come to the

1 conclusion that any well in the existing Gallup
2 pools would be spaced and regulated in accordance
3 with the rules of the Basin-Mancos gas pool;
4 whereas, if they were around the periphery they
5 would be spaced and regulated in accordance with the
6 existing Gallup pool.

7 That's one of the problems with this order
8 because, you know, the courts have said that you
9 should interpret legislation literally, especially
10 if it makes sense as written. And I would submit,
11 though I wrote this myself, that it really doesn't
12 make sense as written.

13 And the only way I can make sense of what
14 I wrote here is to assume that any well that is in
15 the Mancos that is an oil well -- and for the time
16 being I'll ignore the difficulty with standalone,
17 because that's problematic, too.

18 But any well that's in -- that is in an
19 existing Gallup pool that's completed in the Mancos
20 as an oil well is -- is governed by the rules of the
21 Basin-Mancos -- is not governed by the rules of the
22 Basin-Mancos gas pool; but, rather, is governed by
23 the rules of the existing Gallup pool.

24 Well, that helps us with one thing. It
25 gets rid of the problem of whether -- of what the

1 actual boundaries of those Gallup pools are.
2 Because if you apply Rule 1B, any well in the
3 Mancos -- and it seems to be fairly
4 well-understood -- it is, is it not, fairly
5 well-understood what the Mancos is? There's not a
6 lot of difficulty about what's in the Mancos and
7 what's not in the Mancos.

8 THE WITNESS: That is a true statement.

9 CHAIRMAN BROOKS: Okay. So any well
10 that's in the Mancos that is within the lateral
11 boundaries of a Gallup pool is controlled by the
12 rules for that Mancos pool. I think it's hard to
13 argue with that -- well, I'm sure it's not hard to
14 argue. But that's -- having thought about it for a
15 long time, that seems to me to be the most
16 reasonable construction of Rule 1B.

17 But the problem is that that's only if
18 it's a, quote, standalone oil well. These wells in
19 much of this section produced both -- both gas and
20 fluid and liquids, correct?

21 THE WITNESS: Correct.

22 CHAIRMAN BROOKS: And under OCD rules we
23 have some established gas/oil ratios --

24 THE WITNESS: Yes, sir.

25 CHAIRMAN BROOKS: -- that determine

1 whether a pool is a gas well or an oil well.

2 Now, leaving aside -- because I don't
3 think we're going to get any answer to it -- what
4 the words "standalone oil well" is, if you assume
5 that you refer to OCD rules to determine whether a
6 well is a gas well or an oil well, are we going to
7 have a problem of -- in applying this rule, that you
8 would have to -- well, let me put it this way.

9 Maybe this -- this may be a question for
10 the engineer. But I am assuming that with my
11 miniscule knowledge of engineering, that you would
12 have to isolate the Mancos zone in order to
13 determine the gas-to-oil ratio at which the well was
14 capable of producing within the Mancos zone.

15 Is that your understanding, or do you want
16 to defer to the engineer on that?

17 THE WITNESS: That is my understanding.
18 But I mean, he will be able to speak better to that
19 than I would.

20 CHAIRMAN BROOKS: Okay. And since you
21 want to commingle by using a spinner method, my
22 assumption is that you do not contemplate that you
23 will be isolating any of the zones at any point in
24 the development. Is that a correct statement?

25 THE WITNESS: Aside to -- we have isolated

1 the Mancos in a few wells -- I don't remember the
2 exact number, but I know we have done it -- where we
3 have completed the Dakota, cleaned it out, placed a
4 plug over it, completed the Mancos and gotten
5 standalone Mancos data on its own for a period of
6 time -- I think three to six months, somewhere along
7 those lines. But it will not be general practice.
8 It will be only in those cases where we are looking
9 for data above and beyond what we can get in a
10 commingled sense.

11 CHAIRMAN BROOKS: And does that not give
12 us a problem, a regulatory problem, in terms of
13 determining whether or not we're dealing with a gas
14 well that is controlled by the rules of the
15 Basin-Mancos gas pool, including this -- the order
16 that you propose -- or whether we're dealing with an
17 oil well that, under Rule 1B of order R-12984 is
18 controlled by the rules of the oil well in which --
19 or in the periphery of which it is located?

20 THE WITNESS: I think I'm going to defer
21 to Dryonis on that question.

22 CHAIRMAN BROOKS: Okay. That's all I
23 have.

24 MR. KELLAHIN: Mr. Ezeanyim, did you have
25 any further questions?

1 CHIEF ENGINEER EZEANYIM: No questions.

2 CHAIRMAN BROOKS: Very good. I think the
3 witness may stand down, and I think we need to take
4 a break before we get to the next witness. So let's
5 take a 10-minute break.

6 (A recess was taken from 9:55 a.m. to
7 10:09 a.m.)

8 CHAIRMAN BROOKS: We are ready when you
9 are ready, Mr. Kellahin.

10 MR. KELLAHIN: Thank you, Mr. Examiner.

11 Our next witness is Mr. Dryonis Pertuso.
12 Mr. Pertuso is an engineer with ConocoPhillips, and
13 he is our next witness.

14 CHAIRMAN BROOKS: Very good. You may
15 proceed.

16 DRYONIS PERTUSO,
17 after having been first duly sworn under oath,
18 was questioned and testified as follows:

19 EXAMINATION

20 BY MR. KELLAHIN:

21 Q. For the record, sir, would you please
22 state your name.

23 A. Dryonis Pertuso. D-R-Y-O-N-I-S, Pertuso,
24 P-E-R-T-U-S-O.

25 Q. And where do you reside, sir?

1 A. Farmington, New Mexico.

2 Q. And what is your occupation?

3 A. Reservoir engineer.

4 Q. You'll have to speak up in here. There's
5 some background noise in here, at least for me.

6 As part of your duties as a reservoir
7 engineer, are you involved in the examination of the
8 Mancos formation?

9 A. Yes.

10 Q. Generally, what are your responsibilities
11 in association with that formation?

12 A. Evaluate on performance of the Mancos.

13 Q. As part of that evaluation, have you made
14 yourself familiar with data in large areas of the
15 San Juan Basin that is within the boundaries of this
16 pool?

17 A. Yes.

18 Q. Have you been asked, in association with
19 this case, to focus on certain issues of
20 pre-approval of the Basin-Mancos pool concerning
21 commingling?

22 A. Yes.

23 Q. And with regards to that work, do you now
24 have certain engineering conclusions and opinions?

25 A. Yes.

1 MR. KELLAHIN: We tender Mr. Dryonis [sic]
2 as an expert reservoir engineer.

3 CHAIRMAN BROOKS: So qualified.

4 Q. (By Mr. Kellahin) Let's turn now to the
5 package of exhibits and start with Tab 15,
6 Mr. Dryonis. And if you'll look at page 10 of this,
7 that begins your presentation, does it not?

8 A. Yes.

9 Q. The application asks the Examiner to focus
10 on this issue of pre-approval of the Mancos for
11 commingling purposes?

12 A. Yes.

13 Q. In terms of commingling, can you
14 characterize the types of well bores that are going
15 to be commingled? Are we dealing with Mancos alone?

16 A. No.

17 Q. You're dealing with what, sir?

18 A. Commingling the Mesaverde, the Dakota,
19 with the Mancos.

20 Q. As part of that study, have you made
21 conclusions about whether or not the division could
22 preapprove applications without the submittal of
23 additional data with regards to pressure?

24 A. Yes.

25 Q. And what is your conclusion about

1 pressure?

2 A. My conclusion is that the Mancos is at or
3 below hydrostatic pressure, so it won't pose any
4 threat to the Mesaverde or the Dakota in case of an
5 extended shutin.

6 Q. When you look at the opportunity for
7 commingling this production, are you seeing any
8 compatibility problems if you were to commingle any
9 portion of the Mancos formation with production from
10 the Mesaverde or the Dakota?

11 A. No. We haven't found any sign of
12 incompatibility of the fluids between these three
13 formations.

14 Q. In terms of value of product, do you see
15 any problem in ranges of BTU content if the product
16 is allowed to be commingled with these other
17 reservoirs?

18 A. No. The BTU content between the Mancos
19 and the Mesaverde and the Mancos and the Dakota is
20 not greatly different.

21 Q. When we look at the economic components of
22 doing this work, have you satisfied yourself that
23 it's not feasible to drill a well just to the Mancos
24 formation?

25 A. It will be uneconomic to drill at this

1 time, alone, under current conditions.

2 Q. In terms of the allocation of that
3 production, there's available to your company and
4 others various methods of allocation, are there not?

5 A. Yes.

6 Q. And what are some of the methods that you
7 utilize?

8 A. The spinner is the most common method to
9 allocate production from these three formations, and
10 it's what we have been using in our tri-mingle
11 wells.

12 Q. Let's turn now to page 11. This is a map,
13 now, that -- it's got lots of information. Let's
14 take it in pieces.

15 A. Yes.

16 Q. First of all, show us what the underlying
17 base map is, sir.

18 A. There are five points on -- that I want to
19 convey with this map.

20 The circle represents wells -- existing
21 wells in the tri-mingles in the Mesaverde, Dakota,
22 and Mancos that have been recently completed by
23 different operators. These wells have been approved
24 by C-107As for the past six years.

25 Q. Okay. Let's look for an example. Let's

1 look in the first ellipse -- the first circle,
2 Number 1.

3 A. Yes.

4 Q. Within that area, we're up near the Navajo
5 reservoir. And I see various types of data points.
6 What is the varieties of the data utilized in
7 Circle 1?

8 A. Circle 1, you can see green circles.
9 Those are tri-mingle wells -- Mesaverde, Dakota, and
10 Mancos -- completed by WPX, formerly Williams, over
11 the past six years.

12 That red dot -- the red dots represent
13 tri-mingle wells that Conoco has completed recently.

14 And then the triangle -- red triangles
15 represent our future plans for the next three years.

16 Q. Am I correct in reading this display that
17 the area shaded in the light green, that represents
18 the boundaries of the Rosa unit?

19 A. Yes.

20 Q. And for the Rosa unit, the division's
21 already pre-approved the commingling of Mesaverde
22 with the Dakota and the Mancos?

23 A. Yes.

24 Q. Why does the circle --

25 CHIEF ENGINEER EZEANYIM: Excuse me. I

1 want to interrupt here before I forget it.

2 Mr. Pertuso, have you ever testified
3 before the division?

4 THE WITNESS: Yes.

5 CHIEF ENGINEER EZEANYIM: You have. Okay.

6 Now, let's go back to that Circle Number
7 1. You said tri-mingle activity over six years. Is
8 this by pre-approval or approval from the division?

9 THE WITNESS: There are two different
10 cases. For the case of Williams, those green dots,
11 Williams has received pre-approval in Rosa unit to
12 tri-mingle Mesaverde, Dakota, and Mancos. It is
13 pre-approved, yes.

14 CHIEF ENGINEER EZEANYIM: What is the
15 order number that approved it?

16 THE WITNESS: It's in --

17 MR. KELLAHIN: It's in the book, right?

18 THE WITNESS: It's in the book, yes. I'm
19 just going to see if I have it in my --

20 MR. KELLAHIN: It's Tab 10.

21 CHIEF ENGINEER EZEANYIM: Tab 10? Okay.

22 THE WITNESS: I want to say 12991.

23 CHIEF ENGINEER EZEANYIM: Okay. 12991.

24 THE WITNESS: Okay. Now, back to you.

25 Sorry.

1 CHIEF ENGINEER EZEANYIM: Okay. Now, you
2 can continue. I got it.

3 MR. KELLAHIN: Thank you.

4 A. Back to your questions, as you can see
5 there are two red dots outside the Rosa, the
6 boundaries of the Rosa unit.

7 CHIEF ENGINEER EZEANYIM: Yes.

8 THE WITNESS: Those are tri-mingle wells
9 that ConocoPhillips has recently completed. Those
10 were approved through C-107X.

11 CHIEF ENGINEER EZEANYIM: Okay. Were
12 approved tri-mingle?

13 THE WITNESS: Yes.

14 CHIEF ENGINEER EZEANYIM: Okay. Go ahead.

15 Q. (By Mr. Kellahin) What accounts for the
16 fact that these areas are grouped in Circle 1?

17 A. The reason that I grouped them is going to
18 help me to, as we move forward in my -- in my
19 exhibits, I want to show performance observed in the
20 Mancos in these areas. It will help me build on the
21 point that the Mancos is marginal production, and
22 it's going to be uneconomic to produce as a
23 standalone.

24 Q. Is one of the reasons we're seeing the
25 circle located in Area 1 the fact that there are

1 existing Mesaverde, Dakota wells for which the
2 Mancos now is tri-mingled?

3 A. Yes.

4 Q. And that's why it would be here?

5 A. Yes.

6 Q. Is that true of the other three circles?

7 A. Yes.

8 Q. You said you had five points you wanted to
9 make about this display. That was the first one?

10 A. Yes.

11 Q. What's the next one?

12 A. If you go the yellowish polygons to the
13 south of the map, that represents Gallup existing
14 pools that are pre-approved to tri-mingle the Mancos
15 with the Mesaverde and Dakota.

16 CHIEF ENGINEER EZEANYIM: Which ones?

17 THE WITNESS: The yellow polygons.

18 CHIEF ENGINEER EZEANYIM: In which circle?

19 THE WITNESS: The polygons in yellow.

20 Everything in yellow to the south, those are
21 existing Gallup pools.

22 CHIEF ENGINEER EZEANYIM: Oh, yellow.

23 THE WITNESS: Yellow, yes.

24 Q. (By Mr. Kellahin) Your color yellow will
25 appear in each of the four, the yellow color, in

1 each of the four?

2 A. Yes.

3 Q. Now when you go over to the legend, let's
4 make that point. If you go to the lower left corner
5 you can find the pre-approved pools in the yellow
6 color that are further displayed on your bigger map.

7 Do you see that?

8 A. Yes.

9 Q. That's what you just talked about?

10 A. Yes.

11 Q. Now, let's talk about the next color up
12 which is -- it looks like a light gray or a light
13 blue.

14 Do you see that color?

15 A. Yes.

16 Q. That is what, sir?

17 A. Those are Mancos Dakota pools. In
18 essence, these pools are pre-approved to
19 commingle -- in essence, we're commingling the
20 Dakota and the Mancos in these pools.

21 Q. And with regards to this, it doesn't
22 matter if the pool is a well, a pool that produces
23 oil and gas, or oil and gas from another pool?

24 A. No.

25 Q. It's commingled regardless of what label

1 you put on the product?

2 A. Yes.

3 Q. If it's a gas well and an oil well they
4 are commingled?

5 A. Yes.

6 Q. And there's a procedure for doing that?

7 A. Yes.

8 Q. When you go up to the next color there's a
9 light purple that says "Pressure."

10 Do you see the color code?

11 A. Yes.

12 Q. Now when I look at pressure and look over
13 at the big map, there are going to be areas,
14 rectangular areas, that are shaded in that purple.

15 What does that depict?

16 A. Those are existing Gallup pools that, even
17 though they're not approved to commingle the Mancos
18 with the Mesaverde and Dakota, we have pressures in
19 those areas that tell us that the Mancos is at or
20 below hydrostatic pressure. That's the reason I
21 included those there.

22 Q. Now, over on the lower right-hand side you
23 have a circle?

24 A. Yes.

25 Q. That is subdivided. And in the center of

1 that circle is the Number 144. What does that
2 represent?

3 A. That represents the number of wells that
4 have been -- that have been completed over the past
5 years by several operators. These are tri-mingled
6 wells in the Mancos, Mesaverde, and Dakota that have
7 been approved by the commission either because they
8 are pre-approved pools or through C-107A.

9 CHIEF ENGINEER EZEANYIM: Where is the
10 144?

11 MR. KELLAHIN: In the center of the blue
12 circle on the right -- bottom right.

13 CHIEF ENGINEER EZEANYIM: Oh, okay.

14 MR. KELLAHIN: In the center is 144.

15 CHIEF ENGINEER EZEANYIM: And what do you
16 say -- it represents what?

17 THE WITNESS: These are wells, tri-mingled
18 wells, completed over the past six years where we
19 are commingling the Mesaverde with the Mancos and
20 the Dakota.

21 CHIEF ENGINEER EZEANYIM: These are
22 approved by the --

23 THE WITNESS: Either pre-approved -- yeah,
24 being approved through C-107As -- or because they
25 fall into pre-approved pools, for example, Rosa.

1 CHIEF ENGINEER EZEANYIM: Okay. What
2 percentage is on that pre-approval on that 144?

3 THE WITNESS: You can -- if you go to that
4 chart you can see Williams has 59 wells out of the
5 144. That represents around 36 percent.

6 CHIEF ENGINEER EZEANYIM: Okay. And those
7 are pre-approved because it's in the Rosa unit?

8 THE WITNESS: Yes. The rest have been
9 approved through C-107As.

10 CHIEF ENGINEER EZEANYIM: But the rest
11 have been approved here in the Santa Fe office.

12 Is that fair to say?

13 THE WITNESS: Yes.

14 Q. (By Mr. Kellahin) This is the population
15 of wells indicated in the gray block -- you say this
16 is your tabulation of tri-mingles in the last six
17 years?

18 A. Yes.

19 Q. And you have subdivided it by company?

20 A. Yes.

21 Q. Is there anything else about this display
22 that you want to direct our attention to that we
23 have not yet covered?

24 A. Yes. The red triangles represent
25 ConocoPhillips' plan on doing tri-mingles in the

1 next three years. Half of those wells have been
2 approved or are being processed by the Santa Fe
3 office.

4 Q. Let's move to the next topic now,
5 Mr. Pertuso.

6 If you, as a reservoir engineer, are going
7 to look at the opportunity for gas production in the
8 Mancos, then I think your first building block is to
9 construct some decline curves that would be
10 representative of production throughout the pool?

11 A. Correct.

12 Q. So when we turn to page 12, is that not
13 the exercise you are commencing here?

14 A. Yes.

15 Q. Rather than go through all of these sets,
16 am I correct in understanding that you have a block
17 that represents two plots, and each pair of plots
18 relates back to the previous map and shows us one of
19 the four areas?

20 A. Yes.

21 Q. Let's go to page 12 now, and let's pick a
22 plot that you want to use as an example and describe
23 for the Examiner what it is that you're doing here.

24 A. What I'm showing here is the actual
25 observed performance of the Mancos in these areas.

1 If you'll look to the first plot to the
2 left, that's what we have observed in the Williams,
3 in the Rosa unit, Mancos performance.

4 Q. Now just a minute, now. That's the
5 Number 1 area?

6 A. Yes, the Rosa unit.

7 Q. Now before you leave page 12, go down to
8 the bottom. You've got some values here that are
9 shaded in -- highlighted in yellow.

10 A. Yes.

11 Q. Would you define for the record what each
12 of these four codes are, starting with the letter B?
13 What does that represent?

14 A. Yeah. Let me back up a little bit to make
15 a further explanation.

16 Q. Sure.

17 A. The blue points represent actual
18 production.

19 The red line is our history match and
20 forecast, which is the performance that we should
21 expect in that area for the Mancos.

22 The table on the bottom of those plots is
23 just expressing the same red forecast in decline
24 curve analysis parameters.

25 The B factor is the hyperbolic

1 coefficient. It just defines how your decline
2 decreases after you deplete the reservoir. The DI
3 represents initial decline. QI is the initial rate
4 we should expect in these wells in this area. And
5 then the QA is that abandonment rate.

6 I expressed it in that way because that's
7 normally how we run our economics. But in essence,
8 it's a different way to see that forecast.

9 CHAIRMAN BROOKS: And what was the B?

10 THE WITNESS: The B is the hyperbolic
11 coefficient.

12 Q. (By Mr. Kellahin) If you'll turn the page
13 to 13, we have a larger copy of the information on
14 the decline curve plots for Area 1. Let's turn to
15 that.

16 A. (Witness complies.)

17 Q. Describe again what you have done now with
18 the actual production allocated to that particular
19 well. And that's in the blue?

20 A. Yes. This is an enlarged view from the
21 previous slide. Basically, we match -- history
22 matched that actual performance and then use the
23 parameters to forecast production going forward for
24 the Mancos.

25 Q. And for each of the four areas you have a

1 similar slide as you put on page 13 which would then
2 be 14, 15, and then 16?

3 A. Correct.

4 Q. Once you have taken your actual
5 production, history matched it, and forecasted a
6 projected decline, using certain assumptions, you
7 now know the volume of gas that you could produce at
8 that location?

9 A. Correct.

10 Q. You then apply certain economic cutoffs
11 and determine whether it's economic to drill this?

12 A. Correct.

13 Q. Let's turn to the economic analysis.
14 You'll find that on page 17.

15 A. (Witness complies.)

16 Q. First of all, before you describe it, tell
17 us how this page is organized.

18 A. In the middle the plots represent the
19 expected performance that we expect from the Mancos
20 in those different areas.

21 These red lines is the average performance
22 observed in all of those wells recently completed as
23 tri-mingles in basically the Mancos.

24 What we did is, based on that performance,
25 we run economics using some cost assumptions for

1 drilling and completing and gas price assumptions.
2 In essence, underneath each plot you can see the NPV
3 is negative. Basically, the net present value, if
4 we were to drill those wells as a standalone using
5 those assumptions, we'll be losing money.

6 The message here I'm trying to convey is
7 that unless we commingle the Mancos with the
8 Mesaverde and Dakota; and, therefore, split those
9 billing costs, under this price environment Mancos
10 research will be stranded.

11 If I could have your attention to the last
12 line of those tables, that number represents the
13 amount of reserve that we should expect from the
14 Mancos to be recovered in those areas. And if we
15 don't do -- if we don't commingle the Mancos with
16 the Mesaverde and Dakota, that's the amount of
17 reserve we believe will be stranded.

18 One -- go ahead.

19 CHIEF ENGINEER EZEANYIM: Yeah.. Before
20 you go -- you are using 10 NPV as your cutoff. 10
21 NPV is your cutoff. Anything below that is
22 negative. Is that what you're saying?

23 THE WITNESS: I'm discounting my economics
24 on 10 percent.

25 CHIEF ENGINEER EZEANYIM: Yes. Because

1 you told me that, you know, if you look at it, and
2 they're all negative, you're not going to drill the
3 well if you're going to be negative. What is your
4 cutoff on the MCF?

5 THE WITNESS: I haven't run it on
6 sensitivity. If I understand your question, you're
7 asking what's the minimum gas price we need to
8 support standalone development of the Mancos?

9 CHIEF ENGINEER EZEANYIM: Okay. Then tell
10 me that, too.

11 THE WITNESS: I haven't run that
12 sensitivity. That's something I can get back with
13 you.

14 CHIEF ENGINEER EZEANYIM: Okay.
15 Go ahead.

16 A. Something to notice is that we haven't
17 seen significant oil production from these wells.
18 As you can see, the amount of reserve we're
19 forecasting, based on actual performance in these
20 four areas that are very spread throughout the
21 basin.

22 Q. (By Mr. Kellahin) Going back to
23 Mr. Ezeanyim's question, can we answer it by
24 looking, for example, on page 15?

25 When we look at the left-hand side of one

1 of those displays, you're looking at MCFs per day.

2 Are you cutting off your curve at 10 MCF per day?

3 Is that how to read this?

4 A. That will be cut based on an assumed
5 operating cost or economic limit.

6 Q. I understand that. But in terms of a
7 number of gas volumes per day --

8 A. Yes.

9 Q. -- this is 10 MCF?

10 A. Yes. It's actually 5.

11 CHIEF ENGINEER EZEANYIM: Actually 5.

12 THE WITNESS: We are running our forecast
13 to 5 MCF a day.

14 CHIEF ENGINEER EZEANYIM: Okay. When you
15 go down to 17, I want you to explain your NPV
16 calculations here. It's very important. Start with
17 the left corner. You know, what are you trying to
18 do? Because I want to understand what you're trying
19 to do, you know, with your NPV calculations.

20 THE WITNESS: So basically what we're
21 trying to see, what's the present value of drilling
22 standalones. Positive means that when you
23 incorporate the cash flows you are getting because
24 of your production minus your capital, your
25 investment in what you need to do, if it is

1 positive, it means that your cash flow from the
2 production overstates your investment.

3 CHIEF ENGINEER EZEANYIM: I'm
4 understanding, yes.

5 THE WITNESS: Okay. If the factor is
6 negative, what that means is we're not making enough
7 production or we are not having enough cash flow to
8 pay for those investment costs of drilling
9 standalone wells.

10 Does that answer your question?

11 CHIEF ENGINEER EZEANYIM: Not quite.

12 THE WITNESS: Okay.

13 CHIEF ENGINEER EZEANYIM: Go back. Now,
14 you have a 10 percent rate of return, right?

15 THE WITNESS: We're discounting that at
16 10 percent. The NPV rule, if you're discounting at
17 10 percent, then your rate of return should be close
18 to 10 percent.

19 CHIEF ENGINEER EZEANYIM: I'm trying to
20 understand what you're trying to demonstrate with
21 these calculations.

22 THE WITNESS: What I'm trying to
23 demonstrate is that we have negative returns if we
24 drill these wells as standalones. Your rate of --
25 basically, your rate of return will be negative.

1 We'll be losing money.

2 Is that clear?

3 CHIEF ENGINEER EZEANYIM: Well, is it
4 indicated in these calculations? Is that --

5 THE WITNESS: The fact that we are
6 discounting at 10 percent --

7 CHIEF ENGINEER EZEANYIM: Yes.

8 THE WITNESS: -- and still your net
9 present value is negative, that tells you that your
10 rate of return is way below that 10 percent.

11 CHIEF ENGINEER EZEANYIM: Let me ask the
12 question a different way.

13 THE WITNESS: Sure.

14 CHIEF ENGINEER EZEANYIM: Okay. You drill
15 a well, a gas well or a well, and then you have done
16 a calculation using your net present value with the
17 return of 10 percent. I want to see where you're,
18 you know, getting the negative return on this
19 calculation below here.

20 Maybe I -- what are you trying to
21 demonstrate there? Okay. Now, let's read it. The
22 gas price is \$2/MCF.

23 THE WITNESS: Yes.

24 CHIEF ENGINEER EZEANYIM: You estimated,
25 what, 2.5?

1 THE WITNESS: 2.5 percent.

2 CHIEF ENGINEER EZEANYIM: Okay. And then
3 you drill the well with 1.25?

4 THE WITNESS: Yes.

5 CHIEF ENGINEER EZEANYIM: And then you --

6 THE WITNESS: By recovering --

7 CHIEF ENGINEER EZEANYIM: You recover at
8 29 MCF?

9 THE WITNESS: Yes.

10 CHIEF ENGINEER EZEANYIM: Okay. Then what
11 does that say?

12 THE WITNESS: So what that says is --

13 CHIEF ENGINEER EZEANYIM: So you multiply
14 29 MCF by \$2 and you are losing money.

15 I want you to show that negative. That's
16 what I wanted you to show, that you are getting a
17 negative return. Because if you multiply it, I
18 think you're not going to get \$1.2 million if you do
19 that on that -- is that the estimated recovery, 251?

20 THE WITNESS: Yes. That is the reserve we
21 expect to recover.

22 CHIEF ENGINEER EZEANYIM: You want me to
23 do the calculation myself? You could have shown me
24 this is negative by -- you know. But what you have
25 done there is to show me that all you're getting is

1 negative, and I would see it immediately.

2 Why I'm asking questions, because I wanted
3 to see if I do NPV calculations too, to demonstrate
4 that I'm getting a negative; therefore, I would
5 advise the company there's no way to go in there.

6 Now, what you're trying to let me know,
7 you made me do the calculation myself, which is
8 okay. I can do it.

9 THE WITNESS: Okay.

10 MR. KELLAHIN: Mr. Ezeanyim, we are happy
11 to redo the calculation. There's no reason for you
12 to do it for us. We're happy to do that.

13 CHAIRMAN BROOKS: You may continue.

14 MR. KELLAHIN: Thank you.

15 Q. (By Mr. Kellahin) So when we look at the
16 set of exhibit displays for page 17, you have
17 examples for the four areas?

18 A. Yes.

19 Q. And then when we turn past that, you're
20 looking at these Mancos standalone economics?

21 A. Yes.

22 Q. You're again displaying the same
23 information in a larger visual, so that we can see
24 the details of that information?

25 A. Yes.

1 Q. And then that would be on 17, 18, and 19?

2 A. And 19, yes.

3 Q. Now, let's turn to page 20.

4 A. (Witness complies.)

5 Q. Down at the bottom you have a gray block
6 that repeats a block we saw earlier, where you have
7 a population of 144 applications that were filed and
8 approved for tri-mingles, right?

9 A. Yes.

10 Q. Have you now organized this to show what
11 ConocoPhillips has presented?

12 A. Yes.

13 Q. And show us how you have done that.

14 A. If you recall from my first exhibit, I
15 displayed in red triangles the future wells that
16 Conoco is expecting to drill in the next three
17 years.

18 As I said, half of those have been already
19 processed. And 27 out of those 60 wells have been
20 already approved by the commission through C-107As
21 here in Santa Fe.

22 Q. Have you received any rejections from
23 those, any of those?

24 A. No, we haven't.

25 Q. When I look over on the left side of this

1 display there's a yellow and a green color code.

2 What -- is this the population of the
3 total 27?

4 A. This is a snapshot of the population as of
5 April. Keep in mind that as we keep getting these
6 wells ready to drill, this amount of file wells
7 keeps increasing.

8 The chart shows the wells we have filed.
9 And I highlighted in green the ones that have been
10 already approved by the commission here in Santa Fe.

11 Q. Okay. Now, let's turn to what you have
12 done about tabulating the available data on
13 pressures, Mr. Pertuso.

14 A. Sure.

15 Q. If you'll turn to what I have marked as
16 page 21.

17 A. (Witness complies.)

18 Q. Before you describe the details, first of
19 all, tell us what we're seeing.

20 A. What you're seeing is the amount of wells
21 where we have data from the amount of pools where
22 Mancos is already being commingled with Mesaverde
23 and Dakota. And they're also looking at pools where
24 we have pressure in the Mancos that show the Mancos
25 is at or below hydrostatic pressure so it won't pose

1 any threat to the other formations if commingled.

2 Q. Are you satisfied, as a reservoir
3 engineer, that you have a population of data points
4 that are indicative of all the flavors of pressures
5 you could derive from the entire Basin-Mancos pool?

6 A. I do. That, in conjunction to what Zack
7 Swaney talked about, the continuity of the Mancos,
8 makes me feel very comfortable that these points had
9 a very good spread and they can be very well
10 extrapolated to other areas that we don't have here.

11 Q. Mr. Pertuso, would you explain what it
12 means as a reservoir engineer, in terms of
13 commingling, if you have pressures either at or
14 below the hydrostatic rating? What does that mean?

15 A. What that means is, in case of a long
16 shutin you won't have any pressures that will exceed
17 frack -- fracking gradient from the other formation
18 that could jeopardize productivity.

19 Q. Do you find any evidence that would cause
20 you to believe that the division should not grant
21 you pre-approval for pressure issues with regards to
22 commingling of Dakota, Mesaverde, and Mancos?

23 A. No.

24 Q. Let's turn now to page 22.

25 A. (Witness complies.)

1 Q. What is the topic here on page 22?

2 A. On 22 we're showing pressure gradient for
3 all of those wells that are either being processed,
4 approved, or are to be submitted to the division.

5 If you go to the third column of the
6 table, to the right it shows that pressure gradient
7 that we would expect in the Mancos in all of those
8 locations.

9 Overall, they are at or below hydrostatic.
10 We have some cases where we have slightly higher
11 than hydrostatic, but it's still way below the .6
12 that the rule states.

13 Q. So when you take the whole table, over on
14 the upper right-hand corner you say minimum,
15 maximum, and average.

16 A. Yes.

17 Q. Is there a pressure gradient cap number
18 that you are worried about, as a reservoir engineer,
19 that says, "I now have a well that exceeds the
20 number I'm worried about"?

21 A. As the rule states, .6 is the maximum
22 allowable.

23 Q. So as we go down the population, or the
24 inventory of these, what, 46 wells on the sheet?

25 A. Yes.

1 Q. Of the 46 wells, all of these are below
2 the 0.6 number?

3 A. That's correct.

4 Q. In addition to all of that, do you have a
5 grouping of seven wells for which you have even more
6 specific pressure information?

7 A. Yes.

8 Q. Let's turn to page 23 now, Mr. Pertuso,
9 and look at your data from a unique population of
10 seven, and tell us how you use that to make general
11 engineering conclusions.

12 A. Yeah. To get some background, what we
13 have done is we have isolated the Mancos and
14 measured actual pressure of the sand face.

15 What we have found is just confirming our
16 estimates that the Mancos is at or below hydrostatic
17 gradient. So these points confirm that the Mancos
18 is not overpressured and then won't pose any threat
19 if commingled with Mesaverde and Dakota.

20 Q. Okay. Let's start with the top one. It
21 says the Rosa unit. Do you see that in the block?

22 A. Yeah.

23 Q. Start with the first well, Rosa unit 634A.

24 A. 634A.

25 Q. You found the location, the operator, and

1 tell us how to read the balance of the columns.

2 A. Sure. The measured pressure in the Mancos
3 in this well is 2,300 pounds. By the rule, the
4 Mancos could go all the way to 5- -- to 4,000 before
5 posing a threat. That's assuming the .6 frack
6 pressure gradient that the rule states. All of
7 those pressures are way below the maximum pressure
8 allowed by the rule.

9 Q. Have you found any instances in your
10 research where the division has denied commingling
11 because they have busted the pressure qualification
12 rule?

13 A. Not to my knowledge.

14 Q. Let's turn to your final display. If
15 you'll look at page 24.

16 A. (Witness complies.)

17 Q. Let's talk for a moment about this
18 composition issue. When we look at gas composition,
19 how does that fit into the regulator's decision
20 about commingling?

21 A. We need to make sure that the BTUs -- or
22 that the value of the production from each of the
23 commingled pools won't dilute or won't lose value as
24 a result of commingling if there is a big difference
25 in BTU.

1 What I have in this exhibit is to show how
2 the difference in BTU between the Mesaverde and the
3 Dakota is greater than what you would expect between
4 the Mancos and the Mesaverde and the Mancos and the
5 Dakota. And the Mesaverde and the Dakota are
6 already pre-approved pools for commingling.

7 Just to walk you through that chart, the
8 first columns, those are comparing Mancos gas to
9 Dakota gas. You can see the Dakota is a leaner gas,
10 more methane concentration, and the Mancos is a
11 richer gas, more heavy.

12 Now if you move to the lower part of that
13 chart, when you compare the gas from the Mancos to
14 the Mesaverde, the Mesaverde is actually richer than
15 the Mancos. And that's what I was saying -- what I
16 was referring to when saying that the difference in
17 BTU between the Mesaverde and the Dakota is greater
18 than what you should expect from the Mancos and the
19 other three formations.

20 Q. Again, in your review of the approvals by
21 the division, have you seen any difficulties with
22 the compatibility of constituents in the values or
23 the composition of fluids?

24 A. Not to my knowledge.

25 Q. You don't see any that you have found that

1 were rejected for this reason?

2 A. No.

3 Q. In conclusion then, Mr. Pertuso, do you
4 believe that there is adequate reservoir engineering
5 information upon which to adopt the pre-approval
6 status for the Basin-Mancos gas pool for these
7 various components that we have described in your
8 testimony?

9 A. Yes. There's enough precedent to prove
10 this pre-approval.

11 MR. KELLAHIN: Mr. Examiner, we move the
12 introduction of Mr. Pertuso's exhibits behind
13 Exhibit Tab 15. And they will be pages 10 through
14 24.

15 CHAIRMAN BROOKS: Okay. Exhibit 15, pages
16 10 through 24 are admitted.

17 MR. KELLAHIN: That concludes my
18 examination, Mr. Pertuso.

19 CHAIRMAN BROOKS: Okay. Once again, I'll
20 let Mr. Ezeanyim proceed with his examination.

21 CHIEF ENGINEER EZEANYIM: Okay. Let's
22 assume for the moment that the fluids are
23 compatible. Let's go back to 23.

24 THE WITNESS: Yes.

25 CHIEF ENGINEER EZEANYIM: What is the

1 difference between -- what is the difference between
2 measured pressure and estimated pressure?

3 THE WITNESS: Sure. As we're taking data
4 points to estimate pressures in new locations, based
5 on the continuity -- geological continuity of the
6 Mancos, we are able to interpolate those points far
7 away from the actual pressure measure. We have
8 measured pressure in those wells, and they have
9 confirmed that our estimates are in agreement with
10 the actual pressure.

11 CHIEF ENGINEER EZEANYIM: Okay. There is
12 some variation. But then if you look at them, I
13 don't know what the estimate -- I'm really
14 interested in if the previous estimated pressure
15 measure is right, because that's what we're looking
16 at. You don't want that measuring criteria to cloud
17 what we're doing here. That's really all I'm
18 looking at.

19 THE WITNESS: Okay.

20 CHIEF ENGINEER EZEANYIM: So I want to
21 understand why you estimated pressure. Why did you
22 want to put estimated pressure? Is that to show
23 that as close?

24 THE WITNESS: Yes. I am not showing our
25 estimated pressure in this chart.

1 CHIEF ENGINEER EZEANYIM: Okay.

2 THE WITNESS: This chart only shows Mancos
3 measured pressure. That's all it shows. It's to
4 confirm that the Mancos is not overpressured.

5 CHIEF ENGINEER EZEANYIM: And then you're
6 estimating it in the Dakota?

7 THE WITNESS: The Dakota, those are
8 estimates, yes.

9 CHIEF ENGINEER EZEANYIM: Okay. Now, how
10 do you get this maximum pressure allowed? Are you
11 using .65?

12 THE WITNESS: Exactly. Basically we
13 multiply the top perforations -- in this case most
14 of those the Mesaverde -- times the .6. And that's
15 how we come up with that, yes.

16 CHIEF ENGINEER EZEANYIM: And you compare
17 the lowest zone that you are going to commingle, and
18 then you think there will be no issue with the
19 formation damage?

20 THE WITNESS: Yes. That's correct.

21 CHIEF ENGINEER EZEANYIM: Did you look at
22 crush flow? Who should answer that question?

23 THE WITNESS: Yes. We -- we didn't see
24 any crush flow issues. It is shown in pressures --
25 shown in times. If there is any crush flow at the

1 end, since we have fixed allocation, that gas is
2 going to be recovered. And we don't have great
3 pressure differences between those formations.

4 CHIEF ENGINEER EZEANYIM: Yes. And in
5 doing your calculation, you assume most of them are
6 hyperbolic, right?

7 THE WITNESS: Correct, sir. They just
8 come up from low permeability.

9 CHIEF ENGINEER EZEANYIM: Did you ever try
10 to calculate the mobility ratio?

11 THE WITNESS: I'm sorry. Say again?

12 CHIEF ENGINEER EZEANYIM: Did you
13 calculate any mobility ratios? No?

14 THE WITNESS: No.

15 CHIEF ENGINEER EZEANYIM: Out of the seven
16 applications -- or all of those applications you
17 have sent to the Santa Fe office --

18 THE WITNESS: That's correct.

19 CHIEF ENGINEER EZEANYIM: -- 19 approved
20 and 8 are pending?

21 THE WITNESS: Yes.

22 CHIEF ENGINEER EZEANYIM: Is pending with
23 us right now?

24 THE WITNESS: Yes. And this is an ever
25 growing number. It's just a snapshot we took. As

1 we keep developing these projects to be
2 implementing, we keep submitting more applications.

3 CHIEF ENGINEER EZEANYIM: In those
4 applications that were approved in the Santa Fe
5 office, have you seen anything abnormal by
6 commingling both or trying -- you know, doing the
7 three commingles, Mancos, Dakota, and Mesaverde?

8 You've been operating for a long time.
9 Did you see any problems?

10 THE WITNESS: We haven't. We haven't seen
11 any problem that we haven't seen in our normal
12 Mesaverde, Dakotas. We haven't seen anything
13 exceptional on any new issue associated with
14 including the Mancos.

15 CHIEF ENGINEER EZEANYIM: Okay. Let's go
16 to the pool, to the three pools. I know you talked
17 at length about it, the BTUs or whatever you have
18 there.

19 THE WITNESS: Yes.

20 CHIEF ENGINEER EZEANYIM: The BTUs of the
21 composite are compatible -- I mean the BTUs from
22 these three zones, three pools. Are you telling
23 me -- giving me an example of the BTUs of those --
24 gas in the Mancos, the Dakota, and the Mesaverde?

25 I didn't see any BTUs to say that these

1 are very compatible.

2 As you know, BTU is how we sell our gas,
3 right?

4 THE WITNESS: Yes.

5 CHIEF ENGINEER EZEANYIM: Okay. I don't
6 want to commingle 1,200 unit BTU with 700.

7 THE WITNESS: You're right.

8 CHIEF ENGINEER EZEANYIM: So what is the
9 variability on these BTUs?

10 THE WITNESS: As I said, we have found
11 more variability between the gases of the Mesaverde
12 and the Dakota.

13 CHIEF ENGINEER EZEANYIM: Than even the
14 Mancos. Is that what you're saying?

15 THE WITNESS: The Mancos is -- yes. There
16 is less difference between Mancos and Mesaverde and
17 Mancos and Dakota.

18 CHIEF ENGINEER EZEANYIM: And now you're
19 saying, okay, because you are -- to commingle the
20 Mesaverde and the Dakota, and this one is even
21 better, is that what you're trying to say?

22 THE WITNESS: What I'm saying, if there is
23 a BTU difference it will be more accentuated between
24 the Mesaverde and Dakota, as far as diluting value
25 of your products. The Mancos is in between those,

1 is what we have found.

2 CHIEF ENGINEER EZEANYIM: You know, I
3 asked you earlier if you had been before us. Don't
4 be offended when we are asking questions. We are
5 trying to explore whether I make a recommendation in
6 this case. You know, if we understand what we're
7 doing, we might make a good recommendation. So
8 don't take it for anything. We are trying to come
9 up with the truth.

10 THE WITNESS: Not at all. Keep them --
11 we're here to answer all your questions, make you
12 feel comfortable to approve this.

13 CHIEF ENGINEER EZEANYIM: Right. I'm glad
14 you understand that.

15 THE WITNESS: Yes.

16 CHIEF ENGINEER EZEANYIM: Okay. I'm
17 sorry.

18 Mr. Brooks?

19 CHAIRMAN BROOKS: Okay. I wanted to go
20 back to the question that I asked your geologist --
21 geological witness.

22 You were here, were you not, in the room
23 when I made my lengthy speech on the -- what was
24 involved in applying the rules in the R-12984?

25 THE WITNESS: Yes.

1 CHAIRMAN BROOKS: The bottom line question
2 then is: Since -- in order to apply the order you
3 propose for us to issue, which is an order that will
4 allow commingling between wells that are classified
5 as Basin-Mancos gas, and the wells -- and completed
6 also in other zones, we have to first determine
7 whether or not that well in the Mancos is a gas well
8 or an oil well, if it is located within one of these
9 Gallup pools or in the periphery of one of these
10 Gallup pools.

11 So our basic question is: Does that
12 create a problem for applying the order you're
13 asking us to enter?

14 THE WITNESS: From my engineering
15 perspective, you can have an oil formation commingle
16 with gas. We'll allocate appropriately, and we have
17 been doing that in those pools for a long time.

18 I don't see any performance issue if
19 you're getting a lot of oil from the Mancos and then
20 gas from the Mesaverde and Dakota.

21 Have you seen -- as you saw in my
22 exhibits, we haven't seen a lot of oil production
23 from the Mancos in these wells we have completed
24 over the past six years.

25 CHAIRMAN BROOKS: Well, I would have to

1 take your word for that, in an engineering
2 perspective. But I don't believe that that solves
3 the issue of what you're asking for in this case and
4 whether or not maybe we need to approach it from a
5 somewhat different perspective.

6 Because given the way our existing order
7 works, the first thing we have to do to determine
8 whether we have a well that is in the Basin-Mancos
9 gas pool, if it is within one of these zones, is to
10 determine its gas/oil ratio.

11 And to do that I would assume that we have
12 to isolate the Mancos and produce only the Mancos,
13 so we can determine what the gas/oil ratio is from
14 the Mancos.

15 THE WITNESS: Correct.

16 CHAIRMAN BROOKS: But that's not what you
17 contemplate doing, correct?

18 THE WITNESS: Back to that statement, I
19 have to say in some instances, due to the very low
20 production of the Mancos, it can be even cost
21 prohibitive to do so.

22 CHAIRMAN BROOKS: Yes. That does not
23 surprise me.

24 THE WITNESS: Yes.

25 CHAIRMAN BROOKS: So then is there a --

1 are the production characteristics of the Mancos
2 such that we're going to be able to tell, without
3 doing that kind of testing, whether or not in the
4 Mancos alone we are in a gas productive zone or an
5 oil productive zone? Is there a practical way of
6 doing it?

7 THE WITNESS: Our spinner logs -- spinner
8 logs is a technology that would allow you to measure
9 gas, oil, and water from every one of these
10 formations.

11 CHAIRMAN BROOKS: So it would tell you
12 separately the gas and the oil production from the
13 Mancos within some period of time?

14 THE WITNESS: Yes.

15 CHAIRMAN BROOKS: Mr. Kellahin, in his
16 opening remarks as I understood him, suggested that
17 there are some -- and I believe this was consistent
18 with the geologist's testimony -- that there are
19 distinct zones within the Mancos within which you
20 have a predominance of oil and predominance of gas.

21 THE WITNESS: Yes.

22 CHAIRMAN BROOKS: And so that is your
23 understanding?

24 THE WITNESS: Yes.

25 CHAIRMAN BROOKS: And how do we know where

1 we are when we get a particular well?

2 THE WITNESS: Well, as Zack expressed, and
3 I will -- correct me if I'm saying something that's
4 not sound. The Tocito were the initial targets for
5 the Mancos, where we have great permeability and
6 oil. And this has been pretty much depleted. Our
7 target now, we're going to the upper -- or to the
8 El Vado A, B, and C, and we haven't seen a lot of
9 oil coming out of those members of the Mancos.

10 Is that something you want to add?

11 CHAIRMAN BROOKS: Okay. The reason it's,
12 I think much of a concern is because we have some
13 designated associated pools in -- within this area.
14 And if it is simply a regulatory anachronism, that
15 is to say we had a reason for establishing these
16 pools with this -- these gas/oil ratios at a time
17 when that was done, which was a long time ago, then
18 it's something that, really, we should ask you to
19 supplement your application so we can correct that,
20 possibly.

21 If, on the other hand, there is a reason
22 from a conservation standpoint where we need to be
23 exercising control over production based on gas/oil
24 ratios, then we need to know that.

25 So that's, I guess, the question I'm

1 asking you. Is there any conservation reason why we
2 need to be closely monitoring these gas/oil ratios
3 for particular wells in the Mancos at this time?

4 THE WITNESS: From my perspective, as far
5 as performance, it won't make a difference. We'll
6 allocate, we'll give each formation its share of the
7 production.

8 CHAIRMAN BROOKS: And you regard the
9 results of the spinner test as being sufficiently
10 accurate to enable us to regulate these wells based
11 on the gas/oil ratios that it indicates?

12 THE WITNESS: Yes.

13 CHAIRMAN BROOKS: Please reply audibly for
14 the court reporter.

15 THE WITNESS: Sorry.

16 CHAIRMAN BROOKS: Thank you. That's all I
17 have.

18 Anything further, Mr. Ezeanyim?

19 CHIEF ENGINEER EZEANYIM: No.

20 CHAIRMAN BROOKS: Very good.

21 You may step down.

22 THE WITNESS: Thank you.

23 MR. KELLAHIN: A short statement if you
24 please, Mr. Examiner.

25 CHAIRMAN BROOKS: Sure.

1 MR. KELLAHIN: At the end of which --
2 Mr. Catanach is here for another client. I've
3 retained him as an expert consultant on behalf of
4 ConocoPhillips for my own purposes, but he's here
5 for another company to make a statement.

6 But in summary, then, we really have gone
7 full circle with this, when you go back and read
8 Steve Hayden's testimony.

9 I understand the dilemmas you have in
10 reading the rule you wrote for the order. And
11 Mr. Catanach and I have worked through that and have
12 our opinion about how that was done and whether we
13 need to revisit the process. We're happy to open an
14 application, if necessary, to accomplish that
15 purpose.

16 But my reading of Mr. Hayden's intent and
17 purpose was to get away from the problem of oil
18 wells in a gas pool. He also didn't want to
19 subdivide the Mancos any further. His intent,
20 appeared to me, is: Let's get all of the Mancos as
21 a single gas pool, let's stop the expansion of these
22 existing Gallup pools. He went to some care to
23 gerrymanderer some isolated tracts in some of these
24 pools to lock them together so they were linked as a
25 regulatory matter. But I think he wanted to escape

1 the regulatory burden of creating new oil pools or
2 new gas pools with subdivisions of the Mancos just
3 as a regulatory convenience.

4 And in the real world, it's not going to
5 matter. The commingling of this product is only
6 going to be allowed because it's a salvage operation
7 for getting what's left between the Mesaverde and
8 the Dakota, and the Mancos needs to be treated as
9 one single gas reservoir.

10 So the details of how you process your way
11 through the subparts of the Rule 1B2, or whatever it
12 is, I think Mr. Catanach -- subsequent to the
13 hearing, we will give you how we think the rule
14 works for us and how we are utilizing that rule.

15 If you find that in our explanation you
16 want us to revisit that rule we'll file an
17 application and we can come back to hearing.

18 CHAIRMAN BROOKS: Okay. I would
19 appreciate your furnishing me that information.

20 I do believe -- I think you're right about
21 what Mr. Hayden intended, and I think that I fairly
22 much understood that.

23 I did not understand the geology of the
24 area the way I do now. And I didn't, until this
25 morning, understand -- I understand it much better

1 than I did before the beginning of this hearing,
2 because your geologic witness made a very good
3 presentation.

4 There have been some developments, as you
5 are aware, of course, because several operators have
6 become interested in developing the Mancos oil,
7 which I don't think Mr. Hayden foresaw, at the time
8 that we did this, that there would be a potential
9 for Mancos oil development -- for further Mancos oil
10 development. But --

11 MR. KELLAHIN: On a horizontal basis?

12 CHAIRMAN BROOKS: Yeah. To the extent
13 that there is, anyway.

14 MR. KELLAHIN: Well, I think there's a way
15 to deal with all of that.

16 CHAIRMAN BROOKS: Well, okay. I will
17 await your post-hearing submission, then. And --

18 MR. KELLAHIN: We'll provide Mr. Ezeanyim
19 with the additional calculation to clear up the
20 confusion about how that was done.

21 CHIEF ENGINEER EZEANYIM: That was my
22 initial reaction about this oil. Because like I
23 said, I was excited when you came and told me they
24 want to, you know, get oil from Mancos. Sure.

25 If it would have been gas it would have

1 been different. But now that we're trying to get
2 some oil, I mean, it complicates the issue. I made
3 that point at the beginning.

4 MR. KELLAHIN: I think there's a way to
5 get through that.

6 CHAIRMAN BROOKS: Okay. Very good.

7 MR. KELLAHIN: David Catanach would like
8 to make a statement.

9 MR. CATANACH: I'm David R. Catanach. I'm
10 here on behalf of Enervest Operating, LLC, who is an
11 operator of Mancos wells in the San Juan Basin.

12 Enervest would like me to convey to the
13 division that they support the application of
14 ConocoPhillips and request that the application be
15 approved.

16 CHAIRMAN BROOKS: Thank you.
17 Anything further, Mr. Kellahin?

18 MR. KELLAHIN: No, sir.

19 CHAIRMAN BROOKS: Very good. Very well.
20 Case Number 14862 will be taken under
21 advisement, and we will take a five-minute recess.

22 (Proceedings concluded.)


23 I do hereby certify that the foregoing is
24 a complete record of the proceedings in
the Ex parte hearing of Case No. 14862
25 heard by me on 6-25-12

David K Brooks
Examiner
Oil Conservation Division

CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, Paul Baca, RPR, CCR in and for the State of New Mexico, do hereby certify that the above and foregoing contains a true and correct record, produced to the best of my ability via machine shorthand and computer-aided transcription, of the proceedings had in this matter.



PAUL BACA, RPR, CCR
Certified Court Reporter #112
License Expires: 12-31-12