

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO

ENERGY, MINERAL AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

ORIGINAL

APPLICATION OF THE NEW MEXICO OIL AND GAS
ASSOCIATION FOR AMENDMENT OF CERTAIN PROVISIONS OF
TITLE 19, CHAPTER 15 OF THE NEW MEXICO
ADMINISTRATIVE CODE CONCERNING PITS, CLOSED-LOOP
SYSTEMS, BELOW GRADE TANKS AND SUMPS AND OTHER
ALTERNATIVE METHODS RELATED TO THE FORE GOING
MATTERS, STATE-WIDE.

CASE NO. 14784 AND 14785

VOLUME 4

May 17, 2012
9:00 a.m.
Wendell Chino Building
1220 South St. Francis Drive
Porter Hall, Room 102
Santa Fe, New Mexico

RECEIVED OOD
2012 MAY 31 A 11:34

THE COMMISSION:

- JAMI BAILEY, Chairperson
- GREG BLOOM, Commissioner
- DR. ROBERT BALCH, Commissioner
- MARK SMITH, Esq.
- FLORENE DAVIDSON, COMMISSION CLERK

REPORTED BY: Jan Gibson, CCR, RPR, CRR

500 Fourth Street, NW - Suite 105
Albuquerque, New Mexico 87102

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

FOR NEW MEXICO OIL & GAS ASSOCIATION (NMOGA):

HOLLAND & HART, LLP
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
505-988-4421
BY: WILLIAM F. CARR
MICHAEL H. FELDEWERT
wcarr@hollandhart.com

JORDEN BISCHOFF & HISER
7272 E. Indian School Road, Rd. Suite 360
Scottsdale, Arizona 85251
480-505-3927
BY: ERIC L. HISER
ehiser@jordenbischoff.com

FOR OIL & GAS ACCOUNTABILITY PROJECT (OGAP):

NEW MEXICO ENVIRONMENTAL LAW CENTER
1405 Luisa Street, Suite 5
Santa Fe, New Mexico 87505
505-989-9022
BY: ERIC D. JANTZ
ejantz@nmelc.org

FOR THE OCD:

GABRIELLE GERHOLT
Assistant General Counsel
1220 St. Francis Drive
Santa Fe, New Mexico 87505
505-476-3210
gabrielle.Gerholt@state.nm.us

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES CONTINUED

FOR INDEPENDENT PETROLEUM ASSOCIATION OF NM:

K. FOSTER ASSOCIATES, LLC
5805 Mariola Place, NE
Albuquerque, New Mexico 87111
BY: KARIN FOSTER
505-238-8385
fosterassociates@yahoo.com

FOR THE NEW MEXICO CITIZENS FOR CLEAN AIR & WATER:

DR. DONALD NEEPER
2708 B. Walnut Street
Los Alamos, New Mexico 87544
505-662-4592
dneeper@earthlink.net

FOR JALAPENO CORPORATION:

PATRICK FORT
P.O. Box 1608
Albuquerque, New Mexico 87103
patrickfort@msn.com

FOR NEW MEXICO WILDERNESS ALLIANCE:

JUDITH CALMAN
142 Truman Street, Suite B-1
Albuquerque, New Mexico 87108
judy@nmwild.org

FOR NEW MEXICO STATE LAND OFFICE:

HUGH DANGLER
310 Old Santa Fe Trail
P.O. Box 1148
Santa Fe, New Mexico 87504
(505) 827-5756

APPEARANCES CONTINUED

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR NEARBURG PRODUCING COMPANY:

JAMES G. BRUCE
P.O. Box 1056
Santa Fe, New Mexico 87504
505-982-2043
jamesbruc@aol.com

INDEX

THE WITNESSES: PAGE:

BRUCE BUCHANAN

Direct Examination by Mr. Hiser.....779
Cross-Examination by Mr. Jantz.....854
Cross-Examination by Mr. Dangler.....887
Cross-Examination by Dr. Neeper.....889
Examination by the Commission.....914
Redirect Examination.....951

MARY ELLEN DENOMY

Direct Examination by Mr. Jantz.....956
Voir Dire by Mr. Feldewert.....962
Direct Continued.....968
Cross-Examination by Mr. Feldewert....1005
Cross-Examination by Ms. Foster.....1019

SWORN TESTIMONY OF MIKE SAUCK.....863
SWORN TESTIMONY OF BILL HUMPHRIES.....868
SWORN TESTIMONY OF PHIL BIDEGAIN.....871
SWORN TESTIMONY OF JAMES STRICKLER.....876
SWORN TESTIMONY OF CAREN COWAN.....1056
SWORN TESTIMONY OF SALLY CO.....1061
SWORN TESTIMONY OF SAFA PINKENS.....1063
SWORN TESTIMONY OF ROB HIRSH.....1067

Reporter's Certificate.....1072

	EXHIBITS	PAGE ADMITTED
1		
2	NMOGA EXHIBITS	
3	16. Buchanan CV.....	782
	17. Buchanan Presentation.....	854
4	18. Buchanan Report.....	854
	19. Salt Migration Study.....	854
5		
6	OGAP EXHIBITS	
7	1. Denomy CV.....	961
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 (Note: In session at 9:00)

2 CHAIRPERSON BAILEY: Good morning. This
3 is a continuation of the Oil Conservation Commission
4 hearing on Consolidated Cases 14784 and 14785.
5 Today is Thursday, May 17th, and we are in Porter
6 Hall in Santa Fe, New Mexico. All three
7 commissioners are here so there is a quorum of the
8 Commission.

9 As I recall, we had finished with one
10 witness and we are about to call the last witness
11 for NMOGA.

12 MR. HISER: That's correct, Madam Chair.

13 CHAIRPERSON BAILEY: If you would please
14 call the witness and if you would please stand to be
15 sworn or be sworn by our court reporter.

16 MR. HISER: We call Bruce Buchanan.

17 BRUCE BUCHANAN
18 after having been first duly sworn under oath,
19 was questioned and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. HISER

22 Q. Could you please state your name for the
23 record, please?

24 A. Bruce Buchanan.

25 Q. Where do you reside?

1 A. I reside in Farmington, New Mexico.

2 Q. And could you tell us what your academic
3 background is?

4 A. My background is a bachelor's from the
5 University of Utah in botany in 1966 and a master's
6 from the University of Utah in plant ecology in 1969
7 and then a Ph.D. in 1971 from Montana State
8 University in forest ecology.

9 I then left the graduate school and went
10 to work and I became a professor at New Mexico State
11 University in 1971.

12 Q. What were you a professor of?

13 A. I was a professor of forest soils at New
14 Mexico State.

15 Q. Can you tell us some of your professional
16 experience?

17 A. I was at New Mexico State from 1971 until
18 1991. I was a professor. And I left in '91.
19 During that time that I was at the university I
20 worked and published in areas of reforestation and
21 reclamation and soil erosion, and I had several
22 projects that I was working on in mine reclamation
23 in New Mexico.

24 In '91 I moved to Farmington and opened up
25 a full-time consulting business and my publications

1 then were mostly centered on either salt movement or
2 mine reclamation or disturbed land reclamation, and
3 I have been a consultant from 1991 until the present
4 day in Farmington. That's about what I have done, I
5 guess.

6 Q. Have you served as an expert or an
7 assisting expert for any agencies?

8 A. Yes, several agencies. And I testified
9 also several times for those agencies.

10 Q. And did any of that work involve oil and
11 gas or the oil and gas industries?

12 A. Yes, it did.

13 Q. Who was the agency work done for?

14 A. I testified for Vermejo Park, Pennzoil
15 Oil, Shell Oil, for -- a few years ago I testified
16 here at a hearing and --

17 Q. Did you serve as an expert for the Wyoming
18 Department of Environmental Quality?

19 A. I did. Just a couple years ago I was an
20 expert for Wyoming.

21 Q. If you turn to the NMOGA exhibit book
22 behind Tab 16, does that appear to be a resume or
23 curriculum vitae of what you have done?

24 A. It is.

25 Q. Did you prepare that?

1 A. I did.

2 Q. Does that fairly and accurately represent
3 your educational experience and academic background?

4 A. It does.

5 MR. HISER: We would move to admit Exhibit
6 16.

7 CHAIRPERSON BAILEY: Any objections?

8 MR. JANTZ: None.

9 MS. GERHOLT: No objection.

10 MR. FORT: No.

11 MR. NEEPER: No.

12 MS. FOSTER: No objection.

13 CHAIRPERSON BAILEY: So admitted.

14 (Note: Exhibit 16 admitted.)

15 MR. HISER: We would also tender Dr.
16 Buchanan as an expert in soil sciences including
17 soil assessment and salt migration, reclamation and
18 revegetation.

19 CHAIRPERSON BAILEY: Any objection?

20 MR. JANTZ: None.

21 MS. FOSTER: No objection.

22 MS. GERHOLT: No objection.

23 MR. NEEPER: No objection.

24 CHAIRPERSON BAILEY: So recognized.

25 Q. Thank you. Have you prepared a

1 presentation for today?

2 A. I have.

3 Q. And that currently is found -- I think
4 that's behind Tab 17 in the NMOGA exhibit book; is
5 that correct?

6 A. That's correct.

7 Q. Would you like to -- shall we turn to the
8 first slide of that? And the purpose of this
9 presentation is really two-fold. One is to talk
10 about issues in terms of salt migration and then to
11 sort of subsequently turn to issues of reclamation
12 and revegetation; is that correct?

13 A. That's correct.

14 MR. HISER: I guess in the interest of
15 full disclosure, what I submitted was, in fact, one
16 earlier version than what we thought it was. So the
17 only actual change is to the first slide which adds
18 the terms reclamation and revegetation to reflect
19 what he is covering. There were two inadvertently
20 omitted slide titles which we will point out when we
21 get to them, and one word change that is significant
22 which we will point out when we get to that so that
23 you fully understand. I don't want to mislead
24 anybody.

25 CHAIRPERSON BAILEY: Thank you.

1 Q. What was your objective as you looked at
2 issues in terms of reclamation, revegetation and
3 controlled salt migration?

4 A. The main objective is to demonstrate that
5 salts do not migrate to the surface of soils or
6 sites that have been reclaimed and -- properly
7 reclaimed, and that salts will migrate but they
8 don't migrate to the surface and they don't
9 accumulate at the surface.

10 Q. And what's your basis for making the
11 statement that while salts may migrate they will not
12 migrate and accumulate at the surface?

13 A. Well, I have a statement that based on
14 research and practical experience from the field of
15 soil chemistry, soil physics and reclamation will be
16 used to support that position that this upward salt
17 migration to the surface of closed drilling pits
18 does not occur when the site is properly reclaimed.

19 Q. And the next couple of slides will
20 actually lay out the basis?

21 A. Yes. If I can, I would like to go through
22 and start out somewhat basic so that we all can be
23 on the same page and so you can understand why I
24 have this hypothesis or thesis that salts do not
25 migrate, and by building some platform information

1 or base information I think I can demonstrate that,
2 if I can proceed.

3 Let's start with something very basic
4 about water in soils. Water exists either in a
5 saturated condition or an unsaturated condition. If
6 we started out with an ideal soil, about half of
7 that soil would be air space and the other half of
8 that soil would be mineral space. That space that
9 we call the pore space can be filled with water. In
10 a very productive agricultural soil, about half of
11 the air space is water and about half of that air
12 space is air.

13 So let's go back very basic. Here is the
14 soil. About half of it is minerals, sand, silt and
15 clay particles. About half is air space and about
16 half of that is filled with water.

17 When it's completely filled with water,
18 that water will move, and it's said to move under
19 saturated flow conditions. As that water moves, it
20 moves primarily with gravity, and gravity pulls that
21 water down. I will show some pictures here in a
22 moment to demonstrate that.

23 Once it's no longer saturated, then the
24 water is said to be in an unsaturated condition, and
25 any movement of water under those conditions is

1 under unsaturated flow conditions, and it's very
2 slow. As that water is removed from the soil by
3 plants or evaporation, that water becomes less and
4 less and less and is held very tightly by the soil
5 particles and the movement becomes almost stopped.
6 It doesn't stop but for all intents and purposes we
7 think of it as almost being stopped.

8 One thing I would like to point out, if
9 you will draw your attention to the slide. On the
10 one on the right, the unsaturated flow, it shows a
11 void between these particles, and that void is the
12 air space and it has a fairly high humidity. It's
13 nearly 100 percent humidity, and that is a vapor
14 phase of water. It's not too important, but it
15 exists.

16 One thing I want you to be aware of is
17 that vapor phase does not carry salts. Vapor is
18 water vapor and it has really nothing in it other
19 than water. The saturated water can carry salts.
20 The unsaturated water can carry salts. It's liquid.
21 And whatever constituents are in the soil, whether
22 it's something like fertilizer, which is very
23 common, it dissolves. Whatever is dissolvable will
24 dissolve in the water, and as the water moves, it
25 will move.

1 Q. Let's turn to a depiction of how this
2 water is moving. Let's start on the left of this
3 slide. We have a soil profile.

4 The situation here is that it's raining
5 and it's raining while we're talking. As that rain
6 hits the surface, it is saturating that surface and
7 all those pores are being filled with water. That
8 water will move by gravity and it will start to move
9 down. That's what I have tried to depict with the
10 four soil profiles, that that water moves down into
11 the profile. But notice how the saturated flow is
12 becoming less and less until finally there's no more
13 saturated flow.

14 What I'm about to tell you is important
15 for you to understand, so I want to make this point
16 clear. The saturated flow is moving down by
17 gravity, and as it moves, behind that saturated
18 flow, between the saturated flow and the surface is
19 unsaturated flow. So that water has moved out and
20 there's -- it's no longer saturated above the
21 saturated flow.

22 I know it sounds like a bunch of mumbo
23 jumbo, but if you will forget what I said and just
24 look at the pictures, I think the pictures probably
25 make sense.

1 But what's in front of the saturated --
2 and in front is below. It's unsaturated as well.
3 So as the saturated flow goes down, it's wetting the
4 soil and it's running out of water until finally I
5 get down far enough in the profile, I'm out of
6 water, and all of the water in the soil is now under
7 unsaturated conditions. It's kind of important that
8 we have an understanding of that.

9 Let's go to another picture. I start at
10 the left side. The blue is representing water.
11 It's saturated. Notice how I have tried to depict
12 that the water isn't saturated below the saturated
13 zone but it's getting moist. As that water moves
14 down it's moist behind unsaturated, and it's dry in
15 front of the front. The front is going to diminish.
16 The soil is going to get wetter, and finally I get
17 to the bottom of the profile and the soil is moist.

18 What's behind? What's on top? Well, some
19 water got used and the sun acted on that soil and
20 some of the water evaporated and some of the water
21 may have been used by plants, so it is dry at the
22 top and moist at the bottom. I know this is really
23 simple but it's important that we understand how
24 this works because gravity is playing such an
25 important role in the movement of water.

1 Now what I want to say is that as that
2 water is moving, anything in that water moves with
3 that water. I know that's simple and basic but
4 that's how it works and it's not any more
5 complicated than that.

6 Let's introduce a plant to this whole
7 situation and kind of in your mind integrate all of
8 what you have been told here the last couple
9 minutes. For some reason this soil has dried at the
10 surface, either from evaporation. There's water
11 deeper in the profile. That water is going to be
12 taken out and it's going to be taken out by the
13 plant.

14 Now, I know -- I think we probably learned
15 that in kindergarten actually. We have known that
16 all of our lives, and we know that water is taken up
17 by plants and water goes through the plant. If
18 there's salts in that water, those salts will move
19 with that water and will move into the plant and
20 plants are able to do that. Some are. Some are not
21 so good at it. They don't like salt and so they
22 have to deal with that salt and they don't deal with
23 it well so they don't live.

24 Most of the native plants have learned
25 to -- I don't know if they have learned -- they have

1 evolved with the mechanisms that allow them to take
2 that water in, even though it's somewhat salty. If
3 the salt concentrations in that water become very
4 high, it is said to have an osmotic concentration.
5 It has difficulty -- remember when we were in high
6 school and we had a membrane and we had some water
7 here and salt over there and the stuff would move
8 through a membrane. Well, the salt wants to move to
9 the clean water but it has to go through this
10 membrane and it's difficult for this plant sometimes
11 to take that salt because it's being held by the
12 salt concentration.

13 Some plants are able to do that. Let's
14 not worry so much about the plants. Let's be
15 concerned that there can be salt concentrations in
16 that water in that soil.

17 Now, if we were going to have a quiz
18 today, one of your first quiz questions would be
19 what's the status of the water that's being taken up
20 by that plant? Is that saturated or unsaturated?
21 And your answer would be unsaturated. Most of the
22 water that's taken up by plants is taken up under
23 the conditions of unsaturated flow.

24 Saturated flow -- this is a really
25 important point to grasp -- saturated flow exists

1 for very brief periods in soils, particularly in
2 arid and semiarid regions. That saturated water
3 exists right after a rain, during a rain, but within
4 sometimes even hours and certainly within a day that
5 saturated water has dissipated down by gravity and
6 all that water in there now is in an unsaturated
7 condition -- that soil is in an unsaturated
8 condition.

9 Let me take a breath and you think about
10 what I just said and let that sink in for a moment.

11 The water is being moved up by the plant.
12 What's going to happen to that soil at that level?
13 It's going to dry out, and that's what I tried to
14 depict in this slide, is that the plant takes up the
15 water and that soil starts to dry.

16 Certainly if Quiz Question No. 2 was what
17 are the conditions, your answer would be, again,
18 unsaturated flow. But now there's even less water.
19 This is kind of a technical thing, and we know this.
20 When does the plant stop taking water? And when you
21 were in Botany 1 when you were in college, you would
22 have been told that plants quit taking water at
23 about 15 atmospheres, and, of course, you were
24 probably majoring in something else and had no idea
25 what an atmosphere was, but it's the amount of

1 pressure and that's quite a bit of pressure. That
2 water is held, if you will, under that tension and
3 the plant can't get that water across its membrane
4 because it can't overcome that tension.

5 Well, that's what we believed for a long
6 time and that's what we were taught in Botany 1. We
7 took an honors class and I found out that's not
8 exactly true. I have done studies where I have been
9 able to demonstrate that ponderosa pine can take
10 water down to 30 atmospheres. There are numbers of
11 plants that we know about that can take water down
12 to 40 atmospheres. That's so far beyond 15.

13 So if I were to depict what is happening
14 here, this water is being removed from the soil by
15 the plant down to very, very dry conditions, and
16 that's how water gets, for the most part, that's how
17 water gets out of the soil is the plants extract it
18 out. Do you believe that? I do, and I will tell
19 you why I believe it.

20 We do some farming -- and Montana would be
21 a good example. I'm sorry, I said we. I mean other
22 people. I don't farm in Montana. There are people
23 who farm in Montana. At those farms there wasn't
24 enough water to grow a crop if they farmed every
25 year so they invented a thing called the fallow

1 system. So half of the field was cropped and half
2 of the field was not cropped. There are no crops in
3 the fallow part of the field. It rains, the water
4 goes in. For the most part, what I want you to
5 think about is that there are no plants in that
6 fallow field. What happens to the water? It gets
7 stored.

8 Now, if there's a lot of water, it will
9 move down at great depths and it can move at great
10 depths. Ten feet, sometimes further. But for the
11 most part it stays in the wetting profile. So that
12 water is not being taken out is the point I'm trying
13 to get across.

14 Over here where the crops are growing they
15 are taking the water out. So what do I do next
16 year? I crop the fallow part fallow the part that
17 was cropped and I store water. I can get a field of
18 wheat or barley or whatever I am growing because I
19 can store water because I have no way of getting
20 that water out.

21 So let's go back to New Mexico. Let's go
22 back to our situation. We are not following. What
23 we are doing is we're growing plants. Those plants
24 extract the water out. They dry the soil down.
25 They will dry that soil down to about four feet.

1 Some plants will take the water from deeper parts of
2 the profile. Grasses, for example, predominantly
3 grow in the upper 24 inches of the soil so they are
4 taking the water out. If water got -- let's just
5 say for our theoretical situation grasses are
6 confined to the upper 24 inches, and for the most
7 part that's a true statement.

8 What happens if water is at 36 inches? Do
9 the grasses get it? No, they don't have roots
10 there. Who gets it? Those plants that have roots
11 that go down to get it. Shrubs and to some extent
12 forbs.

13 So this will come out later, the
14 importance of having grasses, shrubs and forbs so
15 the water is being extracted from all parts of the
16 profile. I don't know what quiz question we are on,
17 but the question is how deep will plants remove
18 water? And your answer is about four feet. If you
19 put something about four feet, you will get an
20 okeydokey for that question.

21 Let's go to another situation. This is a
22 native soil. This is a picture of an honest to
23 goodness soil. And I'm going to say this not so
24 much to impress you but I want you to realize what I
25 have done for most of my life. I have seen about

1 6,000 of these soil profiles. I have mapped soils
2 for most of my career. I have sampled soils for
3 most of my career. I calculated here a few years
4 ago I had described and sampled something in the
5 vicinity of 6,000 soil profiles. I calculated here
6 a while back how many soil samples I have taken, and
7 it exceeds something over 8,000 soil samples.

8 Why I am telling you this is I think I
9 have a pretty good idea what a soil looks like.
10 What I'm going to show you and what you are looking
11 at here is what I would say typifies a semiarid
12 soil. So let's typify this and let's learn a little
13 bit about the soil.

14 This is a native soil. This is an
15 undisturbed soil. This is a soil that is probably
16 several thousand years old. The landscape position
17 has been in that position for a long time. It has a
18 surface horizon.

19 Notice to the right, and I know it's a
20 little difficult to see, but maybe you have a
21 description of that in front of you. But what the
22 audience should see is the electrical conductivity
23 of that surface horizon is .6. So we all know,
24 electrical conductivity is a measure of the soluble
25 salts in a profile. We take a sample, we get it

1 wet, we either put an electrode in it or extract the
2 water out of it and put it to an electrode, an
3 instrument, and it measures the amount of salt in
4 that soil. Not just salt but the soluble salt.
5 That's an important juncture here.

6 So the value at the surface is .6. In the
7 next horizon now we have moved down the profile. We
8 have gotten through the first three or four inches
9 and we are down about 12, 15 or 16 inches. We have
10 a horizon that has accumulated clay. That doesn't
11 really matter to you much. That's a big deal to me
12 and I get really excited about things like that. So
13 if you want to know what excites me, I like to see
14 clay in soil. I say that kind of jokingly but I
15 love talking about soil profiles.

16 The electrical conductivity at this
17 horizon is .58, so for all intents and purposes it's
18 the same as it was at the surface. So the soluble
19 salts level is measured by this number and it's
20 about the same in the upper two horizons.

21 The next horizon is where calcium
22 carbonate has accumulated. How in the world about
23 the calcium carbonate get there? Let's go back to
24 Quiz Questions 1, 2 and 3. The water moved down.
25 Calcium carbonate is relatively insoluble compared

1 to the soluble salt, but it is soluble and it does
2 move and because it's relatively insoluble it will
3 precipitate out sooner than more soluble salt.

4 Did you get that? Doesn't matter if you
5 did or didn't. Just pay attention that the calcium
6 carbonate will precipitate out below the horizon
7 where the clay has accumulated. Look what happened
8 to the electrical conductivity. It went up a bit.
9 I think the number is 1.39. Now watch what happens.

10 We move down the profile. We are not at
11 48 inches yet. We are still moving water down. In
12 fact, there are going to be roots down below the
13 tape, but look what happened to the electrical
14 conductivity. What are we measuring? The soluble
15 salts. So the carbonates have precipitated out and
16 we get this carbonate layer. Now the soluble salts
17 have moved down below 24 inches and they will move
18 down to 30 and 36 inches.

19 I don't know what quiz question we are on
20 now, but do salts move down? This is a true/false
21 question. I don't like them and I never asked them
22 when I taught at a university. I avoided them like
23 crazy, but if we were going to have a true/false
24 questions: Do salts move down in a semiarid native
25 soil? The answer is true. The soluble salts have

1 moved down about 24 inches in this particular
2 profile. Profile after profile, I promise you in
3 looking at the profiles and sampling the profiles
4 this very much typifies the situation that occurs in
5 native undisturbed soils.

6 What's controlling all of this? Water.
7 For a brief moment it's saturated. The soil is
8 saturated and those salts move with the saturated
9 flow. As the saturated flow no longer exists, which
10 is most of the time, then any movement is going to
11 be with the unsaturated flow and there is some
12 movement. Which way does the unsaturated flow move?
13 In most soils and most situations it moves down
14 because of gravity.

15 What makes water move up? Plants will
16 take water up. That's for sure. If it's dry, if
17 the soil is dry and it's wetter below, water wants
18 to move from a moist place to a dry place and water
19 will capillary up.

20 Now, the thesis is that the salts don't
21 move up to any great extent. Yes, they move up a
22 little bit, but only for very short distances.

23 Now, the next thing I'm going to say is
24 really important to grasp. Does it rain on these
25 soils? Absolutely. Sometimes it's long times

1 between rains, but when it rains, remember what
2 happens. It was saturated and the water moves down
3 and the salts that capillaried up a little bit, bam,
4 they get -- well, I don't know about bam, but --
5 well, I can't think of a good word what they do.
6 They are transported by that water and they are
7 moved down.

8 So the rains bring the salts down in dry
9 periods. There's very little water, very little
10 movement, and there's just slight capillary movement
11 up and there will be some salts that will move up.
12 Water will also move as a vapor. Now, I think I
13 wanted to emphasize to you, is there any salts in
14 the vapor? No, no salts in the vapor. So as the
15 vapor moves, the salts don't move.

16 What I have tried to describe here is
17 basically what happens. So let's turn to some
18 research and I have had the good fortune of being
19 able to do research over my career as a soil
20 scientist and I'm going to pick on just a couple
21 projects I have worked on. But I want you to have a
22 grasp that research has been done in almost every
23 western state on what I'm going to talk about.
24 North Dakota, South Dakota. Some of the early work
25 was done there. Colorado, Idaho, lots of work in

1 Montana, a fair amount in New Mexico and a lot of
2 the work was by Bruce Buchanan. Arizona. Did I say
3 Colorado?

4 All of us who do that, we belong to a
5 society. It's the society called the American
6 Society of Mining and Reclamation and we meet and
7 talk about things. It didn't come up, but I happen
8 to be the president. It's a national society, the
9 American Society and Mining and Reclamation. In a
10 few weeks I will go to Mississippi. I am president
11 elect and I will become the president. And we talk
12 about these things and we share information and we
13 learn from one another and we do research.

14 So some of what I know is from my own
15 research. Some of what I know is from research that
16 I have read from other people, and to a great extent
17 what I know is what I have learned talking to
18 people, and we share ideas. It doesn't necessarily
19 get published, probably never will, but we have
20 learned from one another. And what I'm going to
21 show you is very much typifies what happens in the
22 west.

23 This particular project was done in New
24 Mexico. This particular project was done 12 years
25 after the site had been reclaimed, so these samples

1 were taken 12 years after the site had been
2 reclaimed. This is entirely in spoil, and I will
3 talk about that in a second. There was no cover
4 soil. This would be like having pit cuttings at the
5 surface, but this isn't pit cuttings. These are
6 materials that are removed from a mine and in place
7 they are called bedrock, overburden. They are
8 picked up, dumped, and when they go out of the pit
9 they are called spoil.

10 They are basically shales and sandstones.
11 They are not too dissimilar from the materials that
12 are brought up in pit cuttings in that they are
13 salty. They have a lot of clay stones, silt stones,
14 sandstones, that kind of material.

15 This is now -- think about this as being
16 at the surface and there's no soil on top. Here is
17 what happened: Twelve years after the material had
18 been moved out and planted, and I will tell you that
19 the vegetation didn't grow very well here. There
20 were shrubs that did exceptionally well because they
21 are very salt-tolerant.

22 We sampled down through the profile to 13
23 feet and here is what we found. That the salts
24 moved out of the upper ten inches and they
25 accumulated at about 20 to 30 inches so they moved

1 out of the upper part of the profile and they only
2 moved down about 30 inches and there was a big
3 bulge. The salts -- when I say salt, I am here
4 talking about soluble salts. The salts moved out of
5 the upper part and moved down to the lower part.

6 Is that what you would have predicted?
7 That's exactly what you would have predicted if you
8 had studied native soils and undisturbed soils and
9 you had taken samples from there. This is what you
10 would have -- you might not have predicted those
11 depths but you would have predicted that the upper
12 part of the profile would have relatively low salts
13 and the lower part. Were the salts the same as when
14 we started? Absolutely. I have taken thousands
15 samples of spoils and the salts are equally
16 distributed day one through the profile. I have
17 studied spoils after a number of years, two, three,
18 five, ten up to 20 years and the salts move down.

19 Let's go to another study and see what
20 happened here. This is another one that I did. In
21 this case, again, it was in New Mexico. Samples
22 represent four years after the site was reclaimed,
23 and this time there are 24 inches of soil over the
24 spoil.

25 Here is what we found: None of the salts

1 migrated to the surface. The salts migrated into
2 the topsoil about four inches. We took samples in
3 four-inch increments down through the 24 inches of
4 the profile. There were no salts in the upper -- no
5 accumulated salts, no salts higher than what was
6 there four years previous. But at the four-inch
7 zone right above the spoil there was an accumulation
8 of salt.

9 What happened below? This was really
10 interesting. Not only did the salts move -- they
11 moved out of the soil. Some moved up. A lot of it
12 moved down and there was a salt bulge below about 12
13 inches below the spoil. So the water came down.

14 Why were there salts in the topsoil? Why
15 did it move up four inches? Because there was some
16 capillary action, there was some conditions with
17 unsaturated flow, not saturated flow, unsaturated
18 flow, and our theory is that the salts moved by
19 diffusion. So if I have a column of water and I
20 have some salt here and I don't do anything, I don't
21 shake anything, I'm watching it, those salts will
22 want to go from a high salt concentration to a low
23 salt concentration and that salt will move through
24 the water through diffusion.

25 Conduction is when the water is moving

1 from one place to another and the salt is convecting
2 with that water moving. We don't think that's
3 what's happening. We think the salt moved by
4 diffusion and that's how we account for the salt in
5 the topsoil.

6 So what's the concern here? It's a huge
7 concern. This is a huge concern. And I know this
8 sounds crazy to you but 40 years ago, you know what?
9 I was studying this stuff 40 years ago and here is
10 what -- this is what we were being told. I don't
11 think I ever believed this. Those salts are going
12 to migrate to the surface and all the vegetation is
13 going to die. This is wrong. This is not the way
14 to reclaim the soils. Putting 12 inches of soil
15 over the spoil material is nothing but a disaster
16 because the salts migrate to the surface.

17 There was a study done and it tried to
18 demonstrate -- it was done in North Dakota -- that
19 the salts migrated to the surface. Well, they did.
20 But what somebody forgot to tell us is there was a
21 water table at 24 inches. The water was perched, so
22 there was saturated flow, saturated water in this
23 material and yeah, the salts migrated to the
24 surface. That happens all the time around rivers,
25 for example. I see it all the time.

1 I had to work this in. I spend a lot of
2 time around rivers because I love to fly fish but
3 around rivers, the salt, if the water is near the
4 surface will migrate to the surface. Totally
5 different situation.

6 So here was this fear that reclamation in
7 the west -- this is 40, 50 -- started out 50 years
8 ago, but 40 years ago that was a real fear. So
9 studies were being done all over the west to see if
10 salts, in fact, migrated to the surface, and that's
11 why there's been so much research done on this
12 particular subject, and there's a lot of research
13 that's been done on that subject and it's been done
14 with different depths of soil and I have done it
15 with different depths of soil. It's been done with
16 different concentrations, different natures of
17 spoil.

18 Let's go to another study. This
19 particular study was done in Texas, and this is more
20 of what we want to talk about. This is a study that
21 was done by McFarland. What I'm going to show you
22 is data 20 months after the reclamation. I'm going
23 to show you where in this case he put 36 inches of
24 soil over the pit contents and this time instead of
25 spoil, these are pit contents. I'm actually going

1 to characterize those.

2 What I'm going to show you is that the
3 salts migrated into the soil from the pit contents
4 but they didn't migrate to the surface. So let's
5 look at some data. I know this is a little
6 overwhelming so if you will stay with me. Let's
7 start over on the left-hand side. I'm going to show
8 you two sites, one is called the Mertz site and one
9 called the Weatherby site. We're going to start
10 with the Mertz site.

11 Let's create what happened. What happened
12 is McFarland put out some pit contents on the
13 ground, probably dug a hole. Put the pit contents
14 down and put 36 inches of soil on the pit contents.
15 Let's turn to the pit contents first. If you look
16 to the left you are in the column for electrical
17 conductivity. Remember electrical conductivity is
18 the soluble salts and the value is 169 millimoles
19 percent centimeter. McFarland also measured the
20 amount of sodium in the pit contents, and he found
21 it to be 1913 millimoles per liter of sodium, and
22 then he also measured the chloride. So you got a
23 feel for what the pit contents are, so let's see
24 what happened.

25 He took measurements one month after he

1 constructed the plots, and let's go down the column
2 for electrical conductivity. In the upper six
3 inches of the profile of this topsoil that had been
4 put on, the EC was .6. Below that was .5, below
5 that was .5 and then we will look at two six-inch
6 zones right above, .4 and 1.8. You might want to
7 think -- and that's okay if you want to think this
8 -- but maybe there had been in a month some salt
9 that moved into the six-inch zone. I'm kind of not
10 sure about that. And it doesn't matter.

11 The sodium is .9, 1.1, 1.3, 1.4 and 7.5.
12 Now I'm a little more sure here and McFarland was,
13 too. He said some sodium had migrated into the
14 upper six inches in the first month. What we would
15 have expected if he put the soil out, you would have
16 expected the sodium concentration at that six-inch
17 above the pit contents to be the same as all the
18 other numbers above.

19 Then let's go over to the chloride. Same
20 thing. Wouldn't you expect the chloride
21 concentration to be the same in the soil top to
22 bottom? Yes, that's exactly what you would expect.
23 So in about a month some chloride had transported
24 itself from the pit contents up into it.

25 Let's jump over to the other figure and

1 this represents 20 months.

2 Q. Before we do that, Dr. Buchanan, one thing
3 that I think is important here is when we look at
4 this depths from zero to 6 and 6 to 12 and 12 to 24,
5 those are sort of like the bucket depths. In other
6 words, he sampled in that range. We really don't
7 know if the salt extended one inch, two inches or
8 six inches in the study because he took the sample
9 from the interval; is that correct?

10 A. That's absolutely correct. That's one of
11 the problems -- excuse me, let me get a drink of
12 water. Did you catch what Mr. Hiser said? See, I
13 sampled all six inches. I didn't sample in little
14 one-inch increments so how far did it migrate? I
15 don't know, but I have a sample from zero to six
16 inches and one from the next six inches. And that's
17 kind of one of the problems. Only on a couple of
18 occasions have I been able to sample in very, very
19 small increments. For the most part we are sampling
20 in six, ten, 12-inch -- and I say ten-inch because
21 we do 25-centimeter increments, so sometimes we
22 sample in metric and sometimes we sample in English
23 units, but for the most part we sample big blocks of
24 soil.

25 Okay. Let's move over to the graph, the

1 table on the right and let's see what happened after
2 20 months. For the most part, the upper 36 to 30,
3 no change. Thirty to 24, no change. I'm sorry, I'm
4 on electrical conductivity so we're all together
5 here. From 24 to 12, .5 to .4, no change. Twelve
6 to 6, .4 to .5, no change. Then from six to zero,
7 8.1.

8 I think we would all agree that the
9 electrical conductivity increased above the pit
10 contents. I think we can all agree on that.
11 McFarland certainly said that and I certainly agree
12 with him. Look at the sodium. For all intents and
13 purposes there's no change until we get to the
14 six-inch zone and then look at the chloride. I
15 don't know if you want to get excited about 1.6.
16 Things like that don't excite me. McFarland didn't
17 try to explain. His conclusion was that the salts
18 hadn't migrated into the upper 12-inch zone but they
19 certainly had -- chloride had moved from the pit
20 contents up into the six.

21 Now, I didn't show this, and I'm sorry I
22 didn't, but McFarland extended this study and he
23 extended it out 44 months. So he extended it 24
24 months beyond the data that we are looking at and
25 then he collected the data again and virtually two

1 years later there was no change at the Mertz site.
2 I'm going to tell you the same thing for the
3 Weatherby site.

4 So one might try to draw the conclusion:
5 Oh, so the salts are moving up so they will continue
6 to move. No. The mechanisms -- go back to the very
7 basic things that we learned, oh, my golly, 45
8 minutes ago. Forty-five minutes ago we talked about
9 the mechanisms of how this all works. There's no
10 mechanism to get the salt any higher than where it
11 is and that's what McFarland found out. Two years
12 later the salt concentration was basically the same
13 and that the salts didn't migrate any higher than
14 where they had migrated to this point.

15 I have done studies that were 12 years
16 after, and the salts migrated up but then that's it.
17 They go so far and then they quit. Let's go to the
18 McFarland study and maybe we can get through this
19 quicker.

20 I'm sorry, I am really confusing you now.
21 This is the Weatherby site, still the McFarland
22 study. So in this case are the surface soils
23 different? Yes. These are a different set of soils
24 that he used for topsoil.

25 Let's kind of cut things short here and go

1 to the zero to six-inch layer. One month after,
2 yeah, looks like EC went up, sodium went up,
3 chloride went up. What happened 20 months later?
4 Looks like it went up a little more than six inches.
5 It certainly went up six inches but look at the six
6 to 12. So McFarland concluded that in this
7 situation the salts migrated up a little higher and
8 he is correct. And he also continued this study and
9 two years later his conclusion was that's as far as
10 they ever migrated, this 12 inches. Notice how
11 little migrated into the six to 12-inch zone
12 compared to the first six inches.

13 Q. So, Dr. Buchanan, what is the mechanism in
14 your mind that Mr. McFarland talked about in his
15 study that causes the salt to move up and why does
16 it stop at that level?

17 A. The salts are moving in an unsaturated
18 flow condition. The soils are moist enough -- the
19 water has moved down. They have stayed moist enough
20 and there's enough water at that contact zone where
21 the soil meets the pit contents. The water moves
22 down. Water will move through a soil media without
23 any interruption unless it hits something that is
24 like a barrier, so this pit contents is like a
25 barrier. The water moves down. What happens when

1 it hits these really fine materials? It essentially
2 slows down or for all intents and purposes stops.

3 So think of this plunge of water coming
4 down, coming down, coming down, behaving just like
5 we thought it would behave and then it hits and gets
6 stopped. And gravity is having trouble pulling that
7 water through that so you get a buildup of water
8 right at that contact zone. That's why we get some
9 salt movement in the first month.

10 What happens to the water up above?
11 Gravity moved it down. There was some evaporation.
12 That is very dry soil. There's not enough water to
13 capillary that salt any higher. There's
14 something -- the Weatherby site -- he probably put
15 the same amount of water on there but there's
16 something about those soils that water was able to
17 capillary a little higher in that particular soil,
18 and that's why it went up to 12 inches.

19 Why didn't it go to the surface? Because
20 the soil is too dry. It can't carry those salts any
21 higher. There's no mechanism. There's no diffusion
22 and that's one of our premises is that's how the
23 salt moves is through the diffusion through these
24 connections of the water, but there's so little
25 water in the profile that there's no diffusion

1 appearing so it stops the movement of salt.

2 We see it time and time and time again.

3 We see it in natural soils. We see it in recreated
4 soils. We see it in soils that either have pit
5 contents with cover soil, we see it in soils that
6 have been reclaimed and mines where there's spoil
7 material and it will migrate up and then the soil is
8 too dry and you can't get the salts to migrate any
9 higher.

10 Q. And Doctor --

11 A. Let me interrupt. Well, go ahead, please.

12 Q. My witness is out of control. Go ahead
13 and finish your thought and then I have a question.

14 A. You know what? You are going to realize
15 how old I am. I just lost my thought. Why don't
16 you ask your question and maybe that will get my
17 thought going.

18 Q. So as I understand what you have just said
19 is that there is this area of moisture above -- a
20 slightly moister area above the pit contents in this
21 particular case and that diffusion caused the salt
22 to move up six to 12 inches, depending on the sites.
23 Then you said periodically the moisture is refreshed
24 with water that comes down.

25 A. That was my thought.

1 Q. The water that was moving, is the movement
2 of the water, that convective flow, is that going to
3 do anything to the salts that have moved up a little
4 bit?

5 A. Yeah. It will -- if you caught what he
6 said, and that was my thought where I was going with
7 this, was now as I put water on top of this profile,
8 either by irrigation or by rainfall, and for the
9 most part we are going to talk about rainfall. It
10 doesn't matter, it's just water. Water comes down,
11 and remember how it was saturated 45 minutes ago?
12 That water will move the salt down momentarily.
13 Then as it dries it moves up a little bit and then
14 it will move down. In time it will come to an
15 equilibrium. It will only move down so far and it
16 will only move up so far.

17 At various times in my life, I have gone
18 out and sampled those soils and I caught it at a
19 time when it was going up or down, but it was only
20 moving a few inches. And what we are able to
21 measure is that there is salt above the pit contents
22 or there is salt above the spoil material. Did I
23 explain that okay?

24 Q. Yes.

25 A. Okay. Let's go to another situation.

1 This was done in 2007. This was done for
2 ConocoPhillips and I did this with a couple people.
3 Once in a while I get to do something fun and this
4 was kind of a fun project. This was done in New
5 Mexico. This was 40 years. We sampled this site 40
6 years after it had been reclaimed. In this case
7 there was no pit liner. This is a drilling site.
8 There's drilling materials. There was no pit liner.
9 This is 40 years ago. And they put 20 inches of
10 cover soil over the pit contents.

11 Now, I call this the wedding site and I
12 call it that because that was the year that -- I'm
13 sorry. That's the year my wife and I got married.
14 And we are still married.

15 Okay. Well, I apologize for that. Let's
16 get back to business here. This is a reclaimed
17 site. It was reclaimed in 1967 and this is what it
18 looks like. It has grasses, has a few shrubs.
19 Notice in the background where it was never
20 disturbed. Of course, you don't know what that is,
21 and you don't have to believe me. That's sagebrush.
22 So this is a sagebrush type of community. This is
23 definitely semiarid, about ten, 12 inches of
24 precipitation, closer to ten.

25 So we have a track hoe and we dug a hole

1 and dug a hole about 15 feet. What I hope you can
2 see are what would be called pit contents, and they
3 would be at about 20 inches below the surface and
4 they are, oh -- I forget now. We will look here in
5 a minute. I think they are like 15, 16 inches
6 thick.

7 Q. Just for the record, since the record
8 can't see the picture, that's the gray area that you
9 see as a stripe across the picture?

10 A. Right. So here are pit contents. No pit
11 liner and there is soil from the local site put on
12 as topsoil and it was 20 inches thick. So we dug
13 another hole a couple hundred feet from this site in
14 a native soil that represented undisturbed
15 conditions.

16 I'm going to show you data from the two
17 sites. So one is native undisturbed and one is this
18 pit here with the pit contents. Now, what I want
19 you to do, from all that you have learned this
20 morning, I want you to think about what do you think
21 you are going to see? You think about what you are
22 going to see and then we will see how well you did.
23 This is Quiz Question No. 7.

24 Q. The next slide is one of the ones that has
25 changed, because what happened is the one you got

1 was set horizontally whereas it should be set
2 vertically. I corrected that here.

3 A. If you have that in your book, just turn
4 your book sideways. Let's concentrate on the blue
5 line, okay? The blue line has no pit contents,
6 right? Because it's a native site. Remember the
7 soil that I showed you earlier? Remember what we
8 talked about? So what happened? I took samples in
9 12-inch increments down to, oh, about 164 inches.

10 That profile a is depiction of the
11 electrical conductivity. The soluble salts. What
12 were you guessing before you saw the slide? You
13 thought the salts would move down? You were right.
14 They have moved out of the upper part of the
15 profile, upwards of 36 inches. In fact, we don't
16 see any accumulation until we are almost down below
17 four feet, about 60 inches, five feet. We start to
18 see a little bit of pickup of soluble salt. It
19 picks up and picks up and it kind of maxes out at
20 about 92 inches and diminishes back and it comes
21 back to a level not too different than the surface
22 at -- oh, somewhere around 144 inches per Es, so
23 that's about 12 feet. Is that what you predicted?
24 Sure you did, because you are good students and you
25 are going to get an A today.

1 Now, what happened with the pit contents?
2 The pit contents are 20 inches below the surface and
3 they are approximately 16 inches thick. Would you
4 have predicted salt would migrate from the pit
5 contents up? Yes, you should have said that. And
6 notice that the pit contents had an electrical
7 conductivity of about nine. And just above, four
8 inches above the pit contents, it's about seven then
9 another four inches up it's about more or less five,
10 and then finally it gets over to about two, and
11 finally it gets back over at oh, about six inches or
12 eight inches below the surface it's back to where
13 the original native soil is.

14 A couple things to learn from here. Salts
15 migrate up. Do they migrate to the surface? No.
16 Forty years later did they migrate to the surface?
17 No. Will they ever migrate to the surface? My
18 thesis is no, they will never migrate to the
19 surface. The mechanisms that control the movement
20 of water in the soil will maintain those salts out
21 of the surface. That thesis is mine and this only
22 reinforces that.

23 Look at the levels of the electrical
24 conductivity. At the third sample, which is
25 represented at about a ten-inch depth, it's two, and

1 then it's about five at more or less, I guess, the
2 14-inch, 16-inch zone.

3 This is kind of an important point here,
4 and we will get into this in the reclamation part of
5 this discussion. But when we started out in
6 agricultural, we were very concerned about
7 electrical conductivities of four and greater. For
8 the most part, what agriculturists said is we can't
9 grow crops above four. We know better than that.
10 We can pick some crops and by good salt management
11 we can grow crops at a little higher than four but
12 we like to not have to deal with that. So four has
13 been kind of the standard for agricultural.

14 In fact, two, if you have a soil and you
15 are going to buy a farm and it has a electrical
16 conductivity of two, you ave low salt content and
17 you can grow almost any crop on that soil. Not any
18 crop but nearly any crop.

19 But look at the one where it's at seven.
20 We don't want to farm with that. But here is what
21 we have learned about reclamation and native plants.
22 I had a student do her thesis on this very subject.
23 We did some greenhouse studies and we did some field
24 studies, and what she found was that some of the
25 plants, alkali sacaton, and I know that doesn't mean

1 anything to you but it's just a grass that's really
2 important in reclamation -- can handle electrical
3 conductivities of in excess of ten, upwards of 12.

4 Four wing saltbush can handle electrical
5 conductivities 15, 16. What am I saying? I'm
6 saying that some of the plants that are growing at
7 this site could actually root into those pit
8 contents and extract water because they are capable
9 of handling soils that have electrical
10 conductivities in excess of nine, and that's what
11 those pit contents are.

12 So here is the magic question. Were there
13 any roots in those pit contents? Yes, there was.
14 Not only were there roots in the pit contents but
15 there were roots below the pit contents and there
16 were roots in this particular profile down about 40,
17 48 inches, just almost as we would have predicted.

18 This soil, this particular site, behaved
19 very well. It did a lot of the things that I
20 thought it should have done based on previous
21 research. The salts migrated up. They didn't go to
22 the surface.

23 I'm sorry, we haven't talked about this
24 yet. Did the salts migrate down? I don't know much
25 about salts migrating below the pit contents because

1 I haven't studied that much and I don't want to get
2 into it too deep but I will just say what happened
3 at this particular site. The salts migrated down,
4 and right below the pit contents the salt content
5 isn't too dissimilar than the pit content. Then it
6 starts to diminish and it moves down. It diminishes
7 and diminishes until we get down about seven feet
8 below the pit contents and then the salt content
9 starts to match the salt content of the native soil.

10 So I think one would conclude, and I would
11 conclude here, that the salts have migrated down and
12 they have migrated in this particular case, this
13 particular situation and conditions, about seven
14 feet below the pit contents. And I will remind you
15 -- of course, you remember this. This particular
16 site does not have a pit liner, so these materials
17 or the water in this profile was able to move
18 through the pit contents and move below the pit
19 contents.

20 Would you have predicted that? Yes, you
21 would have predicted that. You would have predicted
22 water would move about four feet. Has it moved
23 beyond four feet? Yes, in this particular case.

24 How did the salts get down there? Water
25 took them down there. They don't have little feet

1 to walk down there. They had to migrate with the
2 water and then they stopped migrating at about seven
3 feet -- about ten feet below the surface. Why did
4 they stop migrating down? Because water wasn't
5 getting down any deeper than that.

6 And I have had the good fortune at times
7 to be able to dig deep holes. For the most part all
8 the holes I have dug in my life -- if I dug them
9 personally they weren't deep but with a backhoe I
10 could get town to about 60 inches but on occasion I
11 have explored 10, 15 feet and I was interested in
12 looking at the root patterns of plants at those
13 depths and there are plants -- there are some that
14 will go down that deep.

15 But here is what I learned. Roots don't
16 go where water doesn't go. Now, is that rocket
17 science or what? Roots go where the water goes. If
18 the water doesn't go there, they don't go there.
19 Simple. So if somehow water gets down ten feet,
20 there are some plants that will produce roots that
21 will go that deep. Will grasses do that? Largely,
22 they don't. Grasses for some reason, and I think
23 it's genetic, for the most part confine themselves
24 to the upper 24 inches of the profile. I have seen
25 that with natural soils, reclaimed soils. Grasses

1 must have some really strong genetic propensity to
2 stay in the upper 24 inches of the profile even when
3 there's water below that, because shrubs will go
4 deeper. I don't know why I said that. I just
5 thought that was interesting.

6 So what did we learn from this? We
7 learned that salts migrate up. They don't migrate
8 to the surface. We know why. They migrated down
9 and they migrated with the water.

10 Q. Dr. Buchanan, if we look at the pit
11 content, in this case this pit never had a liner?

12 A. Correct.

13 Q. So presumably the pit was still damp or
14 wet when it was closed, so there may have been
15 moisture although to some extent that's speculation
16 and we don't know?

17 A. We don't know. But we know the pit
18 contents are pretty much intact because they were
19 very stratified and they weren't mixed with soil.
20 They were pretty much pure pit contents.

21 Q. So if a liner was there during the time
22 that the liner was holding the water in, would there
23 be a way for water to move below that liner?

24 A. If that liner were a liner that could keep
25 water from moving through the liner, then the water

1 would not have moved beyond -- my premise would
2 be -- my assumption would be that if the water can't
3 get through the liner then the water couldn't move
4 below that particular point and we would have seen
5 nothing happening in the way of salt accumulation
6 below the pit contents.

7 Q. Then in terms of with the proposal that's
8 presently pending before the Commission with the
9 removal of the upper liner that formerly would have
10 been over the pit, would you expect there to be
11 roots from the shrub classes that might extend into
12 the lower depth of the 48-inch cover and possibly
13 into the pit contents itself?

14 A. If these pit contents -- all I know about
15 it is the electrical conductivity. Based on the
16 electrical conductivity, there's nothing based on
17 the electrical conductivity that will limit the
18 growth of shrubs into those pit contents. They
19 wouldn't be limited by that electrical conductivity.

20 In fact, if what I said is true, that
21 grasses grow about 24 inches and the pit contents
22 are 20 inches from the surface, wouldn't you be
23 suspicious that the grasses would be into the pit
24 contents? As I remember, there were some roots in
25 there, and it's kind of hard to tell shrub roots

1 from grass roots and forb roots, but the electrical
2 conductivity of those pit contents are not limiting
3 to alkali sacaton. Alkali sacaton could have
4 survived easily at electrical conductivities of ten,
5 and nine would not have limited that plant. So you
6 would expect some plant roots to grow into the pit
7 contents.

8 Q. So where there are some native species or
9 other species that could put their roots in there,
10 would they tend to draw moisture out of the pit
11 contents?

12 A. Yes. If the roots go in to a profile, pit
13 contents or whatever and they are able to survive
14 and they are able to handle the salt concentration,
15 then they would extract water from where they are
16 growing. That didn't sound very smart, did it? You
17 understood what I said so I don't think I need to
18 repeat that.

19 Q. Did you draw any conclusions then from
20 your experience with this ConocoPhillips study that
21 are summarized on the next slide?

22 A. I think he wants me to move on. The
23 conclusions here are this study was done in New
24 Mexico. It was 40 years after reclamation. There
25 was no pit liner. There was 20 inches of soil.

1 There were no surface salts. The salts migrated
2 about 12 inches from the pit contents up and they
3 migrated about seven feet down from the pit
4 contents.

5 In summary, what we talked about up to
6 this point regarding salt migration, what I hope I
7 conveyed to you is salts migrate upward into the
8 cover soils from a salt layer, whether it's spoil or
9 pit contents, but salts do not migrate to the soil
10 surface, and salt will migrate downward in a spoil
11 material or in pit contents if they are unconfined.
12 If there's nothing to control that movement, then
13 they will also move downward and they will move with
14 the water.

15 The current rule, No. 17, requires that
16 there be 48 inches of cover soil, 36 inches of soil
17 and a foot of topsoil, so 48 inches over the pit
18 contents is sufficient for the successful
19 reclamation of the site and for the salt management
20 of that site.

21 Q. And the proposed industry revisions aren't
22 calling for any reduction in the cover?

23 A. No.

24 CHAIRPERSON BAILEY: Is this a good place
25 for a ten-minute break?

1 MR. HISER: Yes.

2 (Note: The hearing stood in recess at
3 10:15 to 10:30.)

4 CHAIRPERSON BAILEY: We will go back on
5 the record. Mr. Hiser?

6 Q (By Mr. Hiser) Now, Dr. Buchanan, I believe
7 you were getting ready to switch gears and talk
8 about reclamation. Did you have any general
9 observations about reclamation before we move on in
10 the slides?

11 A. There's a couple things I would like to
12 say. The first thing is those of you taking the
13 quiz in the last section, your test papers are in
14 the back and it looks like everybody did well.

15 I would like to draw an analogy to
16 reclamation. Before I do that, I would like to
17 just, in a sense, kind of introduce reclamation.
18 That we started about in the 1950s and much of what
19 we know about reclamation has really been learned
20 after that. It came out of the fields of
21 agriculture, came out of the fields of soils, came
22 out of the fields of geomorphology, came out of the
23 fields of physics, chemistry, range science,
24 forestry, and these people putting their minds
25 together and contributing here and there.

1 Agricultural had a very strong influence.

2 We started to learn, and by the '60s we
3 were doing some pretty significant reclamation back
4 east. It actually started for them a little sooner.
5 We didn't really start reclamation in the west
6 until, oh, late '60s. And I came on to the scene in
7 the late '60s. By 1971 I was at the university and
8 doing some studies in reclamation.

9 Let me draw an analogy to this.

10 Reclamation is a lot like making oatmeal cookies,
11 and I love oatmeal cookies. It takes flour and
12 water and eggs and vanilla. It takes oatmeal, by
13 the way, sugar, and some brown sugar. So if I had
14 all of those components and I knew all those were
15 important and somebody told me that was part of
16 making an oatmeal cookie but I didn't have a recipe
17 and I kind of happenstance put this stuff together,
18 I may or may not getting something that tastes like
19 an oatmeal cookie. If I didn't put the oatmeal in,
20 I promise you don't get oatmeal cookies.

21 We know the components that go into
22 reclamation. We learned that a lot to a great
23 extent from agricultural by trial and error and we
24 did this and we did that. But we never in those
25 early years really knew what the recipe was, and we

1 were making oatmeal cookies that tasted not so good
2 and a lot of our reclamation failed. We got a
3 reputation for not being very good scientists
4 because we weren't being very successful in getting
5 reclamation established.

6 As the years went on, the recipes got
7 better and we learned, but we still made mistakes.
8 And Mother Nature played tricks on us. We thought
9 it was going to rain and it didn't. We thought it
10 wasn't going to rain during that period very much
11 and it flooded. So these things were happening and
12 these cold -- I remember we planted something one
13 time and it was very successful, very successful
14 reclamation. Then we had a ten below zero spell
15 come. That was unprecedented. What was that all
16 about? Every four wing saltbush we planted died.
17 Just died.

18 Oh, my. I guess we will start over. So
19 what I'm going to talk about, to some extent, if you
20 want to think about the oatmeal cookie, we are going
21 to talk about reclamation and the recipes.

22 One of the very basic laws to reclamation
23 is Liebig's Law of the Minimum. Justus Von Liebig
24 in about 1840 came up with the idea. Now, he's a
25 very interesting person and I would love to tell you

1 a lot of trivia, but I will tell you he was one of
2 the first people to invent fertilizer. You know
3 what he did? It was insoluble and couldn't be used
4 in the soil and he couldn't give it away. He had
5 the idea that the carbon in a plant came from the
6 atmosphere, from carbon dioxide. He was absolutely
7 right.

8 He also had the idea that that factor in
9 the least supply is that factor that will control
10 the growth of the plant. If you remember that
11 principle in reclamation. If you leave something
12 out, you don't get an oatmeal cookie. If you don't
13 put enough of it in, and that thing that is in the
14 least supply, that will be the thing that will have
15 the greatest influence on the success of that
16 reclamation. Liebig's Law of the Minimum.

17 The recipe is basically for today going to
18 be three major components: Topography, topsoil and
19 vegetation, and I want to address the three
20 subjects. The first one we will address is
21 topography. We found that we need a stable
22 topography, something that is geomorphically stable.
23 If it's geomorphically stable, the vegetation only
24 helps maintain that stability. If it is not
25 geomorphically stable, if the landscape is not

1 stable on its own, all the vegetation in the
2 world -- and I know somebody is writing this down
3 and I wouldn't want to be quoted so I will say it a
4 different way. You can put a lot of vegetation on
5 an unstable site and it will still be unstable and
6 it will erode. Vegetation isn't the answer to
7 everything. The stability of the site is so
8 critical. The vegetation helps.

9 We had a situation where we had a
10 geomorphically stable site. It rained two inches in
11 less than 15 minutes. No vegetation. It had been
12 seeded but the vegetation hadn't grown yet.
13 Virtually no erosion. The erosion was very minimal.
14 Why? Because the site was geomorphically stable.
15 Once the vegetation was established, that site is
16 very stable, very successful and that particular
17 site, the very one I am talking about has won
18 national awards as the best reclamation in the whole
19 United States and it's right here in New Mexico.

20 Q. So Dr. Buchanan, we were talking about the
21 geomorphology. That means basically the structure
22 of the soils and stuff that will be present --

23 A. The structure of the landscape, that the
24 landscape is such that it minimizes erosion and -- I
25 know what you want me to do. You want me to define

1 geomorphology. Geomorphology is the shape of the
2 landscape, and the shape of the landscape is
3 critical to the maintenance of that landscape. If
4 it's unstable it changes its shape. If it's stable,
5 it doesn't change its shape.

6 Q. And then you said that if I had an
7 unstable geomorphology to begin with, even if I put
8 vegetation on it, it would still be unsuccessful; is
9 that right?

10 A. It's still unstable and in almost all
11 instances it will be unsuccessful. The erosion will
12 capture the site. I am showing this picture. This
13 is our enemy. Erosion is our enemy. This is the
14 thing we are trying to control. If the erosion is
15 controlled, then we can have successful reclamation.

16 There's other parts of this reclamation in
17 terms of success, but one of the things is the
18 topography has to be successful.

19 Q. Now, before you move on to the questions
20 about erosion, a lot of times in older reclamation
21 practice we talked about restoring things to its
22 natural or original contour. If the original,
23 natural contour is not geomorphically stable, is
24 that a good idea?

25 A. That's right, it's not. It's not a good

1 idea, and we did that in the early years. We AOC'd
2 everything. Approximate original contour, AOC. By
3 law we were to AOC. And know what we did? We FSC'd
4 it. That's not in here so just write down the
5 letters, FSC, final surface configuration. We went
6 from AOC to a final surface configuration that was
7 stable.

8 Q. Generally with the final FSC as you just
9 said, we were trying to approximate the original
10 contour to the extent we can, but we take out those
11 features of it that may have made it geomorphically
12 unstable?

13 A. We are trying to get away from the
14 instability, and at the same time we had these
15 brainy ideas that the things we could do out there,
16 like big long drains, for example. What an awful
17 idea that was, but we did it and we built bunches of
18 them. We thought well, this is a way to control
19 erosion. And it doesn't work. We have learned now
20 it doesn't work and we are taking them out and
21 changing the shape of the landscape.

22 Oil pads aren't so bad. For the most
23 part, they are flat, but there's usually a cut slope
24 and a fill slope and those can be cut in such a way
25 that they can be geomorphically stable and the fill

1 slope can be filled in such a way that they can be
2 geomorphically stable. For the most part, things
3 that are flat don't erode too much. Don't get too
4 excited about that because there's a lot of flat
5 places that erode. But if we are careful with how
6 water comes on to the sites and off of the sites we
7 can do a great deal to control the erosion.

8 Q. The important things here as we look at
9 the rule and the changes that the industry has
10 provided for is to allow a little bit more
11 flexibility to achieve the geomorphology that's
12 stable?

13 A. Correct. We want to have the flexibility
14 to do the thing that is right. Let's turn to
15 another subject, topsoil, and spend a little time
16 talking about soil. One of the beginning arguments
17 was this building a standard for topsoil. What
18 constitutes topsoil? It has to have these
19 characteristics and these characteristics. Well,
20 where did those ideas come from? Out of
21 agricultural. What happened is we were trying to
22 grow native plants using agricultural standards and
23 we said well, we can't have anything with an EC over
24 four and we can't have an SAR greater than 12. We
25 can't have this and we can't have that.

1 So we were restricting ourselves so much
2 and, in fact, sometimes to the point where we
3 weren't allowing things to be in the topsoil that
4 were necessary to native plants. I will give you an
5 example.

6 So what did agricultural say? Low
7 sodicity, low salinity, low gravel content. Can't
8 have gravel in the soil. Well, yeah, it breaks up
9 plows and it's hard to plow soil that has rocks in
10 it, but that's not the case in native soils.

11 Now, this is another quiz and I want to
12 teach you something here. See the word sodicity?
13 S-O-D. That's the first three letters of the word
14 sodium. So when you see the word sodicity, you are
15 talking about concentrations of sodium or you're
16 talking about the sodium in the soil.

17 See the word salinity? The first letters
18 are S-A-L. That's the first three letters of salt,
19 S-A-L-T. Salinity is the electrical conductivity,
20 the soluble salts. The sodicity of the soil is the
21 amount of sodium in the soil. I mean this to be
22 funny: You are on your own for gravel.

23 So in reclaimed areas we can have high
24 sodicity and be very successful. We can have high
25 salinity and be really successful and we really like

1 high gravel contents. Gravel is our friend in
2 topsoils for reclaimed sites. Why is gravel our
3 friend? Because it's very resistant to erosion. We
4 can do great things in controlling erosion by having
5 some rock fragments in the topsoil. I know that's
6 counter to a lot of our thinking but it actually --
7 and that particular site I was telling you about
8 that has won the national award in part won that
9 award because we had the imagination, if you will,
10 to put gravel in some of the topsoils and those
11 sites were not only geomorphically stable, but now
12 they were very resistant to surface erosion.

13 Something we know is as topsoil depth
14 increases, for the most part the amount of cover,
15 the amount of plant cover at a site increases. So
16 if you have very shallow topsoil, you will get less
17 vegetation. If we have very deep soils, and in my
18 world deep is things that are over 24 inches. When
19 we get to four feet, we have a very deep soil. So
20 between zero and 24 inches we get a lot of
21 distinction between the amount of cover. Once we
22 get to about 24 inches of root zone material, we can
23 get to the point where we are maximizing cover.

24 The other thing, the sister to that is
25 diversity. If we increase the depth of topsoil we

1 increase the diversity. Now, sometimes we don't
2 want really deep soils in some instances. We want
3 shallow soils because that promotes shrubs. The
4 middle depth soils about four to six inches of soil,
5 you will get almost exclusively shrubs and hardly
6 any grasses. Six to nine inches, you get, not
7 exclusively, but a lot of forbs. After we get 12 to
8 24 inches of soil we get mostly grasses. Do we get
9 shrubs on deep soils? Absolutely. But we get more
10 grass on deeper soils.

11 So don't get confused here as to what I'm
12 recommending. What I am saying is we can control
13 diversity to some extent by the depth of soil, but
14 if we are trying to do something else with depth of
15 soil like protect something, then we will accept
16 that we will get grasses and then we can do some
17 other things to encourage the growth of shrubs and
18 forbs on those deep soils. And I will show you that
19 in a moment.

20 One of our enemies in reclamation is
21 compaction. If there's any one thing, if Liebig was
22 right on any one thing -- and he, of course, didn't
23 say this -- but it's compaction. If there's one
24 thing we need to take care of, the thing that we
25 need to eliminate, plants do not like compaction.

1 There's a whole bunch of reasons, but just accept
2 that -- basically you know that. If soils are
3 highly compacted you have very difficult times
4 establishing vegetation.

5 So what do we do? We break up the
6 compaction. One way is with chiseling. We will
7 chisel or sometimes we will put up deep shank -- we
8 pull it with a cat -- I'm sorry, I lost my train of
9 thought.

10 You do something to the soil to break up
11 that compaction. Another thing that's really
12 important is seed bed preparation. If there's any
13 one thing that you will go across the nation and
14 talk to 100 reclamationists, one of the first things
15 they will tell you is seed bed prep. You have to
16 get the seed bed prepared correctly for the seed
17 that you are putting in. I want to emphasize that,
18 that we carefully do that and do it in such a way
19 that we give that seed every opportunity to
20 germinate and grow. There's a whole bunch of ways
21 to prepare the bed, and we have done them over the
22 years and many of them work. It has to be
23 tailored -- this is very important -- it has to be
24 tailored to the site.

25 Some soils need to be prepared this way.

1 Heavier soils need to be prepared that way. So this
2 is not a one-thing-fixes-everything. This is you
3 tailor that seed bed prep to the soils that you are
4 working with. Fertilizer --

5 Q. Before you go on, this is the one case
6 where there was a missing word in the presentation
7 and that is the "no" in front of the fertilizer.

8 A. Do you notice that the slide is out of
9 focus? It's on purpose. It's not real clear, and I
10 don't mean this as a joke either. It's not really
11 clear about fertilizer. What we know is that as we
12 fertilize, and we did that in the early years, we
13 got Knapweed, we got White Top and we got Halogeton,
14 and those are all nasty weeds. Here is the message
15 that you take home. If you fertilize, even if your
16 home garden, you are going to encourage weeds.
17 Period, end of paragraph.

18 We try to avoid using fertilizer as much
19 as possible. We would like to get to the point
20 where we use no fertilizer because these plants, if
21 we are native, and they should be native, they don't
22 know what to do with the nitrogen. They have never
23 evolved with that much nitrogen. They have never
24 evolved with that much nutrients. They are used to
25 having very difficult circumstances, so we babied

1 them too much when we started out. We thought oh,
2 these poor characters. They need this stuff and we
3 put the stuff in there. We didn't get what we
4 wanted but we got weeds. So we learned a lot about
5 fertilizer and we are careful in using it. I'm not
6 saying not to. I'm saying you have to be extremely
7 careful and for the most part we avoid fertilizers.
8 The last thing is vegetation.

9 Q. Before we move off of that, the take-home
10 message here is these are very site-specific
11 evaluations and do they lend themselves well to a
12 rule to address these steps of the reclamation
13 process?

14 A. I know this is being smart, but they lend
15 themselves to flexible rules really well. They
16 don't lend themselves to strict rules at all. If we
17 have one strict rule that we can only stay within
18 those confines, we will very much limit ourselves as
19 to our ability to be successful at reclamation. We
20 want to have -- we, as a reclamationist, we would
21 like to have flexibility to match the right seed mix
22 to the right place, the right seed bed prep to the
23 right place, the right geomorphology to the right
24 place.

25 I'm going to move on to vegetation. Seed

1 rate. This is the amount of seeds that we put on
2 the ground. For the longest time -- and this is a
3 big long lecture and takes about a half hour and I'm
4 not going to get into it so you will have to skip
5 through it -- we put it out by pounds. We put a
6 pound of this and a pound of that. And what a mess
7 we had. You put out pure live seed, PLS per square
8 foot. We would like to put somewhere between five
9 and 50, and this comes into the flexibility.

10 Do all sites have to be seeded with 25
11 seeds PLS? No. Some sites need five or ten seeds
12 per square foot and some need as many as 50. Some
13 times of the year we put more seed and some times of
14 the year we put less. At these elevations we put
15 more seed; and at lower elevations we put less seed.
16 So it falls within the range of five to 50, and the
17 point I'm trying to get across is we don't put it
18 out in a poundage way, we put it out as the number
19 of seeds per square foot.

20 We need to adapt that to the site. One of
21 the things that's also important in this is the seed
22 mix. There's a paper that was written, and the
23 author said what you seed is what you get, and he
24 was right. What you seed is what you get. If you
25 seed alkali sacaton and that's all you seed, that's

1 all you get. If you seed grasses and forbs and
2 shrubs, you have the opportunity to get grasses,
3 forbs and shrubs.

4 So is one mix good to all things? Of
5 course not. We want grasses, forbs and shrubs.

6 Now, watch what happens here. So some
7 mixes are for steep slopes, some are for north, some
8 are for south, some are for east, some for west,
9 some for flat places, so we adapt the mix to the
10 type of location. The type of location. The
11 elevation will make a huge difference as to what mix
12 is used. We are still using grasses, forbs and
13 shrubs, but we change up that mix. We change up the
14 species. We don't grow alkali sacaton at high
15 elevations or western weed at low elevations. It
16 can't handle the low precipitation. Or we get into
17 a wet area. We don't want certain species in there
18 because they don't do well. It's a just a waste of
19 time and a waste of money. They compete for things
20 that they have no ability to compete with.

21 So the seed mix is very critical here, and
22 it has to be tailored to the place that we are
23 seeding.

24 Seed timing. This is when we actually do
25 the seeding called seeding timing. This is really

1 some interesting stuff. I like talking about this.
2 The difference between annual and seasonal
3 precipitation. We always say, oh, well, it's a
4 12-inch precip zone or that's a 10-inch precip zone
5 and we all talk about annual precipitation. That is
6 meaningless in reclamation. The seasonal
7 precipitation, what time of the year does that
8 precipitation come? Spring, fall, winter, summer?
9 If it comes in the summer, when do you seed? When
10 the precipitation comes.

11 What if the spring is extremely dry? I
12 worked in areas where we would go 60, almost 90 days
13 without precipitation. Did we plant trees during
14 that time? Absolutely not. We waited until the
15 rains had established themselves and then we planted
16 and timed our seeding to the seasonal precipitation.

17 Now, it goes one step beyond that. It's
18 not only seasonal but the number of rain events. We
19 know, and if you have spent any time in New Mexico,
20 you know that when it rains sometimes it rains cats
21 and dogs. We can get a two-inch rainstorm, a
22 three-inch rainstorm, so that's the amount. So in
23 this particular season, we get two inches of rain.
24 Do you want two inches one day or would you like to
25 have that spread out over ten days? Of course you

1 want it spread out.

2 So one of the things that I have looked at
3 very carefully and have made a big deal out of is
4 not only what season to plant in but what time in
5 that season so I maximize did I get the greatest
6 number of rain events during that period of time?
7 What am I talking about? I am talking about getting
8 frequent irrigations. It gets a little rain and a
9 couple of days later it rains again.

10 If I get 13 rain events in the month of
11 July and I get one rain event in the month of
12 August, I want to be planting during those frequent
13 rain events. I know I am making a big deal out of
14 this but it's a big deal to me.

15 Let me talk about diversity. This is a
16 very interesting subject because it involves so many
17 different things. Diversity, for the most part, we
18 think of grasses and forbs and shrubs. That's
19 diversity. One of the things that we did in the
20 early years, and we made a big deal out of, was that
21 we had this grass, this particular grass species.
22 We will pick on the one on the right, alkali
23 sacaton.

24 That species name is Sporobolus airoides.
25 That's what's growing there in the reference site in

1 this particular instance that I'm giving you.

2 But I don't get alkali Sporobolus airoides
3 to establish very well but I can get Sand Dropseed,
4 Sporobolus cryptandrus, to establish very well.

5 Now, I would like to tell you I
6 interviewed a cow one time and I asked the cow what
7 the difference was. I think I interviewed the cow
8 but he just never said anything. Here is what I am
9 speculating the cow would say. The difference of
10 those two plants is the openness of the panicle and
11 the length of the ligule on that grass and a cow
12 cannot tell the difference. For the most part, most
13 human beings cannot tell the difference on the
14 length of the ligule. But if you are stuck on
15 species diverse diversity and you had alkali sacaton
16 and you now have sand dropseed, you would say I
17 didn't meet the diversity standard because I don't
18 have alkalide sacaton.

19 So about ten years ago, another professor
20 and I came up with this goofy idea of life form
21 diversity. What we said was if it was a grass
22 before, a life form -- an example of a life form is
23 grass. Another example of a life form is a forb and
24 another life form is a shrub, and another life form
25 is a tree. If I had grasses before and they were

1 native grasses, and we can categorize those life
2 forms however we want, but if I had alkali sacaton
3 before and I had sand dropseed later, I have the
4 same life form and I promise the cow can't tell the
5 difference. Then I have established the life form.

6 So I am proposing that when we measure
7 diversity in reclamation, we measure based on life
8 form and don't get so caught up with the species.

9 Okay. You know what? We are almost done
10 here. I'm going to summarize what I have said about
11 reclamation. There's some critical elements for
12 success. There are some parts that go into the
13 oatmeal cookie. We know that and we know there's
14 some things that go into reclamation. We know that
15 some things are important, very important for
16 success and we try to get those in the right
17 proportions. One of them is a stable topography.

18 Another is sufficient topsoil and three feet of root
19 zone material with one foot of topsoil is
20 sufficient. Forty-eight inches is sufficient and we
21 are able to establish vegetation on soils that deep.

22 Compaction management is very important.
23 It needs to be dealt with. Seed mix. And I know I
24 pounded on that and I know you believe me that seed
25 mix is very important and that we approach diversity

1 from a life form standpoint and we need to plant in
2 a favorable growing season to maximize the ability
3 to get those plants established. That's kind of the
4 recipe. It's kind of a goofy recipe because it
5 doesn't have one teaspoon and two tablespoons and
6 three cups, but we know the parts, and when we talk
7 to professionals who are reclamationists who know
8 some about this, they know whether it's two cups,
9 three cups, two tablespoons or a teaspoon and we
10 address those issues and we are pretty smart.

11 We are actually pretty smart people. I
12 don't mean reclamationists. I think all people are
13 smart and we just have talents in different subjects
14 and reclamationists are smart in their field and we
15 have been pretty successful in getting reclamation
16 established if we do the right things. That's
17 really all I have.

18 Q. One question. You talk about compaction
19 management. Does that differ between whether we are
20 looking at the final reclamation when we are trying
21 to reestablish the vegetation? What if I wanted to
22 use a part of that for pit parking or moving
23 equipment? Is there a difference in my compaction
24 standard between the interim period and the final
25 period?

1 A. Yes. In the interim period we are
2 visiting the site. We want it compacted. We are
3 not trying to -- fact is, we are not trying to grow
4 vegetation on it. We are driving on it and visiting
5 that site and we're taking data from the well or
6 adjusting instruments at the well. When we get to
7 the final reclamation, yes, we have to get rid of
8 the compaction. If we don't get rid of the
9 compaction it's a death wish. We are not able to --
10 for the most part, we are not able to establish
11 reclamation on sites that are highly compacted.
12 There's hardly any exception to that.

13 Q. At this point, Dr. Buchanan, I would like
14 to change from sort of this general view of
15 reclamation, revegetation, salt control and look at
16 some of the changes to the rule. So if we look at
17 Attachment A behind Exhibit 1 in NMOGA's exhibit
18 book and we go to Definitions on Page 2, under L
19 there's a definition of life-form ratio and that's
20 defined as the relative percentage of plants in each
21 of the following classifications: Shrubs, forbs and
22 grasses. What are you seeking to do with the
23 definition of life-form ratio?

24 A. Try to get away from species, a ratio of
25 species to one another to define diversity; that by

1 using a life-form ratio, this is the ratio of the
2 grasses that were there -- the grasses to the
3 grasses and the forbs to the forbs and the shrubs to
4 the shrubs and the trees to the trees so we get,
5 within reason, about the same ratio as what we had
6 before.

7 Q. And so your belief is that by looking at
8 this life-form ratio we should have a more
9 sustainable community in this part of the vegetation
10 and reclamation?

11 A. What I have found, and it's just a
12 practical thing. I have never published on this but
13 it's just kind of a practical thing. We are
14 required in various disciplines to meet a diversity,
15 and we have had to meet it by species. Here we have
16 this wonderful reclamation, award winning
17 reclamation, all kinds of things growing out there
18 and we can't meet the diversity standard so the site
19 fails. I'm not talking about the oil and gas
20 industry, I am talking about the mining industry.
21 And we failed and failed in diversity.

22 I have gotten on my soap box so many times
23 that the poor box is worn out, that we have
24 successful reclamation and we have diversity if we
25 would only look at it from a different viewpoint and

1 stop worrying about one species being replaced by
2 another species, that we replace grasses with
3 grasses and forbs with forbs. It's gotten some
4 attention, and I am asking that that be considered
5 for this Pit Rule. That we look at diversity from a
6 life-form standpoint instead of a species
7 standpoint.

8 Q. If you flip back to the closure and
9 reclamation standard issues and move to Page 38 of
10 the exhibit, you see here the general provisions on
11 site contouring. Under Section 1A, there's this
12 long paragraph. If I look at the second to the
13 bottom line of the paragraph I see some wording that
14 talks about "that approximates the original
15 contour." And this is sort of the -- is that the
16 older standard of trying to return the original
17 contour that we discussed?

18 A. I'm sorry, we're having trouble finding
19 it.

20 Q. Page 38, Section F 1 A, second to last
21 line of F 1 A.

22 A. "The operator shall substantially restore
23 the impacted surface area to the condition that
24 existed prior to oil and gas operations by placement
25 of soil cover as provided in Section" --

1 Q. No. Mine reads that they will recontour
2 the location of associated areas to a contour that
3 approximates the original contour and blends with
4 the surrounding topography.

5 A. Okay.

6 Q. Is that sort of the older, trying to
7 return everything to its original contour that we
8 discussed a couple minutes ago?

9 A. Yes.

10 Q. So your recommendation to the Commission
11 is we look at this -- and I notice that industry
12 didn't propose a change here -- is that what's
13 important here is the approximate as opposed to
14 getting back to the exact original contour, right?

15 A. Yes. Here approximate would work.

16 Q. Then if we turn back one page to Page 39,
17 which is the Reclamation and Revegetation, you will
18 see there's a new section here. Does the language
19 here in Section 3 B really better approximate what
20 you believe is current reclamation practice for
21 successful revegetation?

22 A. Yes, it does.

23 Q. Then in Section C where we're talking
24 about reclamation, is this where you have introduced
25 the concept of our industry's proposed the concept

1 of the life-form ratio?

2 A. That's correct.

3 Q. And in your opinion, as a person who has
4 worked for a long time in reclamation in New Mexico,
5 is this a good standard for successful reclamation
6 of oil and gas pits?

7 A. Yes, it is. It is.

8 Q. Now, I notice that in the fourth line from
9 the bottom, which would be the fifth line from the
10 top, there's a discussion of a uniform vegetative
11 cover, and by uniform vegetative cover, do you
12 mean --

13 A. I'm sorry, where are you?

14 Q. The fourth line from the bottom of Section
15 C.

16 A. Okay.

17 Q. I'm sorry to have to point the words out
18 this way, but there it's talking about "or uniform
19 vegetative cover has been established." By uniform
20 in this context, are we talking about it's all the
21 same plant?

22 A. No.

23 Q. Or are we talking about that it's
24 uniformly disbursed across the surface?

25 A. Correct. That's the intent is that

1 there's vegetation over the entire site.

2 Q. So perhaps if we said uniformly disbursed
3 or well disbursed across the landscape that would be
4 better than the term uniform here because it could
5 be looked at as a uniform planting across the cover?
6 Would that be true?

7 A. Yeah, that's possible to interpret that
8 incorrectly.

9 Q. Did you prepare -- if I turn then to the
10 exhibit book and we look at Tab 18, is this a report
11 that you prepared?

12 A. Yes, I did.

13 Q. Does it substantially summarize the
14 testimony that you provided to the Commission today?

15 A. Yes, it.

16 Q. Behind that, behind Tab 19 of the NMOGA
17 book there is a salt migration study for
18 ConocoPhillips 2007. Did you prepare this?

19 A. Yes.

20 Q. And this is additional information on the
21 study that you presented to the Commission today?

22 A. Yes, it is.

23 MR. HISER: Madam Chairman, I move we
24 admit NMOGA's Exhibits 17, 18 and 19.

25 MR. JANTZ: No objection.

1 MS. GERHOLT: No objection.

2 MR. NEEPER: No objection.

3 CHAIRPERSON BAILEY: They are admitted.

4 (Note: Exhibits 17, 18 and 19 admitted.)

5 MR. HISER: I tender the witness for
6 cross-examination.

7 CHAIRPERSON BAILEY: Ms. Foster, any
8 questions?

9 MS. FOSTER: I do not.

10 CHAIRPERSON BAILEY: Mr. Jantz?

11 CROSS-EXAMINATION

12 BY MR. JANTZ

13 Q. Thank you, Madam Chair. Good morning,
14 Doctor. Just to preface sort of the more technical
15 questions --

16 A. I'm sorry, I'm nearly deaf and I have
17 hearing aids on. I can hear most of what you say
18 but don't be afraid to speak loudly.

19 Q. Okay. I won't. I appreciate you giving
20 me a heads-up. Just to preface the technical
21 questions, you testified before the Commission in
22 2007 on the Pit Rule; is that right?

23 A. Yes, I did.

24 Q. And the testimony then was essentially
25 substantively the same as it is now; is that right?

1 A. To a great extent, yes.

2 Q. And the report, I guess, that's now
3 Exhibit 18, you had submitted a report to the
4 Commission in 2007. Are those reports substantially
5 the same?

6 A. Pretty much the same.

7 Q. All right. Thanks. Now, if we can go to
8 Slide 17-11. When you evaluated this study or when
9 you did this study, did you look for hydrocarbons as
10 well?

11 A. No.

12 Q. Or was it just chlorides? Were you
13 evaluating just chlorides?

14 A. No, I was evaluating soluble salts.

15 Q. Soluble salts. Okay. But no
16 hydrocarbons?

17 A. No hydrocarbons.

18 Q. Okay. This may be beyond the scope of
19 your expertise and say if it is. Do you know if
20 hydrocarbons behave the same way in terms of
21 transport as salts do?

22 A. I don't know.

23 Q. Thank you. Now, when you were talking
24 about saturated versus unsaturated soils, you
25 mentioned that around rivers, groundwater or the

1 ground is often saturated?

2 A. I was generalizing, but around a river
3 it's not uncommon for there to be an elevated water
4 table. And when there is an elevated water table,
5 elevated meaning close to the surface, that those
6 soils in that area will often be saturated. Not all
7 the time, but they can be saturated.

8 Q. Okay. And how far away from like the
9 river's edge?

10 A. Oh, my goodness. You know what? Boy,
11 I -- there are just so, so many factors that affect
12 where the water table is, and I am not the person to
13 ask that question.

14 Q. So it could be a site-by-site kind of
15 analysis?

16 A. Absolutely.

17 Q. Great. Can we go to Slide 17-14? Now,
18 I'm going to give you the opportunity to teach
19 remedial chemistry here, because I don't know -- I'm
20 not familiar with the millimoles per centimeter or
21 millimoles per liter.

22 A. Okay. I saw that when we were going
23 through it. I made a mistake. Electrical
24 conductivity is measured in millimoles per
25 centimeter which is the same a decisiemens per

1 meter.

2 Q. So they are equivalent?

3 A. They are equivalent. If you have
4 millimole per centimeter you have one decisiemen per
5 meter, okay? Sodium is measured in milliequivalents
6 per liter so the numbers are okay but the units
7 should have been milliequivalents per liter and the
8 chloride should have been milliequivalents per
9 liter. With changes you can make those into parts
10 per million, for example, but those units should
11 have been milliequivalents, not millimoles.

12 Q. So the source of my confusion is I'm
13 not -- in the regulations we are dealing with
14 milligrams per kilogram, milligrams per liter. How
15 do these measurements that you have, millimoles per
16 centimeter, millimoles per liter, relate to the
17 measurements, say, in the Tables 1 and 2 in NMOGA's
18 proposed regulations?

19 A. You know, if you get a really good
20 chemist -- and I'm not a really good chemist -- you
21 change milliequivalents per liter over to parts per
22 million. You can do that. And if I had a textbook
23 and one of my employees to help me, I could probably
24 get through that. But you know what? Today I can't
25 get you over there. But it can be done.

1 Q. Okay. So we are sort of on our own in
2 terms of trying to figure out how these correspond
3 to the concentration tables?

4 A. Yes. The point here is that what
5 McFarland was trying to show is the migration of
6 salt. And I have no idea how those would translate.

7 Q. Okay.

8 A. I mean, I shouldn't say I have no idea. I
9 have a very good idea. I just don't know how to do
10 it.

11 Q. That makes one of us who has a good idea.
12 You said when you were talking about the Weatherby
13 drilling pit study that at some depth the salts
14 reach equilibrium. They don't go up and don't go
15 down.

16 A. They will do that eventually.

17 Q. At what depth is equilibrium reached?

18 A. It's very dependent on the soil type, very
19 dependent on the climatic conditions, so you can't
20 say one depth. I can't give you one answer. It
21 will vary for the conditions of climate, soil type,
22 soil texture, et cetera, and the type of salt, of
23 course. The more soluble salts will be deeper and
24 the less soluble will come to equilibrium higher in
25 the profile. It's very difficult to speculate where

1 they will come to equilibrium.

2 Q. So you get more rain or moisture and the
3 equilibrium will be lower?

4 A. Correct.

5 Q. You get less moisture, equilibrium will be
6 higher?

7 A. That's a correct statement.

8 Q. In terms of the soil type how does that
9 affect it it?

10 A. To the greater extent, soils have
11 different texture, sandstones and clay. We refer to
12 a heavy texture soil as one with quite a bit of
13 clay. Water moves in those soils much differently
14 than they move in what we would call a light soil,
15 which is a sandy soil. Sandy soils, water moves
16 quite differently.

17 The principles are the same, but they move
18 differently and the storage capacity of a soil is
19 greatly different whether it's sandy, loamy, or clay.

20 Q. Okay. Can we go to 7-19 please. On this
21 one you started talking about what sort of plants --
22 the beginning of your discussion which you continued
23 later on -- about what sort of plants can survive in
24 the high salt content soils.

25 A. Correct.

1 Q. And all those plants were native grasses,
2 shrubs and trees -- well, native grasses and shrubs.
3 I guess you didn't cover trees; is that right?

4 A. I don't remember what I said, but you can
5 include trees.

6 Q. Okay, you can include trees. But it
7 doesn't include crops, grain crops, food crops?

8 A. I know you asked the question, but you are
9 going to have to ask it again.

10 Q. Are your typical food crops, grain crops,
11 amenable to growing in salty soil?

12 A. For the most part, no.

13 Q. So if reclamation were done in
14 agricultural areas, it may have to be done
15 differently than what you explained here?

16 A. That would be true.

17 Q. Now, you have said that compaction is bad
18 for the crops or the cover crops, right?

19 A. I think I said vegetation but cover crop
20 is fine.

21 Q. And NMOGA's new proposed rules on Page 39,
22 top of the page, deletes the word "compacted." Four
23 feet of non-waste containing earthen materials.
24 Does your analysis account for subsidence in this
25 cover soil?

1 A. Yes. The answer is yes. Maybe we should
2 just leave it there and say yes.

3 Q. Okay. In trench burials under NMOGA's
4 proposed rules, liner flaps get folded over the
5 waste. Would that liner affect how root growth --
6 would that affect vegetation root growth at all for
7 some of the shrubs?

8 A. If the roots could reach the depths and
9 hit the liner, they would be affected by the liner.

10 Q. And how would they affect the liner or how
11 would they be affected by the liner, I should say?

12 A. I mean this in a serious way. Roots don't
13 have eyes, but roots would see that as a barrier and
14 they would see that as something that they couldn't
15 penetrate. What they will do, if the roots can grow
16 what they will do is they will grow like they grow
17 on a layer that they can't penetrate and they come
18 down and then they will spread. I don't have any
19 experience of roots coming down and hitting a liner.
20 I have never seen that in my experience, but I have
21 seen roots come down and hit barriers, buried
22 pavement, and the roots come down and then they want
23 to go sideways, and that's what they will do.
24 That's what they do.

25 Q. Okay. Now, just sort of a layperson's

1 perspective. You see tree roots, some weeds
2 especially, can come up -- you can get it so they
3 will crack concrete. Is it conceivable that shrub
4 roots could breach a liner?

5 A. I guess it's conceivable. You know, I'm
6 going to repeat something. I have never dug around
7 such things and I don't know much about that. I'm
8 only speculating, so are you saying is something
9 possible? Yeah, I think something like that is
10 possible. I don't know.

11 Q. Okay. And just my last question is for
12 clarification purposes. The next slide, 17-20. On
13 my copy that was submitted with NMOGA's prehearing
14 statement, the ConocoPhillips study has a 25 years
15 post-reclamation period. Which one of those is it?

16 A. Well, it was reclaimed in 1967 and Ruth
17 and I will be married 45 years in June, so 2007, 40
18 years. If my math is very good and -- it's not very
19 good -- but I was married on July 1st and I know
20 that. So 40 years will be the correct number.

21 Q. So 40 years is correct. All right. I
22 think that's all I have. Thank you, Dr. Buchanan.
23 I appreciate your testimony.

24 CHAIRPERSON BAILEY: Before we go to the
25 next cross-examination, it's getting 11:30ish. Why

1 don't we take a break for public comment and we can
2 resume cross-examination following that public
3 comment period. We have five people who have signed
4 up for public comment. I would like to repeat what
5 the process is. Public commenters will be given
6 five minutes for their discussion. They can be
7 either sworn or unsworn testimony. Sworn testimony
8 will subject a person to cross-examination. We have
9 Theresa over here with a timer who will enforce the
10 five-minute time limit.

11 The first person on the list is Mike
12 Sauck. Will you come closer so the court reporter
13 has no problem hearing you. Would you like to make
14 sworn or unsworn comment?

15 THE WITNESS: Sworn.

16 MIKE SAUCK

17 after having been first duly sworn under oath,
18 was questioned and testified as follows:

19 CHAIRPERSON BAILEY: State your name and
20 place of residence.

21 MR. SAUCK: My name is Mike Sauck. I live
22 in Aztec, New Mexico. I am the vice president of
23 West Largo Corp. which is a small independent gas
24 and oil company. We drill natural gas wells in the
25 San Juan Basin. West Largo has operated wells in

1 the San Juan County since 1990. We have since that
2 time drilled and completed 23 gas wells, which is
3 certainly not a very large number compared to many
4 other independent operators in the basin.

5 Nevertheless, we have enjoyed great
6 success for a small company with only three direct
7 employees. West Largo had the distinction of
8 ranking 58th in natural gas production in the state
9 of New Mexico in 2011.

10 Since 2004 when we began our infill
11 drilling program, we have drilled ten new Fruitland
12 Coal wells with a total cost of 3.7 million dollars.
13 With a limited number of working interest partners,
14 including notable majors such as ConocoPhillips and
15 BP America we finance our drilling programs out of
16 our own cash flow, not out of borrowed money. Thus,
17 we have every incentive to drill and complete our
18 wells as economically as possible.

19 In response to the request for information
20 regarding drilling cost comparisons before the Pit
21 Rule regulations and after the Pit Rule regulations
22 were enacted I have provided two AFEs for wells
23 drilled by West Largo Corporation in the San Juan
24 Basin. Both wells were drilled and completed in the
25 Fruitland Coal formation at comparable depths.

1 West Largo had drilled and completed 22
2 Fruitland Coal wells in the basin between 1990 and
3 2008 but we chose to halt our drilling program after
4 implementation of the Pit Rule until we could gain
5 information as to how the new rules would affect
6 drilling costs. We chose to drill our 23rd well in
7 2010, and even with the best advice that we could
8 glean from other operators and drilling contractors,
9 our drilling costs were woefully underestimated.
10 Please note that the comparisons of the actual costs
11 shown for the two wells. And I have -- I don't know
12 if you want to look at this later or --

13 CHAIRPERSON BAILEY: You are submitting
14 that information as part of your testimony, sworn
15 testimony. Yes, you are allowed to submit
16 documents.

17 MR. SAUCK: We were grossly misled by the
18 drilling contractor and drilling cuttings
19 hauler/disposal company as to the estimated costs
20 involved. Note that we budgeted \$8,000 for disposal
21 and it ended up costing \$77,000. We believe we were
22 intentionally misled to prevent us from deciding to
23 cancel the well due to unreasonable cost.

24 The drilling contractor cost increased by
25 27 percent and the time to drill was doubled due to

1 the inability to resume drilling until the
2 supersucker truck had removed the cuttings from the
3 previous day's drilling.

4 We hope this actual data will be helpful
5 in establishing the negative economic impact of the
6 implementation of the Pit Rule. West Largo, being
7 such a small independent company, has relied on the
8 excellent assistance of the oil and gas service
9 companies located in the Farmington/Aztec/Bloomfield
10 area. Unfortunately, we have witnessed many fellow
11 business partners and oil service companies go out
12 of business or leave the basin and the state due to
13 the implementation of the Pit Rule. I would like to
14 thank the New Mexico Conservation Commission for the
15 opportunity to present this material for their
16 consideration.

17 CHAIRPERSON BAILEY: Are there any
18 questions of the witness?

19 COMMISSIONER BLOOM: Mr. Sauck, thank you
20 for your testimony. Could you tell us how the
21 proposed changes would have led to lower drilling
22 costs in this instance?

23 MR. SAUCK: The proposed changes?

24 COMMISSIONER BLOOM: So if you were
25 drilling under a set of circumstances similar to

1 those under which we would see if these new rules
2 were put into place, how would that have changed
3 your experiences in drilling the 23rd well?

4 MR. SAUCK: I think that the main thing
5 would be that we would not have to haul our cuttings
6 and dispose of them in another location and those
7 were the main increases in the cost.

8 COMMISSIONER BLOOM: Thank you.

9 CHAIRPERSON BAILEY: Any other questions?

10 COMMISSIONER BALCH: I also have a request
11 for clarification. You are talking about hauling
12 waste from the closed-loop system?

13 MR. SAUCK: Yes.

14 COMMISSIONER BALCH: That's the delay?

15 MR. SAUCK: Yes.

16 CHAIRPERSON BAILEY: Thank you.

17 MS. FOSTER: Madam Chairwoman, could we
18 bring the letter to the court reporter?

19 CHAIRPERSON BAILEY: Give it to Florene.

20 MR. NEEPER: Question, Madam Chairman.
21 Although our witness for economic things is not
22 here, would we be able to get a copy of this
23 witness' exhibits?

24 CHAIRPERSON BAILEY: Yes.

25 CHAIRPERSON BAILEY: Bill Humphries?

1 Would you like to make a sworn or unsworn statement?

2 MR. HUMPHRIES: Sworn.

3 CHAIRPERSON BAILEY: Dr. Buchanan, I hate
4 to have to move you twice, would you mind please
5 leaving the witness stand for people making sworn
6 testimony?

7 BILL HUMPHRIES
8 after having been first duly sworn under oath,
9 was questioned and testified as follows:

10
11 CHAIRPERSON BAILEY: Please state your
12 full name and your name of residence.

13 MR. HUMPHRIES: Bill Humphries. I live
14 south of Tucumcari, New Mexico. I realize this
15 process has been evolutionary and there are constant
16 changes in the proposed rules, so if I miss
17 something, I apologize. But I would like to say
18 that I prefer the existing rule in most cases. I do
19 not want to see the rule prohibit responsible oil
20 and gas development, though, for New Mexico and for
21 lots of obvious reasons for the economy and
22 America's health.

23 I do want to see OCD be able to protect
24 all other resources and values associated with the
25 rule and those of us who live with it. A couple

1 things that bother me is I would really prefer
2 actual empirical data to modeling data. I fear that
3 modeling data has lots of latitude that we would not
4 have information that could be necessary to make a
5 decision. If we have known depth to groundwater and
6 existing water quality in the process of the rule
7 development, I think that would be beneficial to
8 all. I would like to see known detail of existing
9 soil and surface to water information if that
10 becomes part of the process that's necessary to
11 issue the final rule.

12 I'm concerned that the distance or
13 separation from existing residences, dirt tanks,
14 wells and watercourses at 25 feet, if that's still
15 the current number and I believe I saw no changes in
16 that, that's the approximate width of this room, and
17 I think that's probably, if nothing else, logical
18 that that's a little too close, and I certainly
19 prefer that to not be the case on my property.

20 I prefer not to see any contents left
21 on-site if that's at all possible. And if that is
22 the case and the rule does allow it, then I think
23 detail analysis of the pre-existing conditions and
24 what's in there -- in other words, actual data of
25 the chemical analysis, if you will, and all other

1 types of analysis of what's in the buried site
2 should be available, should be known. It could be
3 on the website or at least in the public records
4 that OCD holds. And the continuing responsibility
5 for that be held by those who develop the well and
6 left them there, not the public, not the landowner
7 and certainly not the taxpayer.

8 I also think that we need to know the
9 cumulative results of the changes. I see some
10 complexities that I can see advantages to and
11 disadvantages, yet I'm not able to make that
12 cumulative call as a public citizen. So I would
13 like to see additional involvement of the surface
14 owners if at all possible. I think the proposed
15 change let to taking surface owners one step further
16 out of the picture.

17 Again, at the end, regardless, it seems to
18 me it might be beyond the scope of this hearing but
19 for OCD to have adequate capacity and funding to
20 oversee the remaining results of whatever the
21 changes may be. That concludes my testimony.

22 CHAIRPERSON BAILEY: Thank you. Any
23 questions of the witness? Seeing none, thank you
24 for your comment.

25 The next person who signed up is Phil

1 Bidagen. Would you like sworn or unsworn testimony?

2 MR. BIDEGAIN: Sworn, please.

3 PHIL BIDEGAIN

4 after having been first duly sworn under oath,
5 was questioned and testified as follows:

6 CHAIRPERSON BAILEY: Would you please
7 state your name and place of residence.

8 MR. BIDEGAIN: Yes, ma'am. My name is
9 Phil Bidegain and I live at Montoya, New Mexico,
10 which is west of Tucumcari. I have a Conchas phone
11 number, Tucumcari address and I live in Montoya so
12 you won't be able to find me.

13 Madam Chairman and the members of the
14 Commission, I appreciate this opportunity to speak.
15 I have been following but it's been kind of hard to
16 stay up with the changing proposed rule, so if I
17 miss something, I apologize for that. I did
18 spend -- I was on the task force before the previous
19 hearings and spent quite a bit of time on it, and I
20 thought we had come through a pretty good
21 compromise. Not everybody got everything they
22 wanted but we compromised with our proposal to the
23 Commission. There was agreement of the task force,
24 and I feel like now we're trying to go back maybe
25 even to the starting point of the previous, which

1 doesn't seem fair if when you compromise you reach
2 an agreement and then certain parties don't stick
3 with that agreement.

4 I think we should realize -- I have a
5 ranch that's in three counties, Quay, Guadalupe and
6 San Miguel, and when San Miguel put a moratorium on
7 drilling they turned some of the leases back and so
8 I was testifying on the other side. Well, maybe not
9 the other side, but I testified that the state rules
10 should be good enough and the County should accept
11 them. And now that we are revisiting the Pit Rule I
12 feel like it didn't make me look too well because
13 apparently the rules weren't good enough.

14 But if the State doesn't have a good set
15 of rules and stick by them, then you are going to
16 end up -- the oil companies will end up dealing with
17 33 sets of different numbers and more moratoriums,
18 which is not fair to certain counties. It would be
19 overly fair to others.

20 Some of my issues are the so-called
21 burritos, the in-trench burial. I have two of them
22 that I have to live with only because I was not
23 educated at that time and the rules allowed for
24 in-trench burial but they are going to be there
25 forever. I probably won't be there forever to make

1 sure nobody drills a post hole or puts an electric
2 line through there or any of that.

3 So I would be opposed to the in-trench
4 burial. As far as the numbers, the siting numbers,
5 the proximity to -- it especially excites me the 100
6 feet from a livestock watering well is just -- it's
7 just not very far, because you have -- that's 100
8 feet from the edge of the pit but the pad may
9 extend, depending on the configuration and stuff,
10 could extend closer. And that's -- I just think it
11 would be easier to prevent anything happening by
12 having a larger distance. One hundred feet is only
13 33 yards. That's only 33 steps when you think of it
14 that way it's pretty close.

15 So I basically oppose most of the changes
16 in the proposed rules, so I oppose the rules.

17 CHAIRPERSON BAILEY: Thank you. Are there
18 any questions of this witness?

19 MR. JANTZ: Yes. Madam Chair, I have a
20 question. Mr. Bidegain, how many wells do you have
21 on your property?

22 MR. BIDEGAIN: No producing wells. I have
23 one temporarily abandoned well and the rest are
24 abandoned.

25 MR. JANTZ: How many abandoned ones?

1 MR. BIDEGAIN: Over the years, probably
2 ten.

3 MR. JANTZ: How many pits have been buried
4 on your property, if you know?

5 MR. BIDEGAIN: Ten. A lot of the older
6 wells they would just bulldoze them over, which was
7 my dad's generation, but then I have two in-trench.
8 I will give them the in-trench burial better than
9 bulldozing over.

10 MR. JANTZ: Have you noticed how the
11 reclamation is doing over the in-trench burials?

12 MR. BIDEGAIN: We just have a little bit
13 of grass and weeds. They were never reclaimed.

14 CHAIRPERSON BAILEY: Any other questions?

15 MS. FOSTER: I have a question. Mr.
16 Bidegain, you said that you were on the task force
17 before the last Pit Rule hearing.

18 MR. BIDEGAIN: Yes, ma'am.

19 MS. FOSTER: You stated in your testimony
20 that there was an agreement with all parties.

21 MR. BIDEGAIN: Yes, ma'am.

22 MS. FOSTER: Is that actually the case or
23 was it that the testimony presented was that there
24 was an alleged consensus between the parties over
25 there? In other words, not everybody agreed to

1 every single provision; is that correct?

2 MR. BIDEGAIN: Yes, I would say that.

3 MS. FOSTER: At the last hearing I believe
4 you testified as well; is that correct?

5 MR. BIDEGAIN: I did.

6 MS. FOSTER: You said you testified in
7 Mora County or San Miguel?

8 MR. BIDEGAIN: San Miguel.

9 MS. FOSTER: That was in support of the
10 oil and gas industry?

11 MR. BIDEGAIN: Yes.

12 MS. FOSTER: That was so we could operate
13 a potential natural gas well on your property; is
14 that correct?

15 MR. BIDEGAIN: Not on mine, a neighbor's,
16 but it will eventually get to us.

17 MS. FOSTER: So you would like to
18 encourage drilling in San Miguel County?

19 MR. BIDEGAIN: Yes. I'm not against
20 drilling. It can be done where both parties gain
21 from it.

22 MS. FOSTER: And you said you are in
23 Tucumcari, which means that you are on the
24 northeastern side of the state?

25 MR. BIDEGAIN: Yes.

1 MS. FOSTER: And which operator was on
2 your property?

3 MR. BIDEGAIN: We had multiple operators.
4 I mean -- well, I have had some dealings with Sayha
5 and Tucumcari Exploration.

6 MS. FOSTER: Not recently, sounds like?

7 MR. BIDEGAIN: No, not recently. It's
8 strictly a wild cat, so you don't get the major
9 companies usually.

10 MS. FOSTER: No further questions. Thank
11 you.

12 CHAIRPERSON BAILEY: Thank you for your
13 testimony. Representative vehicle letter? Would
14 you like to make sworn or unsworn testimony?

15 MR. STRICKLER: Sworn.

16 JAMES STRICKLER
17 after having been first duly sworn under oath,
18 was questioned and testified as follows:

19 MR. STRICKLER: Thank you, members of the
20 Commission for allowing me to speak.

21 My names is James Strickler, State
22 Representative of District 2, San Juan County. I
23 live in Farmington, New Mexico. I make my living in
24 the oil and gas business. This is my 35th year.
25 I'm a petroleum landman by trade and I'm a small

1 independent producer and I have a lot of good
2 operators that operate my wells in San Juan County.

3 Four years ago when we had 17 days of
4 hearing to decide whether or not we should implement
5 Rule 17, which is the current rule, I, along with
6 three other legislators, Representative Dan Foley,
7 Representative Candy Spence Ezzell and
8 Representative Paul Bandy and myself testified or
9 had a short presentation at that time opposing this
10 new rule.

11 It's a matter of we didn't know at the
12 time that since New Mexico has a Uniform Procedures
13 Act, it wasn't in effect for vetting out this new
14 rule, Rule 17. And I think what we have found is
15 that it hurts our air quality. I think it really
16 hurts the environment. We have a lot of trucks
17 hauling sand and gravel to the land farm.

18 We are blessed in the San Juan Basin that
19 we use freshwater as our drilling mud system, which
20 is a safe method of drilling, and the first
21 discovery well in San Juan County was in 1921 so we
22 have had oil and gas activity for 90 years and the
23 basin started developing full force in the 1950s.
24 There's over 30,000 wells drilled in the San Juan
25 Basin. To my knowledge, not one well from a

1 drilling pit, from a reserve pit, has caused any
2 groundwater contamination.

3 Now, we know we have had problems with
4 production pits. They were a problem and that issue
5 was addressed and those earthen pits were removed
6 and remediated. We used steel tanks to take care of
7 that. But for a drilling operation, a reserve pit,
8 and now we have a liner, it's the safest way to
9 drill a well.

10 Thank goodness we are dealing with sand,
11 gravel, clay, coal. We are using clay products for
12 that mud system and it's a very environmentally
13 friendly way to drill a well. As a small working
14 interest owner, the cost of Rule 17 has been
15 exorbitant. I participated in the Rosa Unit 60
16 miles from the land farm and the well costs went up
17 \$200,000.

18 I appreciate West Largo talking about
19 increased cost. In the San Juan Basin since the
20 peak drilling year was 2008, we had record oil and
21 gas prices so that certainly benefited us. We had
22 38 rigs running. Since the Pit Rule was implemented
23 July of 2008 prices have gone down dramatically and
24 that's hurt our economics, but also the increased
25 costs have knocked down the rig count to less than

1 five today. One rig employs 200 folks. Since
2 September of 2008 we have lost 5,000 jobs in San
3 Juan County. San Juan County is 130,000 people. I
4 think the state lost 50,000 jobs. We lost 10
5 percent of the jobs state-wide.

6 So I am in favor of fixing this and
7 revising Rule 17. It's hard to fix a rule so
8 complicated as this. You have a one-page form in
9 Rule 50 and now you have a 27-page form. I think
10 it's cost a lot of business. And I have read some
11 reports. I don't have the exact numbers in front of
12 me, but since the new rule was put in, Rule 17, the
13 State has lost approximately six billion dollars in
14 rig activity, drilling activity, economic activity.
15 Of that, we lost a billion dollars in tax revenues.
16 I serve on the Taxation and Revenue Committee in the
17 State House, and our budget in the boom 2008 was 6.1
18 billion dollars. We had to cut every year except
19 for this year down to 5.4 billion dollars.

20 That's a tremendous hardship on our
21 schools, on our colleges, on Medicare, on our
22 highways and prisons. I mean, right now we had a
23 little increase in revenues. We are up to 5.6
24 billion dollars so we are starting to see a little
25 recovery in the economy, but this Pit Rule, it's a

1 job killer. We can't compete with our neighboring
2 states: Texas, Oklahoma, North Dakota,
3 Pennsylvania. A lot of our hands are working in
4 those states. They have reasonable rules and regs.
5 Unfortunately, Rule 17 is out of the norm.

6 We are all in favor of protecting the
7 environment. We all drink the same water and
8 breathe the same area in San Juan County certainly,
9 and I'm just amazed that of the 30,000 wells that
10 were drilled in the last 90 years we have not had
11 one instance of groundwater contamination from a
12 drilling pit. We have had problems, obviously, with
13 production pits.

14 So I just plead with the Commission to fix
15 this, to get our economy going again, to protect the
16 environment and stop all this needless truck
17 traffic, which hurts our air quality hauling sand
18 and gravel, which is used in other states as road
19 base. In colorado you take those drill cuttings and
20 you build up the surface location, and to treat this
21 as something that's damaging to the environment is
22 beyond me. Thank you, members of the Commission. I
23 appreciate it.

24 CHAIRPERSON BAILEY: Thank you. Do we
25 have any questions of this commenter? Dr. Neeper?

1 MR. NEEPER: One question. You mentioned
2 the hardship on jobs. Do you have any comparison
3 for how the requirements to treat the waste or take
4 care of the waste creates jobs for workers who have
5 to do that compared with what you feel is the loss
6 of jobs from other restrictions?

7 THE WITNESS: Well, I can only speak for
8 my county in San Juan Basin. Those are the folks
9 that I'm most closely living with. We have lost
10 5,000 jobs since September of 2008. I don't have an
11 exact breakdown on how many of those were oil and
12 gas jobs. I would estimate roughly half. The
13 construction industry got hammered in my area, so,
14 you know, it's a multiplier effect. Because if you
15 lose those oil and gas jobs that pay about \$70,000 a
16 year, they like to build houses, so it's kind of a
17 ripple effect in our economy.

18 I think our truck drivers -- and yes, I
19 guess you do hire more truck drivers to haul this
20 benign material that we use for road base in other
21 states. So there may be some job creation in
22 hauling off these things, but I would rather have
23 jobs that are a positive impact and not harm the
24 environment. Diesel emissions are a problem in our
25 area. The Environment Department is extremely

1 concerned about air quality. Again, I refer back to
2 the Uniform Procedures Act. When you pass a rule
3 like Rule 17, you are supposed to vet it with the
4 Environment Department, also the impact on the
5 Highway Department. We didn't do that. I think
6 four years later we realized that this rule has had
7 a bad impact on the environment. So as far as job
8 creation, I'm sure there are jobs created in the
9 truck industry.

10 MR. NEEPER: And you have given us an
11 implication that a lot of your job loss was due to
12 the Pit Rule and that that reduced drilling. When
13 we look at curves either for this state or for all
14 states, the impression I get is that rig count
15 correlates very closely with the price of oil and
16 not with anything else, not even with the price of
17 gas, which doesn't make sense to me that the
18 correlation is with the price of oil and not
19 anything else.

20 MR. STRICKLER: You know, that's certainly
21 is part of it. Right now we are suffering low
22 natural gas prices at \$2 an MCF, and you will be
23 very reluctant to drill at this juncture. You are
24 exactly right.

25 Let me just bring you back in time to 1994

1 when I first moved here with Meridian Oil which
2 later became Burlington which is now ConocoPhillips.
3 We had a dollar a price regime back in those days.
4 We continued to drill because our costs were low.
5 And the theory was we could drill these wells at a
6 reasonable cost without the Pit Rule, without extra
7 cost, because we were hoping that natural gas prices
8 would recover.

9 I asked the vice president of the company,
10 "Why are we doing this at a dollar an MCF?" And we
11 are going to continue to drill because the costs
12 were so low. They looked ahead and they hoped that
13 the prices would recover in two or three years.

14 So our rig count that is actually -- I
15 mean, from 38 to five, and you look at comparable
16 gas operations. Their rig count might have dropped
17 50 percent but not 90 percent. So I would say it's
18 had a negative impact on drilling. We need to drill
19 to replace our reserves. Every well we drill, we
20 generate tax revenues for the state. Thirty or 38
21 percent of our revenues come from oil and gas.
22 Without oil and gas we would have to raise
23 everybody's taxes dramatically. Oil and gas is one
24 of our core industries and we need to be reasonable
25 and compete with Texas, Oklahoma, Pennsylvania and

1 North Dakota.

2 MR. JANTZ: Actually, Madam Chair, one
3 question occurred to me if I may.

4 CHAIRPERSON BAILEY: Yes.

5 MR. JANTZ: Representative Strickler, you
6 mentioned an increase cost of \$200,000 on a well.
7 Do you have a breakdown of that cost?

8 MR. STRICKLER: It's a Fruitland coal well
9 in the Rosa Unit which is east of Navajo Lake so
10 it's a good 60 miles from the land farm on the
11 Bloomfield highway. And it's a directional well, so
12 about 3500 feet. And the first well -- there's two
13 wells per unit, 320 acre unit. The first well was
14 \$900,000 and the second well which was drilled a
15 year later, two years later, was 1.1 million
16 dollars.

17 So there was, you know -- I asked the
18 engineer, "Why did the cost go up so much? Was it
19 because of the Pit Rule?" He didn't give me an
20 exact breakdown but it's roughly an extra \$200,000.
21 Again, thank goodness we are using freshwater. We
22 should have buried those cuttings on-site like we
23 have done from 1921 to 2008.

24 MR. JANTZ: Thank you.

25 COMMISSIONER BLOOM: Representative

1 Strickler, I thank you for coming in today. You
2 mentioned your concerns about the diesel emissions.
3 Are you familiar with the NMOGA and IPA proposal for
4 multi-well fluid management pits?

5 MR. STRICKLER: Somewhat. I work --
6 again, I'm a landman by trade but I work with the
7 engineers quite often. I know there's a project in
8 the Rosa Unit that that is a multi-well pads to
9 drill horizontal Mancos wells, a gas formation, 53
10 wells. I am familiar with that, yes, sir.

11 COMMISSIONER BLOOM: Could you talk a
12 little bit about how these multi-well pits could
13 assist or hinder operations. I would like to know
14 your thoughts.

15 MR. STRICKLER: I think the positive thing
16 about multi-wells is you get to use that precious
17 water to complete the eight wells per pad. But the
18 bottom line is these benign materials should be land
19 farmed on-site or buried on-site. What you are
20 talking about certainly helps on water conservation
21 to complete a well, so it's kind of two different
22 strategies there. If they still have to haul those
23 drill cuttings to the land farm it's going to really
24 increase the cost.

25 COMMISSIONER BLOOM: What about hauling

1 water in and out of the site?

2 MR. STRICKLER: Well, talk about job
3 creation, we have a healthy trucking industry in San
4 Juan County to haul water. You will still need the
5 truckers. I'm not trying to put the truckers out of
6 business. But to haul sand and gravel is
7 unnecessary.

8 COMMISSIONER BLOOM: Thank you. No
9 further questions.

10 CHAIRPERSON BAILEY: No further questions?
11 Thank you. And we have one more. Ellen Veseth?

12 MS. VESETH: I'm here. I just thought I
13 was signing in to be here.

14 CHAIRPERSON BAILEY: So you decline making
15 a comment?

16 MS. VESETH: Yes, my apologies.

17 CHAIRPERSON BAILEY: There are no other
18 names. It is now noon, so Mr. Hiser, we will resume
19 cross-examination of Dr. Buchanan when we return
20 from lunch, which should be 1:00 o'clock?

21 (Note: The hearing stood in recess at
22 12:00 to 1:00.)

23 CHAIRPERSON BAILEY: We are back on the
24 record. Mr. Hiser, we are in the process of
25 cross-examining your witness, Mr. Buchanan. I

1 believe Mr. Jantz, you had finished your
2 cross-examination?

3 MR. JANTZ: Correct, Madam Chair.

4 CHAIRPERSON BAILEY: And it was time for
5 Ms. Gerholt.

6 MS. GERHOLT: No questions.

7 CHAIRPERSON BAILEY: Mr. Dangler?

8 MR. DANGLER: Thank you, Madam Chair. I
9 have a few questions.

10 CROSS-EXAMINATION

11 BY MR. DANGLER

12 Q. For the first study you did in Texas, the
13 McFarland, he did the study but you used those
14 results. Do you know how the sites were selected
15 for that study?

16 A. No, I don't.

17 Q. So you don't know how the site contents
18 might compare to other sites?

19 A. Oh, you mean the pit contents?

20 Q. Yes.

21 A. No. I think I would just speculate what
22 was available, but I don't know what reasoning came
23 to why they picked those pit contents.

24 Q. Thank you. And the same question about
25 the ConocoPhillips study that you did. Was there a

1 selection criteria for that particular site?

2 A. Yes. Yes, there was.

3 Q. What was that criteria?

4 A. We were looking for a site that did not
5 have a pit liner so we specifically wanted something
6 that was old and something that didn't have a pit
7 liner, and that site was available. It was close by
8 and it just was a method of criteria.

9 Q. My final question is in preparing for
10 these hearings today, have you participated in or
11 are you aware of any systemic kind of study of the
12 various pits in New Mexico?

13 A. Do you want to help me with that?

14 Q. Just the sort of question that you got a
15 site that you picked for one study and you have a
16 couple sites in Texas and I'm just wondering if
17 there's any comparison to all the different sites
18 that we have got in New Mexico.

19 A. No.

20 Q. No further questions. Thank you very
21 much.

22 CHAIRPERSON BAILEY: Dr. Neeper? Do you
23 have any questions?

24 MR. NEEPER: Yes, I have questions, Madam
25 Chair.

CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. NEEPER

Q. Good afternoon, Dr. Buchanan.

A. Good afternoon, Dr. Neeper.

Q. You made an initial statement that caused me some surprise and that relates to the testimony previously so I will bring it back, and that has to do with this rule refined in the literature, that is technical judgment refined in the literature that says plants don't survive above about 15 atmospheres of suction, however that suction is achieved, so we are both familiar with that commonality. You said that's not quite true.

A. Correct.

Q. One of the specific exceptions you gave was you said a ponderosa pine tree that survived at 30 atmospheres.

A. Correct.

Q. Was that just a one-time spot check or was that a sustained suction?

A. It sustained itself for more than 60 days. It was in a greenhouse and we were tracking a variety of ponderosa -- I'm sorry, I didn't say that right. We were tracking a number of ponderosa pine that were in pots, and we were doing -- we were

1 taking data from the leaves to establish what the
2 soil/water potential was in the plant. And we went
3 well beyond 15 and we kept taking it and taking it.
4 Finally we got down to 40 and the soils were very
5 dry and there was a number of plants that were
6 surviving. I don't remember any of them dying
7 actually, and then the study was over. The student
8 was finished and he went on to bigger and better
9 things so I watered the trees.

10 I have done studies in the field
11 similarly, and we have found that soil/water
12 potential of native growing trees in dry soils to
13 exceed 15.

14 Q. Would it be your general conclusion that
15 they can survive in 15 bars or more than 15 bars for
16 some period of time but that wouldn't be an
17 indefinite situation?

18 A. Wow. The first part of the question, yes,
19 I think they would sustain themselves for long
20 periods of time. Would they do it indefinitely? I
21 don't want to go there. I just don't know, you
22 know, indefinitely. I'm thinking for years. Is
23 that what you're thinking?

24 Q. I'm thinking for a period of a year, and
25 then I'll give you a reasoning behind that so you

1 can respond.

2 A. Okay.

3 Q. In ponderosa we often observe the banding
4 in the needles and the progressive movement of the
5 dark zone when they are being starved either of
6 moisture or when they are being oversalted.

7 A. Dr. Neeper, I'm sorry, I just cannot think
8 of an instance that I am familiar enough with that I
9 know of a native situation, a natural situation
10 where ponderosa pine had to exist at 15 bars for
11 much beyond a few months, three or four months.
12 Now, that I will testify to and tell you that they
13 will live through a three-month drought period.
14 Beyond that, I don't really want to go there.

15 Q. Thank you. Can you put a study, such as
16 the Mertz and Weatherby studies that you showed, in
17 any way into the common units that are used in the
18 proposed rule?

19 A. That question was, I think, asked earlier.
20 I can't. I can't today. The answer is no.

21 Q. You mentioned that -- and described, I
22 think, very well how a wetting front moves downward
23 and at least in our dry cells gets narrower as it
24 moves downward. Your description showed it
25 eventually running out. But is it not true that

1 such a wetting front can reach an aquifer?

2 A. When you say it's not true, why don't you
3 ask me is it true instead of -- why don't you leave
4 the "not" out.

5 Q. I will be glad to rephrase the question.
6 Can such a wetting front reach an aquifer?

7 A. Sure.

8 Q. Is that what we call recharge of the
9 aquifer?

10 A. Sometimes it's referred to as recharge.
11 Now, are you saying in a saturated condition, that
12 that front is saturated to the recharge zone?

13 Q. Until it reaches the aquifer, yes.

14 A. Well, I probably want to back up a little
15 then. There are instances where the saturated zone
16 would reach an aquifer, okay? If the aquifer is
17 very deep, no. The saturated zone of that soil in
18 normal conditions wouldn't extend very deep in the
19 profile, so it wouldn't reach the aquifer in a
20 saturated state. Is that clear?

21 Q. That is clear to me.

22 A. I don't think it's clear to anyone else.

23 Q. All right. I will ask it a slightly
24 different way that may help clarify because you and
25 I are on the same page here. The recharge that

1 reaches the aquifer then, most of the time anyway,
2 would get there by an unsaturated flow?

3 A. What you just said is correct.

4 Q. Thank you. You mentioned that if the
5 water is not moving, or not moving much, that the
6 transport of salts is by diffusion largely. Do I
7 understand that correctly?

8 A. Probably not. The diffusion of salt --
9 most of the time when salts move by diffusion -- are
10 we okay? Does everybody know what diffusion is? I
11 mean, if you don't, just so no. Because this is
12 going to make no sense if you don't understand
13 diffusion and I'm assuming you are okay with that.

14 When a soil is saturated, salt will move
15 by diffusion or that's principally how it moves. As
16 the saturated zone moves, the salt will move by
17 convection. So it's moving by diffusion and
18 convection. When the water content in the soil
19 becomes very, very low, it's no longer saturated.
20 We all know that. It's now unsaturated, and that
21 salt, very little of that salt will move by
22 diffusion, if any at all. Any of that salt moving
23 is moving in the unsaturated flow as long as the
24 concentration in that flow will support that
25 concentration of salt. And it will only support

1 only so much salt. You can only put so much salt in
2 water and then you can't put anymore salt in there,
3 so it will stay at that concentration. It's
4 unsaturated. As that -- see, the very word
5 unsaturated flow, that implies that the water flows,
6 and it flows in an unsaturated state. We all know
7 what saturated is.

8 So it flows to the greater part by
9 convection. And very little of that is going to be
10 by diffusion. Did that help?

11 Q. I will take another stab. You and I are
12 clear what we are talking about. When it's in an
13 unsaturated form --

14 A. I'm sorry, Dr. Neeper. If I get outside
15 noises I don't hear you very well. You are speaking
16 loud enough. I just get confused sometimes.

17 Q. That's fine. I'm with you. Just raise
18 your finger and I will stop. When the soil is
19 unsaturated and the water is moving, the unsaturated
20 water is moving very slowly, then the movement of
21 the dissolved salt, if any, is by diffusion in that
22 unsaturated thin layer of water.

23 A. By convection.

24 Q. If it were not moving so it would not be
25 convecting, then there would also still be a

1 diffusion if there were a concentration base; is
2 that not correct?

3 A. I know what you are asking. I do. This
4 is a rather important point.

5 Q. Yes.

6 A. This is what I heard. We have a situation
7 where the soil is unsaturated and there's a very low
8 water concentration in the soil. So think of these
9 films of water being very thin on these particles.
10 There are some dissolved, if you will, salts.
11 There's dissolved things in the water. If that
12 water is not moving, then really nothing is
13 happening. The salts aren't water. The water is
14 not moving; the salt is not moving. The question I
15 think I was asked is if the water is not moving and
16 we have that situation, is it possible for the salts
17 to move by diffusion. Is that correct, Dr. Neeper?

18 Q. That's correct.

19 A. Do I understand that? Here is my answer.
20 I know you are dying for this. This is my answer.
21 At that point that water is moving so incredibly
22 slowly, there's so little water in the soil that it
23 doesn't really want to move. It does, but it
24 doesn't want to really because it's being held by
25 these particles called soil particles. It's very

1 resistant to move so for a while the water is not
2 moving. So here are these salts and they want to
3 move on a gradient. They want to move from a high
4 salt concentration to a low salt concentration. But
5 here is the problem: There's a lot of
6 discontinuities between the water films in this
7 zone. So in this portion that's continuous, yeah,
8 the salt is going to move by diffusion.
9 Dr. Neeper's comment is correct on that point.

10 But it only moves into the distance or the
11 continuity of that water. If that water is
12 discontinuous to the next particle, then it only
13 moves that very small distance and that's the end of
14 the diffusion. Now, that makes a lot of sense to me
15 and I hope it makes sense to you.

16 So now, until that water connects up with
17 another column of water or another bit of water,
18 then there won't be any diffusion. And because we
19 said there wasn't any water moving in unsaturated
20 flow, then there's no convection either. And until
21 that water starts to move, then we get convection
22 and when it connects up with another film of water,
23 then there could be diffusion again. And that's my
24 answer.

25 Q. I will stay with that and just discuss it

1 because we have two different circumstances we are
2 thinking about.

3 A. Okay.

4 Q. In your 2007 ConocoPhillips study in
5 Northwestern New Mexico, do you know if that pit was
6 drilled with freshwater or what was the type of
7 water that was used in drilling up there?

8 A. Dr. Neeper, I don't know the answer to
9 that question.

10 Q. All right. Can you give us some feeling
11 for what was the concentration that you found in the
12 remaining pit and then in the surrounding territory
13 compared to what we are talking about --

14 A. Dr. Neeper, you have to ask me one
15 question at a time.

16 Q. Very good.

17 A. Because I'm not very smart and I can only
18 do one thing at a time. So you asked do I have some
19 feel for the concentration of the salts in that pit
20 contents?

21 Q. Yes, in the remainder of the pit.

22 A. Is it okay if I rephrase your question?

23 Q. You may rephrase my question.

24 A. Here is the question I thought I was
25 asked. Do I have some feeling for the concentration

1 of the salts in the pit contents. Yes, I do. I
2 will go ahead and answer that. The electrical
3 conductivity of the soluble salts in the pit
4 contents was about nine millimoles per centimeter or
5 nine decisiemens per centimeter, so it's about nine.
6 If it you were remembering earlier, we have some
7 feel for what that means in terms of plants. So
8 yes, I do, and the answer is about nine decisiemens
9 per meter.

10 Q. You had expressed, I believe, that some of
11 the plants that could reach that depth could
12 withstand even a higher electrical conductivity.

13 A. Yes. Yes, I said that and I will stand by
14 that.

15 Q. And so the content of that pit then, by
16 itself, was not terribly threatening to your type of
17 vegetation?

18 A. The electrical conductivity of that pit
19 was not threatening to the circumstances that you
20 and I are thinking. I'm assuming you are thinking
21 like I'm thinking and that there was nothing there
22 with the electrical conductivity that would limit
23 the growth of native plants there. So now let's go
24 to the practical side. Were there any roots in
25 there? Yes, there was. So apparently I was right.

1 Apparently my theory is right and there were roots
2 there and apparently whatever was in there that
3 would keep roots from growing wasn't there because
4 there were roots growing and they grew through the
5 pit content and continued down below the pit
6 contents.

7 Q. Go ahead and have a drink.

8 A. You wonder how I ever got through a
9 lecture when I was at the university, don't you?

10 Q. At least one of us was younger at that
11 time.

12 A. One of us was. I know there's a funny
13 remark I can make back but I'm not smart enough to
14 come up with it. Go ahead.

15 Q. If the content of that pit had been
16 anything like what is allowed under the regulations,
17 could there have been roots growing in it?

18 A. I believe so. I believe so. Because, you
19 see, those contents were all pit contents. The
20 regulation says you take the pit contents, today's
21 pit contents, and you mix them with soil, and I'm of
22 the belief, and I not only believe this but I've
23 also observed this, that when you take material that
24 may be limiting to a plant and you mix it with
25 material that's not limiting to a plant and you mix

1 it to such a dilution, if you will, that the plants
2 can find places to grow in those materials that are
3 less limiting, then, in fact, they grow in that.
4 When you say, "Dr. Buchanan, have you ever seen
5 that?" Yes, I have. I have seen situations where
6 the pH of part of the matrix was a pH of two. There
7 are only very few plants in the world that can grow
8 at pH of two or less. Ponderosa pine is not one of
9 them. I know you don't want the lecture,
10 Dr. Neeper, but I think it clarifies something.

11 Ponderosa pine grows in a pH of four so
12 how? Because there are places where the pH is six.
13 Although the matrix is two, if you take a grab a
14 sample and run it you get pH of two. But in little
15 tiny places, you will find soils that aren't two,
16 they are higher. And the roots have a way of
17 finding those. You go boy, roots are smart. No,
18 roots are very random. They come down and go every
19 which ways. Then one of them goes over here and
20 goes, "Oh, that's okay," and it continues to grow.
21 All the other guys died. We come along some time
22 later and say, "What a smart plant. It sent a root
23 to that place." No, it sent roots everywhere but
24 one of them was successful.

25 So when you take pit contents and mix them

1 with suitable material or material that plants'
2 roots can grow in, I am of the belief that the roots
3 will find places to grow in that material because
4 that material isn't limiting to the plant, whereas
5 the original material may or may not have been. I
6 don't know if it is or isn't. If it was, then all I
7 said before is right, and if it's not limiting then
8 all of what I said before is right also. I know
9 that was a long answer, Dr. Neeper, but it just had
10 to be said.

11 Q. It was new and surprising to me so I will
12 ask one more question to be sure I'm clear and I
13 understand it. We have two burial standards. One
14 is 2500 milligrams per liter and one is 5,000
15 milligrams per liter of chloride in the rule. Do I
16 understand correctly that you are saying the plant
17 root can grow in that because it's due to find
18 places due to the dilution not at that level but at
19 some other level?

20 A. Yes.

21 Q. If those are the standards and you have to
22 take a finite sample to measure, then does not that
23 sample represent the heterogeneity of the soil, the
24 whole thing, of the whole mix?

25 A. Dr. Neeper, I have such a problem with

1 double negatives that I don't know where to go.

2 Q. I can rephrase.

3 A. I'm going to ask you to take the "not" out
4 again. I want to say yes, but I'm not sure I am
5 saying yes to no or yes to yes to make a no.

6 Q. I stand, shall we say, corrected.

7 A. I'm not here to embarrass you.

8 Q. I'm not embarrassed.

9 A. I just don't handle double negatives very
10 well.

11 Q. The sample that is taken from the soil or
12 the buried material is necessarily finite and
13 therefore represents the mixture.

14 A. Correct.

15 Q. But yet the standard applies to that broad
16 mixture.

17 A. Okay. All right. Is that a question?

18 Q. So I come now to the final question. You
19 maintain then that within that mixture there are
20 places that have lower concentrations, significantly
21 lower so the plant can grow.

22 A. I maintain that that's possible, yes.

23 Q. Thank you. If we can presume that the
24 allowed concentrations in burial are significantly
25 larger than the concentration you experienced in the

1 Conoco study within the pit -- this is a hypothesis
2 at the moment because you don't want to compare
3 concentrations. If the concentrations as buried,
4 according to the rule, were much higher, would not
5 also the --

6 A. There you go again.

7 Q. If the concentrations in the buried
8 material were higher, would the gradients leading
9 away from that burial unit also be proportionately
10 higher?

11 A. In theory, yes, that would be true. There
12 would be a different gradient and for the most part
13 proportionately higher.

14 Q. Could we have your slide showing the EC
15 values leaving to the surface in the Conoco study?
16 I don't have an immediate reference to that.

17 MR. HISER: Do you want the graphical
18 representation?

19 MR. NEEPER: The one that you moved from
20 horizontal to vertical.

21 MR. HISER: That is on Slide 17-19.

22 A. That one?

23 Q. Yes. Above the pit we see what you and I
24 call a gradient, namely a change of concentration of
25 distance.

1 A. Correct.

2 Q. If, let us say, the concentration in that
3 pit then were ten times higher, would the
4 concentration in that gradient at all those points
5 likely be ten times larger?

6 A. No.

7 Q. Then would the gradient simply be steeper
8 adjacent to the pit?

9 A. Correct. Yeah. If it were higher, the
10 gradient from the pit contents to the first
11 increment of soil, that gradient would be very
12 steep. Now, here is what I heard you say so I'm
13 going to repeat what you said and then I'm going to
14 answer that. Here is what I heard you say. Would
15 the values above the pit contents in the soil be ten
16 times higher than the values that I'm looking at
17 right now?

18 Q. Correct.

19 A. Is that what you said?

20 Q. That's what I'm asking.

21 A. And my answer to that is no. The values
22 in the soil would not necessarily be higher just
23 because the pit contents are higher. I really want
24 to explain that because you look like you want an
25 explanation, but I won't explain it if you don't

1 want it. But I'm just going to say no, the content
2 in the soil isn't entirely driven by the content in
3 the pit.

4 Q. Below the pit for a distance of, I
5 believe, several feet there we see a nearly uniform
6 concentration. There are jiggles up and down but it
7 follows a value of roughly six for some distance.

8 A. All right. Yeah.

9 MR. HISER: For clarification, Dr. Neeper,
10 you are talking about the blue line?

11 MR. NEEPER: I am talking about the red
12 line.

13 A. So for a few feet below the pit contents
14 it kind of goes to a value of five and then it kind
15 of goes over as high as seven and back to five and
16 so on. Okay. Is that the area you're talking
17 about?

18 Q. That's the area I'm talking about. The
19 chloride that is in that space had to come from the
20 pit; is that correct?

21 A. No. Now, you know, we didn't measure
22 chloride. I measured soluble salts.

23 Q. The soluble salts, then, are in that range
24 and came from the pit?

25 A. I think that's a fair assumption.

1 Q. In the transport of those soluble salts
2 out of the pit, did not that transport
3 significantly -- there's a not. I will back up.

4 A. Thank you.

5 Q. In the transport of those soluble salts
6 out of the pit, was the concentration in the pit
7 significantly reduced?

8 A. Interesting question. I don't know. I
9 have got a ball of salt. I am taking salt out of
10 the ball. I am letting it go down in the soil below
11 the ball. Do I reduce the concentration of the salt
12 in the ball? I rephrased the question. Is that
13 okay?

14 Q. Yes, you always have my permission to
15 rephrase my question.

16 A. Did I do it correctly?

17 Q. If it isn't correct I will rephrase my
18 question. Yes, that is the sense of the question.

19 A. In theory, if you take salt out of a mass
20 of salt you would reduce the concentration of the
21 salt in the mass that you started out with. There
22 was a caveat on his question. Did it significantly
23 reduce the concentration of the salt in the pit
24 contents? I don't think so. I don't think so. I
25 think you got so much salt in those pit contents

1 that if you had a measurement -- the question is if
2 I had a measurement of the salt 45 years ago and
3 instead of having married I would have gone out
4 there and measured the pit contents, what would I
5 have measured? I would have a number. What would
6 the number be 40 years later? Dr. Neeper, I think
7 it's less, but I don't think it's significant. I
8 don't think you could measure the difference.
9 That's my answer.

10 Q. I will ask the question in a different
11 way. In the distance below the pit with an EC very
12 roughly equal to six, it's maybe three times or more
13 the depth of the thickness of the pit.

14 A. Okay.

15 Q. I would infer that there's three times as
16 much soluble salts in that region as there is at
17 that concentration in the pit. That is, it had to
18 come from somewhere; is that correct?

19 A. Yeah, that is correct. That's correct.

20 Q. Very good.

21 A. Interesting question.

22 Q. Both of us would love to work on it. In
23 reclamation, I understood you to infer that it is
24 crucial that the land surface be properly treated,
25 be reseeded correctly and be revegetated?

1 A. To become revegetated.

2 Q. That it must be revegetated in order to
3 prevent the upwelling of salts or soluble items.

4 A. I don't know if I said that but I agree.
5 It is our responsibility to revegetate these sites,
6 and I say "ours" like, you know, I own an oil well.
7 But I think as a scientist and a person in the
8 field, I think it's my responsibility to do
9 everything I can to help people to reclaim these
10 sites. And whatever the consequences of all that
11 are, which is many, many consequences of reclaiming
12 that, I think it's our responsibility to do that.

13 Q. I will agree with that. What I'm getting
14 at is, is it necessary to establish vegetation of
15 whatever form you would like at the top to achieve
16 the water cycles that will prevent this potential
17 updwelling of salt?

18 A. No. No, it's not. If you didn't have any
19 vegetation, and I know of situations like that where
20 we have virtually no vegetation, the vegetation
21 affects all these cycles and has a tremendous impact
22 on it. But will these phenomena we are talking
23 about, saturated or unsaturated, will the rain rain
24 and will the rain go in the soil and the salts move,
25 yeah. You know, soil physicists, one of their

1 biggest problems in life is they don't like
2 vegetation on the soil because it gets in their way
3 and they model these all the time without
4 vegetation. So does this happen without vegetation?
5 Sure. Just us plant guys want vegetation out there.

6 But in answer to your question, no, that's
7 not the only -- that's not -- let's see. I'm sorry,
8 I was using the "not," wasn't I? This will all
9 happen without vegetation, and it happens
10 differently with vegetation. I'm going to leave it
11 there.

12 Q. I am left not understanding, because you
13 gave us a very good exposition on vegetation. I
14 understand you to say revegetation is not necessary.

15 A. No, don't you say that. Don't you say
16 that.

17 Q. Then revegetation is necessary?

18 A. Yes, it is.

19 Q. Thank you. Does the rule require
20 revegetation?

21 A. Yes.

22 Q. May I read from the rule, sir?

23 A. Okay.

24 Q. "Reclamation of disturbed" -- this is

25 19.15.17.13 F C 3 of the NMOGA proposed rule on Page

1 39. Now, what it says, since we are all reading it,
2 I don't need to read it aloud. It is talking about
3 reclamation of all disturbed areas no longer in use.
4 So it's clear my question will apply to the areas
5 not needed for trucks and maintenance, no longer in
6 use.

7 It says, "Disturbed areas have been either
8 built on," a building, "compacted, covered, paved or
9 otherwise stabilized so as to minimize erosion," and
10 then it says, "or a uniform vegetative cover has
11 been established." I note the word "or." Does the
12 rule, sir, require revegetation?

13 A. I guess not. It says, "compacted,
14 covered, paved or otherwise stabilized in such a way
15 as to minimize erosion to the extent practicable, or
16 a uniform vegetative cover." So it says you can do
17 these things or you can do those things. That's the
18 way I read it.

19 Q. That's the way I read it. This morning I
20 understood you to say that compaction is one of the
21 worse things you could do in terms of reclaiming the
22 site.

23 A. Compaction is extremely limiting to the
24 success of reclamation, yes.

25 Q. Should the rule then strongly suggest

1 compaction as a means of reclamation as it does in
2 this case? It's one of the choices.

3 A. Is that what you meant to say? You said
4 is compaction strongly recommended?

5 Q. I will rephrase the question and I will
6 thank you for pointing out the lack of clarity.
7 Several choices are given in the rule for
8 reclamation. One is built on, one is compacted, one
9 is covered. So if I were an operator, I could
10 compact the site and say I have done what the rule
11 has required me to do. Is that something that we
12 should have in our rule or should that word not
13 appear in our rule in that form?

14 A. Dr. Neeper, you are asking me a question
15 that -- and I don't mean this in any derogatory way.
16 I honestly don't. This is a question that I think
17 an attorney should answer and not a scientist.
18 Because I can think of instances where the landowner
19 has said, "When you get finished with that site, I
20 would like to put something there and I would like
21 it just compacted to the compaction it can be
22 compacted to because this is what I'm going to do
23 later." So the landowner is happy.

24 If the rule is being interpreted -- and I
25 don't really want to interpret it here. I will tell

1 you about veg and water and salts and all that, but
2 you are asking me to make an interpretation of this
3 rule. And I don't know if I'm smart enough to do
4 that. So, you know what? I'm going to say,
5 Dr. Neeper, it makes sense to me that there should
6 be an allowance to do revegetation if that's what we
7 want to do.

8 And I don't think anybody ought to get
9 away with murder, of course, and do something that's
10 wrong. Wrong is never right. But I'm not really
11 good at reading this kind of stuff and making
12 interpretations, so I don't know how to answer your
13 question. I'm about to say, "Dr. Neeper, I don't
14 want to answer your question" or "Dr. Neeper, I
15 don't know how to answer your question," but one of
16 those is what I want to say.

17 Q. Very good. One final question. You used
18 the term equilibrium?

19 A. Equilibrium.

20 Q. Equilibrium. Does that imply that a
21 steady state has been reached between opposing kinds
22 of forces for opposing kinds of motions to where
23 thereafter things may change a little but not
24 significantly?

25 A. Dr. Neeper, that's generally accepted as

1 equilibrium, a steady state. That's right.

2 Q. And that is what you see or what you say
3 you see in some of these gradients in the soil after
4 some period of time?

5 A. Yeah.

6 Q. You are seeing a steady state?

7 A. Yeah. That's right. There is a steady
8 state in some of the things that I described today,
9 yes.

10 Q. And because you see that steady state in
11 those selected cases, do you feel that is generally
12 true particularly when the concentrations are much
13 larger?

14 A. Do I feel -- I just want to make sure I am
15 understanding the question. Do I believe that if
16 it's a steady state that it is still a steady state
17 even if the concentration is higher? Is that what
18 you are asking?

19 Q. That you will come to the same kind of
20 steady state, the same kind of profile, even if the
21 concentrations are much larger?

22 A. Just for clarification, concentrations of
23 the kind of things we have been talking about today,
24 salts and --

25 Q. Concentrations of soluble salts?

1 A. Yeah. Dr. Neeper, I can think of numerous
2 examples where the concentration of the salt is much
3 higher than the what we talked about today and they
4 have reached a steady state.

5 Q. Thank you. No further questions.

6 EXAMINATION BY THE COMMISSION

7 CHAIRPERSON BAILEY: Commissioner Bloom?

8 COMMISSIONER BLOOM: Good afternoon,
9 Dr. Buchanan. If you could turn to Page 38, I just
10 wanted to check in on something on the proposal.
11 Under B, you are lining out human health and going
12 to public health.

13 THE WITNESS: I am on that line.

14 COMMISSIONER BLOOM: Do you see that? Do
15 you know why -- do you know the reason for that
16 change?

17 THE WITNESS: I don't.

18 COMMISSIONER BLOOM: If you would turn to
19 Page 39 then. Go down to the bottom. The previous
20 language is lined out and going down to No. 2 at the
21 bottom of the page it says, the second sentence,
22 "The operator shall obtain vegetative cover that
23 equals 70 percent of the native perennial vegetative
24 cover (unimpacted by overgrazing, fire or other
25 intrusion damaging to native vegetation) consisting

1 of at least three native plant species," and it goes
2 on. One of the things I noticed is when the section
3 is rewritten I don't find anywhere that "native" is
4 included.

5 THE WITNESS: Oh.

6 COMMISSIONER BLOOM: Is NMOGA and IPA
7 proposing to remove native from the requirements?

8 THE WITNESS: Seems like it, doesn't it?

9 COMMISSIONER BLOOM: Yeah.

10 THE WITNESS: Just for the record, I'm
11 really big on native.

12 COMMISSIONER BLOOM: Just wondering why
13 somebody might want to do that.

14 THE WITNESS: I'm just so anti-introduced
15 species that you can't stand me. I am really a
16 supporter of native vegetation. Maybe it's an
17 oversight, but I would think native would be
18 important here.

19 COMMISSIONER BLOOM: Also on the very top
20 of that page, it's now B, "compacted" is lined out.

21 THE WITNESS: Yes.

22 COMMISSIONER BLOOM: And that is just
23 because in your opinion compacted soils don't
24 reestablish as well?

25 THE WITNESS: No, you don't want compacted

1 soils.

2 COMMISSIONER BLOOM: Dr. Buchanan, turning
3 to your presentation, I think you showed us three
4 different field studies that have been done. What
5 parts of the state were these in?

6 THE WITNESS: Northern, western New Mexico
7 in the Farmington area.

8 COMMISSIONER BLOOM: Would you expect
9 different results in different parts of the state?

10 THE WITNESS: Not really. Just slight
11 differences because of the amount of precipitation.
12 You might see something a little different, but the
13 mechanisms are all the same. Why I say that and
14 comfortably say that is because as you look at
15 studies across the western states from Canada to
16 Mexico and North Dakota, South Dakota, et cetera, et
17 cetera, we are all finding -- we, as these people
18 who have been doing this research in these areas --
19 as you look at the published literature, very few
20 people are finding migration of salts much more than
21 12 inches and they find it at four and six and eight
22 and ten inches, and it's just kind of all through
23 the west. So would it be any different in New
24 Mexico? Probably not. Throughout other places in
25 New Mexico, probably not.

1 COMMISSIONER BLOOM: That's all. Thank
2 you.

3 CHAIRPERSON BAILEY: Commissioner Balch?

4 COMMISSIONER BALCH: Good afternoon,
5 Dr. Buchanan. I have been told I mumble so if that
6 causes a problem for your hearing, let me know.

7 THE WITNESS: I will come sit by you if
8 you want.

9 COMMISSIONER BALCH: In Slide 17-14 and 15
10 which were basically just the tables of data from
11 the Mertz and the Weatherby sites, the bottom
12 portion on the post part of those figures, the gray
13 area where you have the pit material, there's no
14 resampling at that interval or below?

15 THE WITNESS: McFarland did not resample.
16 He did not resample the pit contents when he sampled
17 the soils, so there's no data. Dr. Neeper's
18 question could have been answered very simply if
19 McFarland had taken that data, but he didn't.

20 COMMISSIONER BALCH: Your study did look
21 at that but 40 years later?

22 THE WITNESS: Unfortunately, I wasn't
23 there to get the earlier data. You know, we just
24 get caught between things sometimes.

25 COMMISSIONER BALCH: Perhaps you can find

1 an appropriate funding agency to pass this by.

2 THE WITNESS: I would think I could.

3 COMMISSIONER BALCH: In Mr. Arthur's
4 testimony the other day -- I think you might have
5 been in the room -- he described a failed
6 revegetation effort.

7 THE WITNESS: Sailed?

8 COMMISSIONER BALCH: Failed revegetation
9 effort that led to erosion and the pit being
10 exposed.

11 THE WITNESS: Yeah.

12 COMMISSIONER BALCH: And I think that your
13 testimony has already presented guidance on the
14 design of revegetation plans to avoid that. But is
15 there anything in the existing or proposed
16 modifications that would lend to a validation of the
17 revegetation effort at some point in the future?

18 THE WITNESS: I thought there was
19 something about it being monitored after the
20 revegetation is established.

21 COMMISSIONER BALCH: I think I saw in the
22 grayed-out area that there was a one or two-season
23 --

24 THE WITNESS: Oh, yeah. Maybe it's not in
25 the rule, but it's becoming a part of the

1 requirements in the state of New Mexico. The Bureau
2 of Land Management, for example, is requiring
3 monitoring and documentation of the success of --
4 and their guidelines are pretty well written. That
5 isn't what I meant to say. They are written in such
6 a way that I think it meets the requirements to just
7 show and establish that revegetation is being
8 measured in a way that it shows whether it's
9 successful or not.

10 COMMISSIONER BALCH: You have reached the
11 70 percent limit?

12 THE WITNESS: Uh-huh. Now, I think that's
13 what that says, reaches 70 percent. So that's a
14 measure of success, a measure of monitoring at a
15 later date. I guess it doesn't describe exactly
16 when, but it says 70 percent. So at some point you
17 have to show success. By the way, that gets really
18 complicated and you don't want to go there today,
19 but it takes a while for that vegetation to become
20 established as something that's going to be
21 sustainable. So in a while we can take those
22 measurements and document whether it's going to be
23 sustainable or not.

24 COMMISSIONER BALCH: I'm going to ask you
25 a couple questions about sampling just because I'm

1 curious and I hope you have some answers for me. A
2 sample is a finite measurement of a finite volume.
3 So if you have a volume of soil that is comprised of
4 100 cups of material, you can go in with your cup
5 and scoop out a sample and make a measurement from
6 that and you will get one data point. If you take
7 all 100 cups and sample them you will have a
8 distribution of values or whatever it is you are
9 measuring, perhaps a bell curve or some other
10 distribution. That will give you an average, a
11 standard deviation, confidence intervals and a range
12 of data.

13 THE WITNESS: Absolutely.

14 COMMISSIONER BALCH: For regulatory
15 purposes, I would like to understand how I am
16 supposed to look at sampled data. Maybe you have
17 some insight. Is it the value of the measured
18 sample that is important? Is it the average of
19 several samples or is it the maximum value that
20 could be obtained from all 100 samples as addressed
21 by a rule or regulation?

22 THE WITNESS: Single sample, average or
23 maximum, okay? This is going to take a little bit
24 to answer this.

25 COMMISSIONER BALCH: Sure.

1 THE WITNESS: When what I am sampling is
2 isotropic, meaning it's the same in all directions,
3 so I have an ice cube and I used this example a lot
4 when I was teaching. If I have an ice cube how many
5 times do I have to sample the ice cube to establish
6 that it's made up of water? One time. All the ice
7 in the ice cube is like all the other ice in the ice
8 cube, so I only need one sample. In that example
9 there's no maximum, if you will, or there's no
10 minimum, and the average is the same as one sample.

11 Perfect world. The world is not perfect.
12 The world is not made up of ice cubes. So you
13 introduce a situation that I'm sampling something
14 that is anisotropic, meaning it's not the same in
15 all directions. So I attempt to take samples in
16 such a way that I can characterize what I'm
17 sampling. That's pretty important, that I have a
18 goal in mind of where I'm going with this.

19 If I want to see worst case, then I want
20 the maximum number. I want to get a handle on the
21 maximum, so I'm probably going to have to take quite
22 a few samples to establish which of those is the
23 highest. The problem with that is it may only
24 represent a very small portion of the population.
25 So I get all caught up with the maximum and I go oh,

1 my golly, the sky is falling when it's really only a
2 very small portion.

3 This is a lot easier to do on the ground.
4 I am measuring vegetation because I don't have to
5 dig holes. If I am doing it on the ground and I
6 have vegetation, how many samples do I have to have
7 to characterize the vegetation on that? And soils
8 is just so much harder than vegetation. If I had
9 known better, I would have stayed in botany.

10 So what is your goal? You have to think
11 about that, and you have to be careful when you
12 establish the maximum value.

13 To establish a mean there's a couple ways
14 to do that. One is arithmetically, and that would
15 be I take a bunch of samples, I get an analysis of
16 that. I take those values, add them up, divide by
17 the number of samples and get a mean. We do it all
18 the time. And as you described, mean, bell curve,
19 standard deviation, confidence intervals, et cetera.

20 To shortcut that we often take samples
21 along a transect, if you will, and we get about five
22 or six or 10 or 12 or 50 and we put it all in one
23 big bag, take the bag to the lab and analyze it and
24 that is the mean. Like it or not, it is the mean,
25 as long as I got the same amount of sample at each

1 location, and I have a mean but I don't have
2 standard deviations or confidence levels or
3 variances. I don't get any of that.

4 Now, are you asking me what's the best
5 thing to do?

6 COMMISSIONER BALCH: Well, I am asking you
7 if you have a regulation that says you can't exceed
8 two parts per million of something, how do you know
9 that the value represents that adequately?

10 THE WITNESS: Turns out that's a wonderful
11 question, by the way. That's a great question. I
12 have been asking myself that question for about 40
13 years. Let me try to answer it one way, and I can
14 promise you there's 101 ways to answer the question
15 but here is one of the ways.

16 When I am looking at vegetation, I am
17 sampling that and I'm trying to demonstrate that. I
18 don't want to have more than two parts per million
19 of whatever I am measuring. I can't have that. Why
20 can't I have that? If it's vegetation, quite often
21 vegetation compensates for this. And the mean, ever
22 how I get it, it's not a bad number because the
23 plant will avoid that two parts per million. It can
24 only live in one part per million and it will find a
25 way to avoid the two parts per million.

1 What if the mean is two parts per million?
2 I have a serious problem. I may have parts in that
3 sample -- I'm sorry, parts in that population that
4 are not two parts per million but when I get the
5 mean I get two parts per million. So I have pieces
6 that are higher and pieces possibly that are --
7 well, not possibly, it's lower.

8 I think you have got to think about -- and
9 I don't mean to be smart here -- I think you have to
10 think about what am I trying to accomplish here?
11 What am I trying to protect? Am I protecting a
12 human? Am I protecting a cow? Am I protecting a
13 plant? Am I worried about some four wing saltbush
14 out there or concerned about a human? And I
15 think -- and I know this is biased because I am a
16 human -- I want to see a lot of data because I don't
17 want to be exposed to something as a human. If I
18 were a four wing saltbush I probably wouldn't care
19 too much. Because I am confident that the four wing
20 is either going to die or live. If it dies, who
21 cares? We will plant another one and the other one
22 will figure it out. But when a human dies, you
23 know, that's serious stuff. I want to be protected.

24 So in trying to answer that question, I
25 think you have to very seriously look at what you're

1 trying to accomplish and what's your goal. If it is
2 involving the health of humans, then I guess you try
3 to get a mean and a standard deviation. What will
4 come from that, obviously, and you know this as well
5 as I do, in all likelihood you will find the maximum
6 in that population or you will have a very good
7 estimate of the maximum in the population so you
8 want to sample it to death.

9 If it's not too serious and it's
10 something -- I'm okay with means a lot of the time.
11 I work with means a lot or something that gives --
12 we do this all the time in mine reclamation. I told
13 you earlier I have sampled thousands and thousands
14 of samples of spoil, and we have taken them in
15 increments, established means and standard
16 deviations. We have taken composites.

17 Let me answer -- let me help you with
18 this. And I think maybe this is the better answer
19 of all the things I have said. When I start out and
20 I don't know nothing, I want a lot of samples and I
21 want means and standard deviations. When I am a
22 student of all of this, I want to know as much as I
23 can find out and I would probably want a lot of
24 data.

25 When I'm not so much the student and I am

1 more of the expert in this field because I have
2 looked at lots of data, then I start to feel more
3 comfortable with means. Is that at all helpful?

4 COMMISSIONER BALCH: If you are a
5 regulator going out to a site and taking a
6 measurement, you have stepped away from the mean
7 perhaps at that point?

8 THE WITNESS: Yeah. I'm a regulator and
9 somebody hands me a mean, I mean, I have a mean.
10 That's all I got. I don't have anything else but
11 the mean. What do I do with it? I would be careful
12 with it, I guess. I would want a whole bunch of
13 means. I shouldn't have said that, but I would be
14 careful with the data. I think you have to be very
15 careful with it.

16 COMMISSIONER BALCH: So one thing we are
17 tasked with doing as regulators is to assign a value
18 of something that we have to observe, not exceed or
19 in some other way interact with.

20 THE WITNESS: Yeah, you do.

21 COMMISSIONER BALCH: So I think you want
22 that sort of number to come from, like you said, the
23 learning experience, the large sampling and then
24 also from experience.

25 THE WITNESS: Somehow I agree with that.

1 I shouldn't have said somehow. I agree with you.

2 COMMISSIONER BALCH: I know we talked
3 about your Phillips study a number of times. I
4 think that slide may still be up, the cross-section.

5 THE WITNESS: You want the graph?

6 COMMISSIONER BALCH: Yes, please. In your
7 direct testimony you referred to something as a salt
8 bulge.

9 THE WITNESS: Salt bulge?

10 COMMISSIONER BALCH: Yes.

11 THE WITNESS: Yes, I referred to that in
12 the native pit, the blue line. Do you want me to
13 help you with that?

14 COMMISSIONER BALCH: Well, I guess what I
15 am trying to observe from this slide is you have do
16 higher concentrations below the pit, pretty much all
17 the way through the salt bulge, and at the bottom of
18 the salt bulge it goes back down to ground level.
19 Is there some mechanism that causes that salt bulge
20 to be in that location in the profile?

21 THE WITNESS: Yes. Now, you know, you got
22 to take the pit contents out of your mind on that
23 blue line, right?

24 COMMISSIONER BALCH: I understand that's a
25 natural feature. I want to understand what the

1 natural mechanism is that causes the salt bulge to
2 be where it is in the background profile.

3 THE WITNESS: If there's any one answer to
4 the question it would probably be the natural
5 precipitation that occurs at the site. That bulge
6 is, for the most part, driven by the precipitation
7 that falls at that site. If we were at a wetter
8 site, that bulge would be deeper. If we were at a
9 drier site, that bulge would come closer to the
10 surface.

11 COMMISSIONER BALCH: So let me ask you to
12 be predictive. You can refuse, of course. If you
13 went back here in another 40 years, assuming you
14 were still happily married for then 85 years, would
15 you expect to see the salt from the pit site to have
16 changed the profile of that salt bulge?

17 THE WITNESS: Not the native. In 40 years
18 from now the native, where it is today will probably
19 be where it is 40 years from now. Where will the
20 bulge be underneath the pit contents?

21 COMMISSIONER BALCH: Yes.

22 THE WITNESS: I believe it would be a
23 little lower. I believe that there would be a --
24 because the pit contents are so close to the
25 surface, 20 inches, the water will continue to move

1 through the pit contents and will continue to take
2 salt out of those pit contents and there's a
3 gradient for those salts to come out of the pit
4 contents and move below the pit contents. And there
5 will be a continuance of salt moving out of the pit,
6 moving into the soil, and it will try to move down.

7 I'm not comfortable -- and I will tell
8 you, I'm not comfortable as to how far and those
9 kinds of things. I have spent very little time in
10 my career looking below the pit contents. And I say
11 that figuratively. I spent most of my time in the
12 upper five feet of the profile, and I don't know
13 much about what happens below five feet. I'm just
14 kind of speculating that the salt will continue to
15 move out of the pit contents. It will move into the
16 soil and there's any number of possibilities of what
17 will happen to that salt. And I'm a little
18 uncomfortable testifying as to what it will do.

19 COMMISSIONER BALCH: Sure. I'm actually
20 interested in having you clarify your comment on
21 concentration of pit material above, and I think you
22 alluded to having a desire to elaborate. I'm very
23 curious as to what you would have said. I think
24 this was in reference to the amount of chlorides in
25 the material over time.

1 THE WITNESS: Oh, okay. Just so everybody
2 in the room knows what we are talking about and
3 maybe we don't care about them but I know you care,
4 so let's get this straight. That you have pit
5 contents and it has salts in the pit. If the salt
6 in the pit were ten times higher than it is --
7 there's another pit next to it and it's ten times
8 higher. Would the salt above the pit contents be
9 ten times higher in the soil that we use to cover
10 the pit contents? Did I capture the question?

11 COMMISSIONER BALCH: Right.

12 THE WITNESS: Good. And I said -- when I
13 said that before -- and I don't in any way mean to
14 say this in any derogatory way or embarrassing to
15 you, but I'm used to looking at blank looks when I
16 talk to people because they don't understand a thing
17 I'm saying. I spent 20 years at the university
18 doing that and I saw three blank looks and I said,
19 "Oh, my goodness, I don't think you understand
20 that."

21 So you are asking the question what will
22 happen. What is going to happen here is the
23 mechanisms that are allowing that salt to rise have
24 to do with saturated and unsaturated flow, and we
25 have been around and around on that today.

1 Just because the salt content is higher in
2 those pit contents doesn't necessarily mean the
3 concentration will be higher in the native soil. It
4 just means that there's a gradient and that the
5 salts will want to migrate up. But the part that I
6 want to share with you is it's raining all the time.
7 As the rains come down and they resaturate that
8 soil, it will move the salt back towards the pit
9 contents. Then there will be a period when the
10 material comes up again. Then it goes down. It
11 comes up and goes down. And the mechanisms that are
12 driving the salt concentration are largely the
13 phenomenon of saturated and unsaturated flow, not so
14 much the concentration of the pit contents.

15 So to make the statement well, if it's ten
16 times higher then the salt concentrations above
17 would be ten times higher? No, you can't say that.
18 In all likelihood they wouldn't be. In all
19 likelihood they would be maybe higher. I don't
20 really know, but maybe not too dissimilar because of
21 the mechanism that is lifting the salt and driving
22 the salt back down and that's what's really driving
23 the bus here.

24 COMMISSIONER BALCH: Thank you. I do have
25 one --

1 THE WITNESS: I see a sparkle in your eye
2 like you understood what I said.

3 COMMISSIONER BALCH: I think I am learning
4 something about soils, and at the risk of not
5 leaving anything for Commissioner Bailey I have one
6 last thing that I would like to do. An exercise, if
7 you will. Mr. Gantner's slides, No. 6. I think we
8 referred back to that a couple of times. It has to
9 do with changes in the siting criteria.

10 Now I'm going to ask you for your opinion.
11 I know some of the answers but I would like to have
12 them on the record. Low chloride fluids, the
13 modifications are asking for a decrease in depth
14 between the base of the pit and groundwater to 25
15 feet. Based on your experience, are you comfortable
16 with that as a protective limitation?

17 THE WITNESS: Like I said, I don't know
18 much about what happens down there. I'm not a
19 really good soil physicist in that realm, but I'm
20 pretty comfortable with that. Yes, I am.

21 COMMISSIONER BALCH: Do you think the 50
22 feet provides substantially more protection?

23 THE WITNESS: Yeah, if it's 50 feet it
24 takes -- I mean, 50 would be substantially more. It
25 provides more protection. I think the question

1 might be is it necessary, and now you are beyond my
2 expertise.

3 COMMISSIONER BALCH: Well, I'm going to
4 ask the same question for the changes in distance to
5 watercourses. You alluded to closer water tables
6 near watercourses and then wetlands, I think, it
7 would be similar. Basically the same question.
8 What's your comfort level with changing those
9 requirements? Let me ask it this way. Is the old
10 requirement too conservative?

11 THE WITNESS: It's really hard for me to
12 answer that because it's so distant from things I
13 really know about. It seems that way. It seems
14 conservative.

15 COMMISSIONER BALCH: Is the new
16 modification not conservative enough?

17 THE WITNESS: I think it's conservative
18 enough, but I'm not comfortable at all talking about
19 this because I'm not really good at what happens at
20 depth, and I know the theories and I know the
21 principles and things and I know what people have
22 told me, but I don't have much experience in this at
23 all. I really virtually have never sampled at those
24 depths of 50 or 75 or 100 feet so I'm really going
25 to --

1 COMMISSIONER BALCH: Well, for a
2 watercourses and wetlands, 100 or 300 or 500 feet,
3 that's more of a lateral change which could be
4 occurring at the four-foot interval that you are
5 very familiar with.

6 THE WITNESS: Yeah. Depends on, you know,
7 where that water table is relative to the
8 watercourse. I have done some work in southern New
9 Mexico where we were along watercourses. We were,
10 you know, several hundred feet from -- well, 100 to
11 300 feet at different locations, 100 to 300 feet,
12 and the water table was well below 12 feet, deeper
13 than we could dig with a backhoe. But there were
14 evidences of water having been at a higher elevation
15 at some time in the history of that soil.

16 So in that particular instance, very
17 gravelly. The water table was at about five or six
18 feet and we were probably -- at 300 feet, I don't
19 remember seeing any evidence of the water table. At
20 100 feet, that particular one instance -- and I
21 can't remember how to describe it all to you, but it
22 was a flowing stream and the water table -- we
23 couldn't find the water table but there was evidence
24 it had been within about six feet of the surface at
25 one time. That's just one instance and one thing.

1 I know that isn't very helpful but I don't think I
2 am very helpful here to you.

3 COMMISSIONER BALCH: Well, thank you for
4 your testimony.

5 CHAIRPERSON BAILEY: I will have to admit
6 that I thoroughly enjoyed the exchange between you
7 and Dr. Neeper.

8 THE WITNESS: What I was hoping you were
9 going to say is you liked my tie.

10 CHAIRPERSON BAILEY: That, too. Why not.
11 You repeatedly said soluble salts would never
12 migrate to the surface.

13 THE WITNESS: Correct.

14 CHAIRPERSON BAILEY: But in your part of
15 the world near Bloomfield I often saw at different
16 times of the years a white crust on the surface of
17 the land. What would that be?

18 THE WITNESS: You do. You see it pretty
19 regularly. Sodium sulphate, by the way.

20 CHAIRPERSON BAILEY: Which is a soluble
21 salt?

22 THE WITNESS: Very soluble. When you are
23 there next time tell whoever you're with, "That's
24 sodium sulphate," and they will think, oh, how smart
25 you are. That is a result of a very high water

1 table. I have dug in that vicinity. Somebody
2 wanted to build a house and we looked at it. It
3 wasn't even 24 inches to water. So what happens in
4 that situation, and why those salts are at the
5 surface is because the water table is so high that
6 the water is able to capillary those 20 or 24 inches
7 to the surface. So it has a saturated zone at that
8 depth.

9 I did a lot of work at White Sands at one
10 time at the Air Force Base and the missile range,
11 mapped soils, and they were trying to make
12 vegetation grow. You may not know this, but there's
13 a lot of salt at the surface. Oh, my goodness, how
14 did all that salt get to the surface? At first I
15 didn't know and we started digging with a backhoe,
16 and pretty much throughout the Air Force Base, the
17 deepest the water table ever gets is four or five
18 feet. But the greater majority of the water table
19 is less than 12 inches from the surface.

20 So what happens is that water, as you
21 might know or don't know, doesn't matter, is very,
22 very salty. Some of it is saltier than the ocean.
23 And the salts -- again, that's calcium sulphate in
24 that case, which is not as soluble as sodium
25 sulphate but it's pretty soluble, it is migrating to

1 the surface.

2 Turns out there are many, many salts in
3 that water of the White Sands and extreme, extreme
4 electrical conductivities, and that water was just
5 able to capillary up about 12 inches and take those
6 salts and there was just crusts of salt on the
7 surface. It didn't allow vegetation to grow, that
8 was for sure.

9 CHAIRPERSON BAILEY: Your Slide 17-7.
10 Now, there are quite a few factors that are going to
11 play into this. Evaporation rates play a big part.

12 THE WITNESS: Correct.

13 CHAIRPERSON BAILEY: Evaporation rates are
14 not the same in the San Juan Basin as they are in
15 the southeast, are they?

16 THE WITNESS: Evaporative transportation
17 is a little higher in the south than it would be in
18 the north, yes.

19 CHAIRPERSON BAILEY: So a lot of your
20 discussion has been geared towards the San Juan
21 Basin.

22 THE WITNESS: Yes.

23 CHAIRPERSON BAILEY: So the soils are
24 quite different in the southeast also, aren't they?

25 THE WITNESS: Yeah. Yeah. There's -- I

1 don't know, over 1,000 soils in the state of New
2 Mexico and as you go across the state they are very
3 different.

4 CHAIRPERSON BAILEY: So we are going to
5 have very different climate, very different
6 vegetation and very different impacts as far as
7 revegetation success?

8 THE WITNESS: Different approaches to
9 getting reclamation to work, yes.

10 CHAIRPERSON BAILEY: So the
11 recommendations that are part of the proposal, are
12 they geared towards revegetation of the San Juan
13 Basin or are they geared towards the southeast or
14 both?

15 THE WITNESS: Both. Four feet. Chairman,
16 I have said this before and I know this is going to
17 go on the record and it's okay if it does. I
18 believe in all the years that -- you give me 12
19 inches of soil, I can reclaim most sites. If you
20 give me two feet, easy peasy. If you give me four
21 feet I virtually have no problem reclaiming most
22 anyplace in the western United States, whether it's
23 southern New Mexico or northern New Mexico. In
24 northern New Mexico, that's where most of my
25 experience is, most of my experience in reclamation,

1 but I have consulted in reclamation all over the
2 west. Generally speaking, if we can get about 12
3 inches of topsoil we can get reclamation to
4 establish.

5 I'm delighted to see four feet of material
6 because it makes it so much easier and it will be --
7 we can be as successful in the southern part of the
8 state as the northern part of the state with four
9 feet of material.

10 CHAIRPERSON BAILEY: Which brings up my
11 next question. You used alkali sacaton and four
12 wing saltbush as examples of salt-tolerant native
13 species?

14 THE WITNESS: Yes.

15 CHAIRPERSON BAILEY: Are those species
16 native to the southeast also?

17 THE WITNESS: Four wing will grow
18 throughout the state of New Mexico. It grows all
19 the way from central Mexico to northern/middle
20 Canada. Four wing is a very flexible, pliable,
21 genetic species that grows in lots of spaces.
22 There's a number of grasses -- there's a salt grass
23 that grows in southern New Mexico that is extremely
24 salt-tolerant. Much more tolerant than anything in
25 the northern part of the state. That doesn't mean

1 anything but it's called disticulus. It's a salt
2 grass that's very successful in establishing itself
3 in salty soils, probably more salt-tolerant than
4 alkali sacaton. Some don't come to mind right now,
5 but when I lived in southern New Mexico I did some
6 work down in the Texas/New Mexico border and yeah,
7 the soils are different, but there's a lot of
8 different shrubs down there than there are in
9 northern New Mexico. And those shrubs, although
10 they are different, they are very salt-tolerant.
11 Creosote, for example.

12 The mesquite is a very tolerant species.
13 There's a grass -- and I apologize -- I can't
14 remember the name right now, but it's a sister to
15 alkali sacaton, but it's a plant that's very similar
16 to that and it will grow in the southern part of the
17 state and in very salty soils.

18 CHAIRPERSON BAILEY: In the southeast we
19 have caliche very close to the surface.

20 THE WITNESS: Yes.

21 CHAIRPERSON BAILEY: You also talked about
22 calcium carbonate as forming a barrier at some point
23 below the surface of the lands. Will that calcium
24 carbonate or caliche layer form a barrier for salt
25 migration either up or down?

1 THE WITNESS: Caliche and calcium
2 carbonate are one and the same. Caliche is just a
3 cemented form of calcium carbonate. When it's truly
4 caliche, it has essentially sealed at that depth to
5 which it occurs. There's essentially a sealing, and
6 water, momentarily, will move down and it will stop
7 momentarily at that zone.

8 What's happened over the thousands of
9 years is the carbonates have been moved. They can't
10 move down and they precipitate out and you build up
11 a layer of calcium carbonate and you build up this
12 caliche layer. Turns out, caliche has a propensity
13 to crack and water will find those cracks and it
14 will maintain those cracks. So what happens is
15 water will go below the caliche.

16 Turns out, plants will find -- creosotes
17 is a classic example -- will find those cracks, if
18 you will, or those openings and will capitalize on
19 that. As much as we think caliche is continuous
20 from the roadside, and for all intents and purposes,
21 it appears to be continuous, but it's not
22 continuous. So water does move down and roots move
23 down and plants move through it. So your question
24 is will the salts build up on top of the caliche?
25 Yeah, the calcium carbonates will tend to. The more

1 soluble salts will tend to move with the water and
2 tend to move down. That's in the native, natural,
3 undisturbed, situation. When we disturb that site
4 we destroy the caliche and it no longer acts
5 anything like it did in the native state.

6 CHAIRPERSON BAILEY: Slide 17-19. Do we
7 have any indication what the depth to water is?

8 THE WITNESS: Here?

9 CHAIRPERSON BAILEY: Yes.

10 THE WITNESS: I don't know. I know
11 there's somebody in the room that knows. It's about
12 20 miles, 15 or 20 miles south of Bloomfield just
13 due south out by Angel Peak. Whatever the water
14 table is in the Angel Peak area is about what the
15 water table would be here, and I would guess well
16 over 100 feet, if not deeper.

17 CHAIRPERSON BAILEY: Is there any
18 correlation between the location of the salt bulge
19 and the depth to water?

20 THE WITNESS: Not in this case, no.

21 CHAIRPERSON BAILEY: We had discussion
22 earlier concerning construction of pits on the angle
23 of repose. Now, you advocated stability.

24 THE WITNESS: Advocated what?

25 CHAIRPERSON BAILEY: Stability in the

1 topography.

2 THE WITNESS: Yes.

3 CHAIRPERSON BAILEY: Is the angle of
4 repose necessarily a stable topography?

5 THE WITNESS: No. You know, there's a
6 whole bunch of things I could say about that, but
7 I'm just going to tell you no, just because it's an
8 angle of repose doesn't mean it's stable.

9 CHAIRPERSON BAILEY: On Page 2 of
10 Attachment A we discussed the definition for
11 life-form ratios.

12 THE WITNESS: On Page 2?

13 CHAIRPERSON BAILEY: Yes. Do we need to
14 insert the word "native species" within that
15 definition?

16 THE WITNESS: If I were you, I would.

17 CHAIRPERSON BAILEY: On the whole, would
18 you say that the soils of southeastern New Mexico
19 are sandier than the soils of the San Juan Basin?

20 THE WITNESS: No.

21 CHAIRPERSON BAILEY: It's hard to
22 generalize?

23 THE WITNESS: That's a really, really hard
24 question to answer because almost every soil, every
25 kind of soil in terms of soil texture -- sandy,

1 clay, et cetera -- exists in the San Juan Basin.
2 Nearly every one of those soils exists in the
3 southeast and southwest -- well, the southeastern
4 parts of New Mexico. It's just -- you can find sand
5 dunes in both places. You can find beautiful prime
6 farmland soils in both places. You can find playas
7 and clay soils. If you asked me to find a soil and
8 you gave me the criteria, I could find it probably
9 in any corner of New Mexico. I don't care what
10 criteria other than don't mess around with
11 elevation, but if you wanted a certain texture of
12 soil, I bet I could find it in practically every
13 county of New Mexico. That's a bit of an
14 exaggeration but it's not too far off.

15 CHAIRPERSON BAILEY: But on the whole
16 where we do have sandy soils, we would have lower
17 water capacity?

18 THE WITNESS: Yes. Sandy soils have lower
19 capacity to hold water than soils that are more
20 loamy, yes.

21 CHAIRPERSON BAILEY: And faster and deeper
22 migration of chlorides?

23 THE WITNESS: Yes. Water will move deeper
24 in a sandy soil than it will in not sandy soil, yes.

25 CHAIRPERSON BAILEY: Do you advocate when

1 we are rebuilding the surface on top of the pit,
2 that there be a course layer of material put on top
3 of the pit contents?

4 THE WITNESS: How do you know that? You
5 are pretty smart. I think you know -- not only did
6 you say the right thing but I think you know what
7 you're talking about. If you put a course layer
8 above -- you change the dynamics tremendously as to
9 what happens with the flow of water. You know all
10 that stuff we have been talking about today? Just
11 throw it out the window because this changes the
12 world when you have a gravel layer. You said course
13 fragments?

14 CHAIRPERSON BAILEY: Yes.

15 THE WITNESS: Did you say course fragments
16 or rock?

17 CHAIRPERSON BAILEY: I said course
18 material.

19 THE WITNESS: You just change the world
20 when that happens. And what you do when you do that
21 is you change all the dynamics of this water moving
22 up and down. Now, there are probably very few
23 people in this room that are going to believe what
24 I'm about to say. But if I have a gravel layer and
25 I have a loam soil above it and the water is moving

1 down, most people on Quiz Question No. 8 will say
2 the water will just move rapidly into the gravel.

3 Stops like a brick. You have these huge
4 pores and that soil has to be completely saturated
5 above the gravel before one drop of water will go
6 into the gravel. So it changes the dynamics. All
7 the little drawings I did, here comes this saturated
8 zone. Well, as long as it's saturated it would move
9 into the gravel. But if it's anything but saturated
10 it will stop when it hits the gravel layer. For all
11 intents and purposes, when you stop the water you
12 stop the roots.

13 So now I'm going to address your question
14 from a reclamation standpoint and not from a physics
15 standpoint. That's the physics behind all of this.
16 Here is the reclamation part of it. If the gravel
17 stops the water, then I'm going to stop the roots,
18 and I don't want to do that. In my life, I don't
19 want to stop roots. I want the roots to go down.

20 I am okay with the gravel in the soil. If
21 it's mixed in I'm okay and that's fine and it
22 doesn't change the dynamics too much. So your
23 question is would I recommend putting gravel or
24 coarse fragments or coarse material over the top of
25 these pit contents, and the reason I would do that

1 is to keep water from going into it. I don't
2 believe I would recommend that. I have made such
3 recommendations of using gravel to stop water, but
4 for other purposes. I think I want those roots to
5 be able down into those pit contents and extract
6 that water out of there so my answer to your
7 question is no, I don't believe I would recommend
8 that.

9 CHAIRPERSON BAILEY: How about for those
10 plants such as grasses, native grasses, whose roots
11 stay within the top two feet as you indicated?

12 THE WITNESS: Yeah. So you have four feet
13 of material and a gravel area. The grass roots will
14 never get down there anyway, so Bruce, what are you
15 talking about? Because if anything I got across to
16 you I told you the grass roots aren't going to get
17 down there anyway so why don't you put a gravel
18 layer and stop the water?

19 Yeah, it's okay with the grasses. If
20 that's all you ever had was grass probably it would
21 accomplish -- if that's what you want to accomplish,
22 that's what it's going to accomplish. What I'm
23 concerned about is the shrubs, which most likely
24 would grow below four feet and would start doing
25 things -- they would chase water that's deeper than

1 four feet. What it will do is cut the shrubs off.
2 For all intents and purposes you're not going to get
3 any root growth beneath the gravel layer.

4 I have to think about that. My first
5 reaction to that is I don't think I would do that.
6 I think it's going to be something that we will wish
7 we hadn't have done sometime later is what I think
8 will come of that. It answers some problems, some
9 questions, and does some things. We know exactly
10 what it's going to do. I have to think about that a
11 long time before I would make that recommendation,
12 so I'm going to say no, I wouldn't recommend that.

13 CHAIRPERSON BAILEY: Okay. I must have
14 written it down wrong, because I wrote down that
15 shallow soil encourages shrubs.

16 THE WITNESS: No, you wrote that right.
17 If you have shallow soil over spoil material, the
18 grasses don't do very well. I don't exactly have an
19 answer for you but I will tell you what I observed
20 and I don't exactly have an answer for it. We will
21 get almost a complete dominance of shrubs and
22 particularly a few species of shrubs. And I don't
23 know exactly why, but I think they have a higher
24 tolerance to the material below that four inches of
25 soil and I think they move into that spoil and

1 thrive on that. And I think that's why the shrubs
2 are there.

3 Maybe the grasses aren't there because
4 they don't thrive and do real well with just four
5 inches of soil. They will go into the spoil. No
6 question they will do that. But I don't think they
7 can compete with the shrubs. The shrubs so
8 out-compete them and they don't get established.

9 So yeah, you wrote it down right and
10 that's right. But shrubs in a normal, not spoil,
11 not pit contents, just a good old American soil --
12 or good old New Mexican soil, the shrubs will root
13 deeper and they will root as much as three to four
14 feet. Some will go as deep as 12 to 15 deep and
15 some not that deep. But yeah, shrubs root deeper
16 but when they are competing for a place in the
17 environment they will out-compete grasses on a
18 shallow soil. That's two different concepts going
19 on here.

20 CHAIRPERSON BAILEY: And a prime example
21 is sagebrush?

22 THE WITNESS: Sagebrush is very
23 interesting and I know a lot about sagebrush. Want
24 to know a lot about sagebrush?

25 CHAIRPERSON BAILEY: This may not be the

1 best time.

2 THE WITNESS: There's three sub species of
3 sagebrush. You are talking apples and oranges when
4 you talk about sagebrush. Don't you ever generalize
5 about sagebrush because it is the worst plant to
6 ever generalize about. You will get me to very
7 rarely generalize about sagebrush because it does
8 not behave. It's the most misbehaving child in
9 plants that is out there and it's because there are
10 three sub species and most people don't know that.

11 Now I'm going to retract what I said and
12 I'm going to generalize. Sagebrush roots down about
13 a meter, 36 inches, but it will root very shallow
14 and it will root very deep. There is instance after
15 instance that it will grow at 12 inches of soil and
16 do fine. It grows at 12,000 feet. It grows at
17 1,000 feet. It does not know what the elevation is.
18 It doesn't know what latitude it's at and it doesn't
19 know what longitude it's at. It's a crazy plant.
20 So sagebrush is kind of a fun plant to study because
21 you can say something and nobody can refute it. If
22 you are going to take up another study in your life
23 and you want to do something, don't study sagebrush.
24 Go do something else.

25 CHAIRPERSON BAILEY: I will take that

1 advice and I thank you for your testimony.

2 Mr. Hiser, do you have redirect of your witness on
3 the questions that were asked?

4 MR. HISER: I do. Not very many.

5 REDIRECT EXAMINATION

6 Q. I think the most important one is the one
7 that you and Commissioner Bloom raised about native
8 versus non-native and what is NMOGA doing given the
9 testimony that native species are the best.
10 Dr. Buchanan, when I am looking at the term native,
11 is that term susceptible to more than one
12 interpretation?

13 A. Yes.

14 Q. So is it possible that a person can very
15 zealously apply the term native and mean only those
16 species that were present in that particular
17 location as opposed to a broader area?

18 A. Yeah, that's commonly done, in fact.

19 Q. If I take that extremely narrow definition
20 of the term native, what does that do to your
21 ability to reclaim that site?

22 A. Well, you are limited by seed source. The
23 very first thing that comes to mind is you are
24 limited by seed sources because you have to get seed
25 sources from the very vicinity of the site and you

1 can't use some native -- some other native from some
2 other place. You start thinking well, all I can
3 grow here is those eight or twelve species that are
4 growing at this location. There are other native
5 species that will do quite well at that site.

6 What I'm trying to get away from is the
7 introduced species, the stuff from the
8 Mediterranean, and those have proven -- crested
9 wheat grass is the classic. Lehmann lovegrass is a
10 classic. That's in Arizona. What a mistake we made
11 when we introduced that species. There's a whole
12 bunch of reasons why and you don't need to know.

13 But when we introduce a non-native in that
14 context we introduce a species that doesn't behave
15 in that environment the way a native will behave in
16 that environment and down the road we are going to
17 pay the price for it. Let me just get to the end of
18 the sentence. It won't sustain itself.

19 Q. And so if the Commission has an interest
20 in looking at native species, is the cautionary note
21 that you would share with them really that we need
22 to use regional -- sort of a regional approach to
23 native so you have a larger plat or toolbox, if you
24 would?

25 A. Yeah, bigger toolbox.

1 Q. And then within that, that you really
2 believe that the life-form ratio as opposed to the
3 species concentration is the best way to do that?

4 A. Yes, I do.

5 Q. If we turn to the proposed rule there's
6 another question, and I can't remember -- maybe it
7 was from Dr. Neeper. It might have been one of the
8 commissioners -- and that was about reclamation in
9 an agricultural area. Turn to Page 39. This is
10 Attachment A, Page 39. If I can direct your
11 attention to No. 4, the last blue section above the
12 gray. This section here talks about alternative
13 regulatory or contractual requirements. It says,
14 "The vegetation reclamation obligations imposed by
15 other applicable federal or tribal agencies or
16 imposed by specific agreements with surface owner
17 shall supersede these provisions and govern the
18 obligations of any operator subject to those
19 provisions."

20 Does that provide an out where there is
21 another applicable regulatory scheme or sufficient
22 arrangement may be made with the surface owner where
23 you are in their pasture or you're in their
24 strawberry garden about how that would be reclaimed?

25 A. Yes, it certainly does.

1 Q. And is that a important part of
2 reclamation when you are looking at the proposed end
3 use?

4 A. That's the first thing you learn when you
5 go to school and you start talking about
6 reclamation. You have got to get to the end use.
7 That's the first thing you think about is the end
8 use. That's what you teach people. The end use is
9 everything so you want to satisfy that end use. If
10 it's agricultural, it's agricultural or whatever it
11 is. Yes, that really is important.

12 Q. And I think Mr. Dangler asked about the
13 studies that you had done and whether you
14 participated in these systematic studies?

15 A. Which ones?

16 Q. Mr. Dangler is the attorney for the Land
17 Department. He asked you if you participated in any
18 systematic study across the state of pits,
19 systematically across the state.

20 A. No, I haven't.

21 Q. You said you did not. He then asked you
22 if -- let me ask you this way. Do you believe that
23 the studies that you have done would be
24 representative of the results across the state?

25 A. Yes, I do.

1 Q. Even though it hasn't necessarily been
2 systematic as he would define it?

3 A. (Witness nods).

4 Q. I believe that completes my redirect.

5 CHAIRPERSON BAILEY: Your witness can be
6 excused.

7 MR. HISER: Thank you. This would
8 complete NMOGA's direct case.

9 CHAIRPERSON BAILEY: Then we will begin
10 with testimony of Ms. Denomy after a ten-minute
11 break.

12 (Note: The hearing stood in recess at
13 2:50 to 3:00.)

14 CHAIRPERSON BAILEY: We will go back on
15 the record. Mr. Jantz, I understand you have one
16 witness?

17 MR. JANTZ: That's correct, Madam Chair.

18 CHAIRPERSON BAILEY: And you have made
19 your opening statement?

20 MR. JANTZ: I have. I would like to call
21 Ms. Mary Ellen Denomy.

22 MARY ELLEN DENOMY
23 after having been first duly sworn under oath,
24 was questioned and testified as follows:

25 DIRECT EXAMINATION

1 BY MR. JANTZ

2 Q. Ms. Denomy, could you introduce yourself
3 to the audience and the Commission.

4 A. I am Mary Ellen Denomy. I am a CPA. I
5 live and work out of the Piceance Basin in Colorado.
6 I have an accreditation as an accredited petroleum
7 accountant, a certified mineral manager, a certified
8 fraud deterrent analyst, a certified forensic
9 financial analyst, and I am the only one in the
10 United States with those four credentials.

11 Q. Let's talk about your academic background
12 a little bit, Ms. Denomy. Where did you go to
13 school?

14 A. I went to school at Wayne State University
15 in the city of Detroit.

16 Q. What did you study while you were there?

17 A. My major is in accounting and I have a
18 bachelor of science with distinction.

19 Q. What sort of course work goes into a
20 bachelor of accounting?

21 A. Financial reporting, accounting, all the
22 economic courses as well as your usual basic
23 English, science and math.

24 Q. Okay. And after you graduated, where did
25 you go to work?

1 A. Where did I go to work? My first job was
2 doing income taxes and then I have also taught high
3 school for a small period of time and then I started
4 my own accounting practice in the city of Grosse
5 Pointe Woods, Michigan.

6 Q. What kind of experience have you had in
7 the oil and gas industry?

8 A. Well, I began working for an family that
9 had an extensive number of gas wells on their
10 property. During the course of my employment with
11 them, I became trained as an accredited petroleum
12 accountant, which encompassed going to many places
13 across the United States to get tested for eight
14 different parts, to be tested for competency.

15 Q. And can you explain what it takes to
16 become an accredited petroleum accountant?

17 A. Well, you need to do extensive study and
18 then you also need to be tested that your competency
19 is up to par to pass. The eight parts are: Audit,
20 operations -- you need to know how the wells
21 produce. You need to do financial reporting, which
22 is something that most accountants come equipped
23 with before they even go into oil and gas. You need
24 to know oil and gas law, oil and gas tax, oil and
25 gas revenue, oil and gas joint interest billing,

1 which is expenses that are charged between two
2 companies, and you need to know oil and gas
3 management, which includes mergers and acquisitions
4 and how to manage the oil and gas companies.

5 Q. Was that eight?

6 A. That's eight.

7 Q. Is this a national accreditation?

8 A. It is a national accreditation and there
9 are just less than 200 accredited at that level.

10 Q. Let's talk a little bit more about your
11 experience. You talked about representing this one
12 family. Have you represented other people? Have
13 you worked for other people in the oil and gas
14 context?

15 A. Yes. I worked for one family but I am
16 also currently a consultant for four different oil
17 and gas companies. I do their revenue, their
18 audits, I do their royalties, I do their taxes and
19 I'm pretty much the accountant go-to for all of the
20 expenses as well as the income and the tax
21 liabilities that have to do with it.

22 Q. And what kind of companies are these? Are
23 these like BP or are these small companies?

24 A. No, they are are probably in the range
25 between five million and ten million dollar

1 companies. They are the small independents.

2 Q. Do you represent mineral interests as
3 well?

4 A. I also represent mineral owners, a large
5 number of them as well.

6 Q. What do you do for folks like them?

7 A. I will do audits if companies will allow
8 me to go and audit their records. Most mineral
9 owners in their leases don't get the right to go
10 audit but sometimes the larger companies like
11 Chevron or BP may be willing to allow them to come
12 and look and see if the income and expenses that
13 have been charged to a mineral owner are exactly the
14 way they have been put on their royalty checks. And
15 I also do, you know, about 100 tax returns for
16 mineral owners as well privately, tax returns.

17 Q. Have you worked for governments?

18 A. I am also currently employed and a
19 consultant for two counties in the state of
20 Colorado.

21 Q. What do you do for the counties in
22 Colorado?

23 A. I do oil and gas audits on the tax paid to
24 the counties.

25 Q. Do you have clients or have you had

1 clients in New Mexico?

2 A. I have.

3 Q. And you currently had clients in Colorado,
4 I assume?

5 A. I do. I actually have clients from
6 Pennsylvania through California.

7 Q. Can you tell me what a certified mineral
8 manager does?

9 A. Certified mineral manager is a
10 certification that requires passing three tests that
11 involve basically more for the mineral owners rather
12 than the oil and gas companies. What is a spacing
13 unit, for instance, and you are very familiar with a
14 spacing unit situation, but it is a certification
15 that shows that I understand spacing units, I
16 understand leases, I understand how people should
17 get paid and the taxes that go with private mineral
18 owners.

19 Q. Have you testified as an expert witness
20 before?

21 A. Numerous times.

22 Q. In what contexts?

23 A. I have testified back in 2007 in front of
24 this Commission for the first Pit Rule hearing. I
25 have testified in front of the Colorado Oil and Gas

1 Commission several times on spacing and down-spacing
2 for well sites. I have also been an expert witness
3 for a number of court cases where I have been the
4 expert for the mineral owners as well as a working
5 interest owner.

6 Q. And so just to be clear, you were
7 qualified as an expert in the Pit Rule before this
8 Commission before?

9 A. Yes, I was.

10 Q. I would like you to take a look at Exhibit
11 1 to OGAP's prehearing statement. This is your
12 resume, is it not?

13 A. It is my curriculum vitae.

14 Q. Your CV?

15 A. Yes.

16 Q. Is that a true and accurate representation
17 of your CV?

18 A. It is.

19 MR. JANTZ: I would like to move Exhibit
20 1, OGAP Exhibit 1 into evidence.

21 MR. FELDEWERT: No objection.

22 MS. GERHOLT: No objection.

23 MS. FOSTER: No objection.

24 CHAIRPERSON BAILEY: It is admitted.

25 (Note: OGAP Exhibit 1 admitted.)

1 MR. JANTZ: And at this point I would like
2 to qualify Ms. Denomy as an expert in petroleum
3 accounting.

4 MR. FELDEWERT: Madam Chairwoman, may I
5 question the witness about her background a little
6 more thoroughly.

7 CHAIRPERSON BAILEY: Yes.

8 VOIR DIRE EXAMINATION

9 BY MR. FELDEWERT

10 Q. Ms. Denomy, I understand that your
11 training is in accounting, correct?

12 A. Yes.

13 Q. And that it appears from your resume that
14 most of your professional experience has been
15 limited to accounting and auditing type issues.

16 A. Yes.

17 Q. For example, if I go to your Exhibit No. 1
18 and if I go to your section with work experience and
19 I start on Page 3, it looks like you were a staff
20 accountant dealing with payroll and tax preparation
21 issues for three years, correct?

22 A. That was in 1980, yes.

23 Q. Then you did general tax preparation for a
24 long period of time, ten years?

25 A. Yes. That was my own office.

1 Q. Then if I continue forward, you were a
2 staff accountant for a period of time?

3 A. Yes.

4 Q. And then you did some kind of staff
5 accountant work in 1995?

6 A. Yes.

7 Q. Now, at that point in time you didn't have
8 any experience with oil and gas issues?

9 A. That is correct.

10 Q. All right. So then we look at your --
11 continue on with the background. You became, looks
12 like, a comptroller in 1996 for looks like a fairly
13 well diversified family business; is that correct?

14 A. That's correct.

15 Q. And a comptroller, as I understand it, is
16 a person who generally supervises the quality of
17 accounting and reporting for, in this case, a family
18 business?

19 A. That is correct.

20 Q. Your resume indicates for this particular
21 family business you did their accounting, you did
22 their taxes and you did their payments?

23 A. That's correct.

24 Q. For a long period of time. Twelve years?

25 A. Yes.

1 Q. And so then your self-employed consulting
2 work began about what, four years ago? 2008?

3 A. Yes.

4 Q. And that was when you first started
5 getting some exposure into, at least for some
6 companies, oil and gas type accounting?

7 A. That is incorrect.

8 Q. You did some with the family business?

9 A. I did a lot with the family business.

10 Q. And that was your oil and gas accounting
11 work?

12 A. Yes.

13 Q. Comptroller work?

14 A. It was part of my comptroller work. When
15 you have a small family business you are expected to
16 do everything. I have driven the ambulance, I have
17 tested pit water, I have counted four feet of cows
18 and divided by four to figure out how many cows got
19 sent, so I was well diversified. I was more or less
20 everything in addition to an accountant.

21 Q. I understand. You said you did do some
22 work for some oil and gas companies. Can you name
23 those companies?

24 A. I sure can. Apollo Operating, WWF, LLC,
25 Gadeco, LLC and Grynberg Petroleum.

1 Q. Do any of those companies operate in New
2 Mexico?

3 A. Yes, they do.

4 Q. Which ones?

5 A. Grynberg does.

6 Q. What part of the state?

7 A. Northwest.

8 Q. And did you do work for him in the
9 northwest?

10 A. I did.

11 Q. Is that up in the San Juan Basin?

12 A. Yes.

13 Q. And then with respect to your expert
14 witness testimony, I think you said you testified
15 about spacing issues and you mentioned some court
16 cases.

17 A. Yes.

18 Q. What was the nature of your expert witness
19 testimony in those court cases? Was it royalty
20 accounting?

21 A. Not in all of them, no.

22 Q. Okay.

23 A. In the Celeste Grynberg, et al. versus
24 Williams Production, Celeste is the owner of the
25 company listed and that is a working interest owner.

1 Q. So joint interest billing issues? Is that
2 what you were covering?

3 A. Expenses as well as income.

4 Q. So again, you were testifying then as an
5 expert in accounting?

6 A. Oil and gas accounting. There's a
7 difference.

8 Q. Well, in terms of the subject matter.

9 A. In the way it's done.

10 Q. Okay. One of the things I didn't see and
11 I wanted to make sure I wasn't missing anything is
12 you did not -- you are not an economist?

13 A. I am not an economist.

14 Q. So you have never been trained in any of
15 the social sciences that will normally be associated
16 with someone who is a professional economist?

17 A. I am not a professional economist. I am
18 an oil and gas accountant.

19 Q. What you bring to the table here today
20 then is your experience as an accountant and an
21 auditor with some oil and gas experience in those
22 two fields?

23 A. Yes.

24 Q. Now, you have never owned or operated or
25 managed an oil and gas company other than what you

1 referenced here as the family business?

2 A. I have never owned an oil and gas company.

3 Q. Never been involved in decisions about
4 where to drill?

5 A. Yes, I have.

6 Q. Have you been in decisions about where to
7 allocate capital?

8 A. Yes, I have.

9 Q. When you say you were involved in
10 decisions about where to drill, what was the nature
11 of those decisions?

12 A. Location as well as income.

13 Q. So you made a decision from an accounting
14 perspective whether that particular site and the
15 potential income from the site made sense?

16 A. That is correct.

17 Q. Any other exposure?

18 A. I also do mineral valuations and I have
19 done about 100 of those.

20 Q. You are doing, again, accounting work with
21 respect to what the expected value of the minerals
22 may be?

23 A. That is correct.

24 Q. And how much it may cost to get them out
25 of the ground?

1 A. That's correct.

2 Q. Have you had any experience on what the
3 effect the current Pit Rule has had on any
4 allocation of capital for any company?

5 A. No.

6 MR. FELDEWERT: Madam Chair, on behalf of
7 NMOGA I have no objection to Ms. Denomy testifying
8 on general accounting issues.

9 MR. JANTZ: She was offered as a petroleum
10 accountant, expertise in petroleum accounting.

11 MR. FELDEWERT: We have no objection to
12 that characterization of her expertise.

13 CHAIRPERSON BAILEY: Any other discussion?
14 Then she is accepted as an expert in petroleum
15 accounting.

16 MR. JANTZ: Thank you, Madam Chair.

17 DIRECT EXAMINATION CONTINUED

18 BY MR. JANTZ

19 Q. Ms. Denomy, I understand that you have a
20 PowerPoint presentation.

21 A. I do.

22 Q. So rather than me ask you questions and
23 you give me answers, why don't I just turn you loose
24 and if I have any questions about the need for
25 clarification or anything like that, I will just

1 interrupt. Is that okay?

2 A. That's great.

3 Q. So please.

4 A. Okay.

5 MR. FELDEWERT: Before she begins, Madam
6 Chair, I may have some objection or concerns about
7 specific slides. So when we get to that particular
8 slide, before she testifies I would like to address
9 those concerns.

10 CHAIRPERSON BAILEY: You can voice your
11 concern at that time.

12 MR. FELDEWERT: Thank you.

13 A. Before I start, I would like to make a
14 comment, if I may. As much as Mr. Arthur yesterday
15 said that money is not significant, this is what
16 drives an oil and gas business is money. What is
17 required of a business is to achieve ethics, and
18 ethics includes environmental protections as well as
19 maintaining good relationship with their customers
20 and each other.

21 It is a really difficult combination to
22 try to make sure that this and this come together,
23 and I'm going to try to do my best to go through
24 what has transpired over the last couple years since
25 the first Pit Rule hearing.

1 If we look at rig counts and those kinds
2 of things that have happened since the first hearing
3 in 2007, we had 1695 rigs in 2007. In 2008 those
4 increased, and this is nationally. In 2009 those
5 decreased nationally by 42 percent. This
6 information can be -- and I have it on all my slides
7 where the information came from. That's from the
8 Energy Information Administration. That was the
9 annual review done in 2010. As you can see, in 2010
10 there was an increase again of the rig count.

11 Q. Ms. Denomy, can you explain what the
12 Energy Information Administration is, just for the
13 record?

14 A. It's the arm of the government that keeps
15 the statistics on rigs, how much gas is produced and
16 prices across the United States.

17 Q. That's the federal government?

18 A. It is the federal government.

19 Q. Thank you.

20 A. In addition to that, these are the
21 statistics for New Mexico for 2007, how many rigs
22 they had going, and then how many were in Colorado,
23 and you can see in 2009 both states dropped
24 significantly in the number of rigs that were
25 produced. 2010, they made a come-back again, and a

1 little bit more again in 2011. Actually, New Mexico
2 has made a greater come-back than Colorado has after
3 the Pit Rule hearing.

4 Q. Just again for the record, Ms. Denomy,
5 what exactly does rig count signify?

6 A. How many wells are being drilled. Then we
7 need to look at what were the prices during those
8 particular years. 2007 it was \$6.21. 2008 it was
9 \$10.79. And again, this is from the EIA or the
10 Energy Information Administration. In 2009, that
11 price dropped to \$3.45, and it did so for the
12 nation, not just for the state of New Mexico or the
13 state of Colorado. In 2010 it's come back a little
14 bit. 2011 it's dropped, and this morning's price
15 was \$2.62.

16 So when Representative Stickler said the
17 income has dropped, it's dropped between 2008 and
18 2009 a third in the price. Even if we had the same
19 volume, you would only get a third of the income.

20 Now, in New Mexico, the EIA states that in
21 2007 it was \$6.48. It's very similar to the
22 national average. Citygate is, at the point where
23 gas is sold at, let's say, Albuquerque to the
24 consumers. That's what EIA has published as their
25 prices being paid.

1 Now, moving on, New Mexico production each
2 year. New Mexico has the natural gas production as
3 of July of each year because I have the information
4 from 2011 through July. It has continued to go down
5 since the Pit Rule went into effect even though the
6 rig count has gone up.

7 Now, we are going to see in a couple
8 slides why that might not be the full picture.

9 Moving on, here is the oil are prices. If
10 you look at 2007 oil prices, 2008, 2008, 2009, 2010,
11 2011 and this morning it was at \$92.63 so we are
12 hovering around \$100 a barrel. Moving on, you can
13 see the oil production has increased. That is
14 common across the United States.

15 When I do accounting for gas companies or
16 mineral owners or government agencies across the
17 United States, everybody is focusing in on the oil,
18 and that's the reason why most people are looking
19 for jobs in North Dakota in the Bakken field. It is
20 an oil field. Gas prices, \$2.62. It is not
21 economic to drill a gas well. But oil or gas that
22 is high in natural gas liquid, the propanes, the
23 butanes that can be extracted are the areas that the
24 companies are focusing in on and not necessarily
25 looking at what are the rules and regulations in

1 that particular area, but they are heading to where
2 they can make the best dollar.

3 Us accountants would be the ones to tell
4 them that's where you drill. We hold our leases as
5 much as we can in the -- well, companies are allowed
6 to drill because they have leased the property,
7 whether it's with the federal government or with a
8 private individual. And leases only last for a
9 certain period of time unless a well is drilled and
10 then it lasts until the well stops producing.

11 So if you have a lease of, let's say, 600
12 acres with a particular individual and it says it
13 will expire in three years, if you drill one well it
14 will last until the well expires, which could be 30
15 years down the road. So you drill for what you need
16 to hold the lease and then you go to places where
17 you are actually going to make money. And money is
18 where is the price, where is the infrastructure.

19 Now, New Mexico is really good with
20 infrastructure. We have the pipelines, we have a
21 way of getting the gas out of the state of New
22 Mexico. But the prices for natural gas where most
23 of the drilling has happened in northern,
24 northwestern and in any of the shale potential
25 plays, that's natural gas that will be coming up.

1 No one wants to drill at the price of \$2.62. In
2 Colorado, my county that I live in, had 60 rigs in
3 it in 2009 at the beginning. It has 16 now. So
4 it's the same issue whether you are in Montana, in
5 Colorado, in New Mexico, in Oklahoma, because they
6 are primarily gas-producing states.

7 If you talk about Pennsylvania, you talk
8 about some of the areas in Texas, they are
9 oil-producing states and there is a great need to
10 get the oil out because that's where the price is.

11 This is just a statistics showing the New
12 Mexico wells spudded and spudded, everybody knows,
13 is the wells that are started. It went up again in
14 2010 regardless of the Pit Rule that was put into
15 place in 2008. You can see in 2009 it went down,
16 just like everything else across the nation did. In
17 2010 it went back up. Same with permits. They went
18 up again in 2010.

19 That's a little timing, but all of the
20 statistics that were shown on the first slides are
21 all on one page. I have put in red the year 2009
22 where everybody and everything and everywhere, the
23 prices, the permits, the rig count, the national
24 prices were all in the negative and it had nothing
25 to do with any other issue other than the economics

1 of the nation. Prices went down and there was no
2 place to sell the gas.

3 2010, things started to come back. Same
4 with 2011. It's the same statistics that were on
5 each of those individuals one. I tried to put them
6 on one to show you that everything in 2009 was
7 reduced that year.

8 Okay. This is also very small. Hopefully
9 you might have a paper copy in front of you there,
10 and I need to find mine because I can't see that
11 from here.

12 This is a small presentation where a
13 working interest owner, one of the companies that I
14 do work for, would come to me and say, "Look, tell
15 me if I'm going to make money on this well. Am I
16 going to make money on this well? Here are the
17 criteria. It's 7200 total depth and we need to see
18 is this a well that's going to make money even at
19 \$3."

20 Q. Excuse me, Ms. Denomy. Is this
21 information on this spreadsheet, is this based on
22 your actual experience?

23 A. This is based on my actual experience.

24 Q. Thank you.

25 A. And it's just a sample.

1 Q. Okay.

2 A. It is not all the wells being produced.

3 MR. FELDEWERT: Madam Chair, I have to --
4 I'm looking at this particular slide and there's a
5 number of figures and representations made. At this
6 point I don't think she has laid a foundation as to
7 where these numbers came from, unless I understood
8 you to be saying that -- can I question her about
9 this?

10 CHAIRPERSON BAILEY: No, not until she is
11 through with her direct testimony.

12 MR. FELDEWERT: I guess at this point I
13 object to this particular slide until a foundation
14 is laid as to where the numbers came from.

15 CHAIRPERSON BAILEY: Would you care to
16 respond?

17 THE WITNESS: I think in my explanation of
18 where the numbers came from I will probably answer
19 most of the questions if I'm given the opportunity
20 to describe how the numbers are -- where they were
21 derived from.

22 CHAIRPERSON BAILEY: That's fine.

23 A. Starting with -- well, I'm a person that
24 does a good number of mineral valuations. So it is
25 important for determining how much income can be

1 produced from a well to figure out what is the
2 volume that that well can be expected to be met. So
3 I will approach the party in the firm that does the
4 petroleum engineering and say -- or the geologist
5 and say, "What do you think in this area that the
6 volume will be?" And in this particular instance,
7 the estimate that was made by the petroleum engineer
8 was they believed there was a million MCFs that
9 could be estimated to be expected out of this well.
10 So that is where the first number of a volume came
11 from.

12 Now, on the price, it is something that,
13 looking at historically and looking at future prices
14 that the Energy Information Administration has
15 projected for the next 20 years, \$3 is a
16 conservative price to be put into there to say is
17 this going to make money or isn't it.

18 Q. Now, Ms. Denomy, could you explain that a
19 little bit more, the process of estimating the price
20 that you used to value this well? You say Energy
21 Information --

22 A. The Energy Information Administration in
23 April every year puts out what they believe is the
24 projected prices for the next number of years.

25 Q. Okay. Is this a typical practice for

1 petroleum?

2 A. It is a typical practice. They do that
3 every year. You know, it is projected to be in the
4 threes, \$3.40, \$3.70 as the years go on. So just to
5 make sure that -- you know, accountants are very
6 conservative so we wanted to go on the low end.
7 \$2.62 right now would be what is close to \$3. We
8 would hope that over the course of the life of the
9 well that we would at least achieve \$3. This is the
10 first draft to just see can we drill this well.

11 \$3 times a million MCF is three million
12 dollars. That's what we can expect. Now, talking
13 to the engineers and also looking at historic data
14 in that region where this well would be drilled,
15 about 5 percent of the MCFs produced are also
16 produced as condensate, as an extra add-on to that
17 particular well in that area. So the projection of
18 about 55,230 barrels, and it's based on the
19 percentage of oil production in 2011 in that region
20 for the number of wells that are producing, 55,000.

21 Now, I also use the Energy Information
22 Administration and also the Colorado Oil and Gas
23 Commission projections that show historic prices for
24 oil. It was running over \$100, but \$90 seems to be
25 a conservative amount. Multiplying the 55,000

1 barrels times \$90 gives you \$4,970,000. Adding the
2 two together you start with the income of the well.

3 Now, keep in mind, again, this is just to
4 see is this well going to be worth the time to have
5 somebody actually do the work to see if it's going
6 to make us how much money and what percentage income
7 we are going to get as a return on investment.

8 Total well costs. You go -- you know,
9 both of -- many of the working interest owners are
10 engineers themselves, and often when I have to do
11 projections like this I will seek their guidance.
12 We saw a little earlier what they call an AFE. That
13 is a projected amount that the owner or departments,
14 if you have a little bit larger business,
15 departments will put their input in and say okay,
16 it's going to cost \$5,000 a day to drill, it's going
17 to cost this much to complete, this is how much,
18 this is how far things have to go with pipelines, so
19 we will project to you about a million seven that
20 this well is going to cost at 7200 feet.

21 Then my historic knowledge of going
22 through all of the monthly lease operating expenses,
23 how much is being expensed every month for the
24 pumper that comes to check the well site, the amount
25 of chemicals that are used to keep it from freezing,

1 any special equipment that goes on, repairs that are
2 done, the meters are checked, the calibration
3 average about \$1500 a month for this particular
4 company that is represented in this item.

5 \$1500 a month is pretty representative in
6 all the companies that I -- you know, they can have
7 months where it's \$800 a month. Overhead gets put
8 in there. Also other expenses that are unusual
9 sometimes, where they have to clean the roads out or
10 something along those lines with snow in the
11 wintertime.

12 On the average about \$1500 a month. So if
13 you did \$1500 a month and the \$1700 original cost,
14 the cost of producing the well is about \$2,200,000.

15 Q. Ms. Denomy in the cost column, would that
16 be where regulatory compliance with something like
17 the Pit Rule would be --

18 A. The Pit Rule would go here.

19 Q. Are those generally itemized?

20 A. They are itemized just like we saw with
21 Mr. Sauck's AFE earlier today. They are itemized on
22 what kind of items those are.

23 Q. Okay.

24 A. Subtracting one from the other, the net
25 expected per well is \$5,700,000.

1 Now, that's just the basic. You have to
2 get the gas from the well site to someplace where
3 people are going to buy it. In order to do that you
4 have to pay gathering fees, processing. You have to
5 pay a marketing fee. Roughly in this particular
6 company it is about 25 percent of the income is
7 being spent on gathering, processing and
8 transportation to get it to market. That leaves the
9 net income expected per well of about \$4,200,000.
10 Now, that's the well's total expected. It will make
11 money.

12 So if that point is shown to the owner of
13 the oil and gas company, at that point he says,
14 "Okay, so tell me really how much of that is going
15 to be mine." Now, there is a process that needs to
16 be done and that is how much gas is going to be
17 produced this year, next year, the following year,
18 the following year, and then you have to bring all
19 of those expenses back to today's dollars by doing a
20 present value.

21 In addition to that, the \$4,200,000 may
22 have some what they call burdens. They always do,
23 because they are the lease royalty owners that have
24 to be paid. They could be anywhere from 12 1/2
25 percent to 25 percent, so in that \$4,200,000 you

1 will not, as the working interest owner, necessarily
2 get all of that money for you.

3 So you need to subtract the burdens, the
4 other people that you have to pay out of that well,
5 and then you have to calculate -- then you start
6 looking at things like okay, where is the well
7 located? Is it located in the state of Texas, the
8 state of New Mexico, the state of Colorado? Because
9 every state has a different tax schedule for their
10 production taxes. For example, in New Mexico it's
11 3.75 percent for severance tax. In Colorado it's a
12 graduated scale of up to 5 but then they get a
13 credit for ad valorem, so it's about 1.7 by the time
14 you are done taking your deductions. Texas has
15 incentives.

16 So where the well is located? You start
17 looking at things like what are the additional costs
18 that have to be paid? Are there costs for local
19 communities? Because that happens in some
20 locations, too, where the communities require a pad
21 expense or something along those lines. So after
22 you determined your burdens, you also have done your
23 present value bringing it back to today's numbers,
24 you look at what the decline rate is at the first
25 couple months of the wells that are located in the

1 area. You end up with a number, and then you look
2 at is that number acceptable to invest in that well.

3 For instance, if we took this one and as
4 an example said well, let's say we have 20 percent
5 we have to pay out for royalty owners. That would
6 bring the 4.2 million or thereabouts down to about
7 3.3 million. Just to be conservative, make sure we
8 have the taxes, conservation taxes, severance taxes
9 included, we subtract 15 percent for taxes on the
10 4.2 million, and then you end up with a net of about
11 2.8. Then you have to take that back in the present
12 value.

13 Now, I have not done a present value table
14 because it is time-consuming. I have to look at the
15 decline rates. But I have looked at the several
16 hundred mineral valuations I have done, and on the
17 average over a 30-year period, which most wells
18 produce that long, about 55 percent at the 10
19 percent present value rate, which is the same that
20 Duff & Phelps use in Texas or Walt Pearson, the
21 small engineer, uses in the state of Colorado.

22 So 10 percent present value brings it down
23 to about 55 percent of that amount. So this owner
24 can expect, out of spending 2.2 million, about 1.57
25 million over and above his expenses, and that's

1 basically what this is about.

2 You know, if you look at it, it's done to
3 show that yes, there is income coming. I added the
4 bottom line showing if we have this many wells
5 producing and everybody had this much coming in and
6 Representative Stickler said it was more like 5.4
7 billion in one year and 5.6 billion, so in New
8 Mexico it's probably not quite as high as this and
9 it will be a lot less this year because the prices
10 are so low. So it's just a sample, and there's a
11 lot more work that needs to be done after that 4.2
12 million is prepared.

13 Q. Now, generally this is sort of an initial
14 estimate, right?

15 A. Yeah. Are we going to make money at \$3,
16 and most owners that own small businesses, that's
17 how exactly they say it.

18 Q. Over time, have the projections you have
19 done like this been pretty accurate?

20 A. Yes. A lot of the mineral valuations that
21 I have done for future production I have had phone
22 calls from people going, "How did you know I was
23 going to make that much this year?" Because you do
24 it and then show them what they are going to make in
25 2009, 2010, 2011, 2012. Yes, and it is a science

1 that you plug in numbers based on the area, the
2 decline, and what you can put your hands on on price
3 predictions. That's about all you can do. It is a
4 guess.

5 Okay. Moving on, looking at just some of
6 the other states that have looked at closed-loop
7 systems, and I need to tell you in the state of
8 Colorado most of our operators are now using
9 closed-loop systems. As a little anecdote, a week
10 ago I was sitting across the table from a
11 representative from a small -- well, they are not
12 very small. It's Antero Resources, and his
13 statement to me was, "We always go pitless and we
14 always use a closed-loop system and we are doing it
15 in anticipation of the EPA requiring it in 2015."

16 MR. FELDEWERT: Madam Chair, I'm going to
17 object at this point. She is testifying about some
18 conversation she had with some individual at some
19 unknown point in time. That individual is not here
20 so it's hearsay. We are about to reference the
21 slide that has no foundation. I don't know where
22 this came from. I don't know what document it comes
23 from or what time frame. So I think we are getting
24 into an area of hearsay without any foundation.

25 CHAIRPERSON BAILEY: For part of your

1 objection, I think you will have the opportunity to
2 cross-examine at the appropriate time. For the
3 other part of your objection, could I hear more?

4 MR. JANTZ: Which part of the objection
5 would you like to hear argument about, Madam Chair?

6 CHAIRPERSON BAILEY: Without foundation.

7 MR. JANTZ: Without foundation.

8 Q. Ms. Denomy, can you explain where this
9 information came from on this slide?

10 A. This came from the presentation that the
11 Oil & Gas Accountability Project presented about the
12 Texas oil and gas findings on the closed-loop
13 system.

14 Q. And do you know the source for their
15 quote?

16 A. I don't remember.

17 Q. Okay. Would you be willing to find out
18 and supply that to the Commission?

19 A. I certainly will.

20 MR. JANTZ: If that's acceptable, Madam
21 Chair, we can do that.

22 CHAIRPERSON BAILEY: That's acceptable.

23 Q. In terms of the conversation you had,
24 would you like to hear arguments on that as well?

25 CHAIRPERSON BAILEY: Please.

1 MR. JANTZ: First of all, hearsay is an
2 evidentiary objection. Rules of evidence don't
3 apply in this hearing. It's an informal rule
4 hearing. The only consideration is the
5 consideration of relevance. The Commission can put
6 whatever weight it wants on the veracity of the
7 statement from Ms. Denomy.

8 Q. However, Ms. Denomy, if you feel so
9 inclined, please enlighten us.

10 A. It was done at a public meeting.

11 MR. FELDEWERT: Madam chair, may I
12 interject here? First off, she can say this is from
13 some API document. She doesn't know the source
14 where -- what was it? OGAP document. She doesn't
15 know the source of where the information came from
16 other than OGAP. We don't know when the statement
17 was made or made by whom, so I have a real problem
18 if they intend to admit this particular slide as
19 some kind of substantive evidence, number one.

20 Number two, to have a witness in any form
21 sit on the stand and say, "Well, I had conversations
22 with Joe and I had conversations with Jim and they
23 are telling me this," I mean, first of all, the
24 evidentiary value of that is slim to none, I would
25 submit. Secondly, we have no opportunity to

1 determine the veracity of what she is saying. So I
2 would object to any testimony premised upon some
3 conversation Ms. Denomy had with some individual at
4 some point in time. There's no possible way for us
5 to know about that, number one, or cross-examine her
6 on that. Particularly with respect to this
7 document, I can't cross-examine on it. I don't know
8 where it came from.

9 CHAIRPERSON BAILEY: Is there other
10 discussion?

11 MR. SMITH: I think the offer was made to
12 identify where this came from and get more
13 information at a later time. Pending that, I think
14 you can let her talk about this, but she is going to
15 have to come up with the source of it later on.
16 With respect to the hearsay, it is a rule-making. I
17 would let it in and you can ignore it if you want to
18 but I don't think you need to rule it out.

19 CHAIRPERSON BAILEY: With the
20 understanding that we will have further information
21 on the source of the document, then the objection is
22 overruled.

23 MR. JANTZ: Thank you, Madam Chair.

24 A. Okay.

25 Q. Closed-loop systems in Colorado?

1 A. Closed-loop systems in Colorado. I sit on
2 a committee in my local community, to give you a
3 little background, where that discussion happened,
4 at a public meeting where as a member of the oil and
5 gas committee for my community the party that was
6 representing Antero stated that fact. It is also
7 information that I have due to the fact that I am
8 the accountant for one of the working interest
9 owners that is in a joint agreement with several
10 other operators. That is a practice that is paid
11 for and used consistently by Noble Energy as one of
12 them and so I know that for a fact because we pay
13 the bills to that company.

14 The Minutes of the oil and gas committee
15 meeting are probably available if I can have an
16 opportunity to talk to the chair of that committee.
17 So if those have to be provided, I probably could
18 get them for you.

19 Q. Let's turn to Slide 13.

20 A. This one was from the Oklahoma Department
21 of Environmental Quality findings.

22 MR. FELDEWERT: For the record, I have the
23 same objection to this one. We will not have an
24 opportunity to verify the veracity of the statement
25 or cross-examine the witness so we would object to

1 its introduction.

2 MR. JANTZ: It's clearly from the Oklahoma
3 Department of Environmental Quality.

4 Q. Can you say when, Ms. Denomy?

5 A. I don't remember the date. I don't
6 remember the date.

7 MR. FELDEWERT: Do we know what time
8 frame?

9 THE WITNESS: I believe it was -- I don't
10 want to say until I get the source. I will have to
11 go back to my records and get the source.

12 MR. FELDEWERT: But at this point you have
13 no idea what the source is?

14 THE WITNESS: No, I don't remember.

15 CHAIRPERSON BAILEY: I believe that these
16 questions are better served as cross-examination
17 after she has completed her primary testimony. If
18 you would continue.

19 A. Okay. The Environmental Protection
20 Agency. I do have the source cited at the bottom of
21 that one, and this is from the Overview of Final
22 Amendments to Air Regulations for the Oil and Gas,
23 Natural Gas Industry Fact Sheet that was sent out on
24 April 17th, 2012 and this is the source of both this
25 slide and the next slide.

1 What I was trying to show with this
2 particular slide and the next one is that the
3 federal government has looked at whether or not
4 there are any cost savings made by requiring some
5 environmental protections. There are programs that
6 the Environmental Protection Agency looks at
7 capturing VOCs, the volatile organic compounds; that
8 they have done the study and found these are also
9 cost savings. So these are the facts that the
10 Environmental Protection Agency has used to come up
11 with their new rules that will be presented by 2015.

12 Okay. Now, looking at the next page, this
13 is a sample taken from various companies that I have
14 done the joint interest billing for. Some of them
15 use earthen pits. Some use central pits and some
16 use the closed-loop and these are the costs they
17 have incurred; for example, for drilling water,
18 completion water, trucking and the savings that they
19 have maintained in mud reuse.

20 Q. Excuse me, Ms. Denomy, the earthen pits,
21 are those lined or unlined?

22 A. Lined.

23 Q. Central pits?

24 A. That's the equivalent of our multi-well
25 FMPs here.

1 Q. Okay. So those are lined as well?

2 A. They are lined.

3 Q. Thank you.

4 A. And then the closed-loop is a closed-loop
5 system. The central pits have become a little more
6 expensive than just leaving the pit on-site. Now,
7 what these central pits are, are areas where a large
8 number of wells are being trucked to that
9 centralized pit. Virtually it's an area where it
10 would be called a waste pit. We have a lot of large
11 pits that are adjacent to well sites and the
12 production of wells now are running most of the time
13 about 20 to 25 wells are drilled in one location.
14 There are some locations up to 64 wells are being
15 drilled, but you need a pit that is very large in
16 order to accommodate all of the liquids that come
17 out of the actual well sites themselves.

18 So the centralized pits are not on
19 location, which is a little different than what
20 Mr. Arthur was trying to project yesterday, which is
21 more along the lines of a pit that is handling more
22 than one well.

23 Now, when I hear the term fluid management
24 pits, in Colorado and in other states those
25 centralized pits are used to separate the water from

1 oil from any of the chemicals that are used for
2 processing. So when you say management pits, that's
3 usually what I would use in my head to say that
4 that's a well that does that kind of separation.
5 Your normal pits that are alongside a oil and gas
6 well, they don't do that kind of separation. They
7 don't do it right there, so these are central pits
8 that are located usually pretty far from where the
9 drilling is because there's a lot of trucking and a
10 lot of water that needs to be moved to those pits.

11 Okay. What are we talking about if we
12 decide to change the rules and discontinue helping
13 promote the closed-loop? The closed-loop system
14 comes with tanks and equipment, and as an auditor
15 for county governments, I look at personal property
16 tax. And that's a tax that's being charged on those
17 tanks and equipment as well as the drilling
18 equipment. So if we change the rules to encourage
19 less use of the closed-loop system, we are also
20 encouraging less taxes to be paid on the equipment
21 that goes along with the closed-loop system and then
22 changing it to the fact that we are going to change
23 it to centralized pits instead of the closed-loop
24 system so we won't get any personal property taxes
25 from the closed-loop equipment.

1 I think it was alluded to a little bit
2 this morning during the public comment that jobs are
3 going to be lost. I would like to suggest -- and
4 one of the companies that I have done some
5 accounting work for has been pushing natural gas
6 vehicles, and that would be one of the suggestions
7 that that company and a lot of the think tank
8 colleges in the state of Texas would like to say.
9 If we use natural gas in our trucks, it would
10 eliminate the pollution situation. It would also
11 provide a source of use for the natural gas, which
12 should hopefully bring that \$2.62 up.

13 But if we discontinue using drivers, water
14 haulers, you are going to have a lot more jobs lost
15 in the state of New Mexico than what has happened
16 because of the economy.

17 The next slide says "Earthen pits create
18 waste." And just to make sure you understand what
19 I'm talking about, I do have a jar of pit water here
20 and it contains hydrocarbons. Those fluid
21 management pits extract the hydrocarbons from it.
22 They sell those hydrocarbons and there is money that
23 is made from this water. A lot of the wells that
24 are on the west end of the state of Colorado drive
25 their pit water to Utah and Utah has got a plant

1 that extracts the hydrocarbons and they actually
2 make more money from the hydrocarbons that they
3 extract from the pit water than they do from
4 charging the drivers .60 a gallon. So digging the
5 oil back into the ground is a waste. It is a waste.
6 You know, 1,000 barrels of condensate wasted at \$90
7 is \$90,000.

8 Q. Is it my understanding that the
9 closed-loop systems are better at recovering that
10 fluid?

11 A. It stays in the closed-loop and is taken
12 to a processing plant and that is extracted and then
13 sold. At \$90 a barrel, this little jar is worth
14 about \$10.

15 The cost of cleanup of earthen pits. This
16 example, I have the privilege of doing taxes for the
17 truckers. Most truckers are self-employed. They
18 don't necessarily work for the company; they have
19 their own private company. So their average rate is
20 \$100 per hour. And this particular situation
21 happened in Piceance Basin where the oil and gas
22 commission made the suggestion that they needed to
23 clean up that pit and remove the soils and take it
24 to a place where it can be -- actually Utah -- that
25 would accept it.

1 So the drivers were getting \$100 per hour
2 to clean out this pit that had managed to hold 64
3 wells worth of stuff, and it took about 1,000 hours.
4 There were trucks lined up -- because it's an
5 eight-hour drive back and forth, so it really did
6 cost about \$100,000 to clean up this one particular
7 pit. This cost would be diverted to the citizens
8 and the government of New Mexico in the future. If
9 we don't do it now, it needs to be done at some
10 point, so it's either now or in the future.

11 Q. Now, Ms. Denomy, in this instance did the
12 company not pay for it?

13 A. The company did pay for it. They did pay
14 the \$100 per hour for all the trucking cost moving
15 it. But if they had just dug it up and walked away,
16 somebody has to pay that cost at some point.

17 Q. Okay.

18 A. And just a reminder, and I know it's been
19 alluded to a little bit here. BP had a spill of
20 five million barrels.

21 MR. FELDEWERT: Madam Chair, I'm going to
22 object to the line of testimony and the slide. What
23 happened in the gulf has absolutely nothing to do
24 with what you are considering here today. She has,
25 again, no foundation for these numbers. We

1 shouldn't go into what happened in the gulf.

2 CHAIRPERSON BAILEY: Would you like to
3 share some relevancy?

4 MR. JANTZ: I believe this is just to
5 demonstrate the potential cost of cleanup. It's an
6 analogy and that's clear, and it may be an imperfect
7 analogy and certainly the Commission can take that
8 for what it's worth.

9 MR. FELDEWERT: This witness has no
10 background to testify about the cost of cleanup in
11 the gulf or what was involved.

12 MR. JANTZ: Based on public information?

13 THE WITNESS: Based on public information.

14 MR. FELDEWERT: There's no citation to any
15 public information.

16 CHAIRPERSON BAILEY: We will sustain that
17 objection.

18 Q. Very well. Let's take the next slide,
19 Ms. Denomy.

20 A. The relevance of the next slide is based
21 on what that particular cost was.

22 MR. FELDEWERT: I would object to this as
23 well.

24 A. So I think the relevance is probably not
25 an accurate thing to put into the testimony.

1 Q. Okay.

2 A. But I will say that the \$100 per hour of
3 cleanup is probably an appropriate amount to look
4 at. If we had 500,000 gallons --

5 CHAIRPERSON BAILEY: Is there an objection
6 to this?

7 MR. JANTZ: This was to the prior slide.

8 CHAIRPERSON BAILEY: Which we have
9 disallowed.

10 MR. JANTZ: No, the one prior to that,
11 Madam Chair.

12 MR. FELDEWERT: Can you bring it up?

13 MR. JANTZ: Sure. The one of the cost of
14 cleanup of earthen pits?

15 THE WITNESS: Yes, it's up.

16 A. So if we would apply that to cleanups that
17 happen for spills and we had a hypothetical amount
18 of 500,000 gallons that would be disbursed. Now,
19 keep in mind, most wells use about a million gallons
20 to drill and complete, so if we had 990 wells that
21 were spudded in -- I think it was back -- can we go
22 back to the beginning slides here? New Mexico spud
23 rate. 990 wells spudded in 2011 and that would mean
24 990 million gallons of water. If only 5 percent of
25 that at 500,000 happened to spill, we would probably

1 expect to spend about \$30 per gallon in cleanup and
2 somebody has to pay that. So it's either, you know,
3 us or, you know, the government or the landowner
4 that it happened.

5 That will conclude my slides, but I would
6 like to make a little summary of what companies do
7 when they look at trying to drill a well. They look
8 for certainty. They look for what are the rules and
9 regulations in this particular place and this
10 particular place, and what is the ease of
11 accommodating those rules. Because they all cost
12 money and I'm the kind of person that's behind them
13 saying this costs this and this costs this and this
14 is what it's going to cost you.

15 Once a company is comfortable with what a
16 particular rule is, they become accustomed to doing
17 it that way. When you start to take rules and make
18 them more complicated and say, "Okay, if the value
19 of this is this much, then you have to do this. And
20 if the value is this, you have to do this." I have
21 seen this many times with people trying to make sure
22 that they do the rules right. I also have seen it
23 on the government's side when I worked for the
24 counties when they have had to go look at
25 inspections for particular wells in their area, that

1 it is very hard to determine, and it costs more time
2 and time is money.

3 So having more of a standardized rate of
4 how you do things and keeping that certainty costs
5 less money because it's done, it's produced and you
6 know what you need to do.

7 Compliance costs money. When things
8 become complicated, it costs more money to find the
9 compliance. And I think that's about all I have.

10 Q. So let me ask you a couple follow-up
11 questions. There's testimony earlier this week
12 about capital allocation. Companies have a fixed
13 capital budget and in order to allocate -- when
14 allocating that capital budget they have to spend a
15 certain amount on environmental compliance, and I
16 believe the testimony was as the cost of
17 environmental compliance rises on behalf of the Pit
18 Rule allegedly, that capital allocation doesn't go
19 to drilling new wells. Do you have a comment about
20 that?

21 A. Well, normally a company will say at the
22 beginning of the year either they have the financing
23 or they have the cash flow that they can start to
24 drill wells. So they will say, "In 2013 we are
25 going to spend ten million dollars on new well

1 drilling. Now, here are where our leases are
2 located. We have leases in Wyoming and New Mexico,
3 we have some in North Dakota." Then they will say,
4 "Okay, but we have leases that are going to expire
5 within a certain period of time." So they need to
6 cover those leases in that particular year first, so
7 they will look at that as the first criteria that
8 they go to use their money for capital expenditures.

9 Now, not having any leases that will
10 expire, they will then look at where am I going to
11 make the most money, which that includes cost as
12 well. But if you look at wells that are drilled in
13 the state of New Mexico, you can drill wells. Our
14 gentleman this morning had a cost of \$224,000 on his
15 well. Or you can go to the Bakken Field and spend
16 two-and-a-half to four-and-a-half million dollars on
17 one well. What is it going to produce?

18 So that decision is made usually on where
19 do you have your leases and then what can you spend.
20 Now, granted when there is more expense you can't
21 drill as many wells, but the expense you are looking
22 at is folded into your AFE just like it would be in
23 Oklahoma if they were drilling at 15,000 feet or in
24 the Bakken where they're drilling for oil wells or
25 in Wyoming when they have to do certain things on

1 higher mountains.

2 So it is not always the driving force to
3 say, "Well, we have to spend extra money on a
4 closed-loop system here."

5 Q. Has it been your experience with your
6 clients that the cost of compliance with the Pit
7 Rule is a driving force for New Mexico?

8 A. No.

9 Q. Just for the record, what is AFE?

10 A. Authorization for expenditure. It's the
11 budget.

12 Q. And you mentioned Mr. Sauck's calculation
13 of the cost for drilling that he presented to the
14 Commission earlier today.

15 A. Yes.

16 Q. Could you comment on that, please.

17 A. Well, I do see that it did cost him more
18 money in the reclamation expense between --

19 MS. FOSTER: I'm sorry, I object to this.
20 The witness, Mr. Sauck, was here earlier and
21 Mr. Jantz had the opportunity to cross-examine him
22 at that time. Now he doesn't have the opportunity
23 to respond to what Ms. Denomy is saying. So I think
24 it's inappropriate for them to try and look at that
25 letter that was put in when Mr. Jantz had the full

1 opportunity to question the witness at the time.

2 MR. JANTZ: Mr. Sauck placed that
3 information into the record. Ms. Denomy should be
4 able to evaluate it.

5 MR. SMITH: That's right. They can cross
6 on it.

7 CHAIRPERSON BAILEY: Objection overruled.

8 A. I'm just looking at the numbers that he
9 presented.

10 Q. Sure.

11 A. He had two wells that he said one was done
12 prior to the Pit Rule and the second after. And you
13 can see on the first page of his letter that the
14 reclamation cost that he had was zero in Federal 15
15 No. 1.

16 Q. I'm sorry, zero for reclamation cost?

17 A. That's what the document says.

18 Q. Is that typical in your experience for
19 reclamation costs?

20 A. No.

21 Q. Okay.

22 A. And then the well that was drilled after
23 the Pit Rule was in effect, which was in 2010, was
24 \$76,979.85. So I went upstairs and I look at how
25 much production was produced from the well from the

1 day it started, which was May of 2010. So it was
2 producing for --

3 Q. I'm sorry, when you say you went upstairs?

4 A. Here.

5 Q. You went to the --

6 A. To the OCD where they have the production
7 records available.

8 Q. Okay.

9 A. So I went and looked at State Com 32 No.
10 2, the well that was drilled in 2010. In the year
11 2010 the well started producing in May of 2010. It
12 produced 15,617 MCFs of gas. In 2011 it was 25,000
13 and then for the first two months of 2012 it was
14 1600.

15 At the rates that the EIA has posted for
16 New Mexico, I just did a rough estimate at \$4 for
17 2010 of 15,617; \$4.50 for 2011 and \$2.62 for the
18 first two months of 2012. The well has recouped
19 \$194,674 roughly. It cost him \$224,000. The
20 criteria that most companies look at is will a well
21 pay itself out within three years. This will will
22 pay itself out in three years. It would have paid
23 itself out at 133,000 in the second year, so the
24 additional costs are just putting this well into the
25 norm for everybody else.

1 Q. So what may have been an exceptional well
2 is now a typical well?

3 A. Yes.

4 Q. All right. I think that's it for this
5 witness.

6 CHAIRPERSON BAILEY: Mr. Feldewert?

7 CROSS-EXAMINATION

8 BY MR. FELDEWERT

9 Q. Yes, I have a couple questions about the
10 slides. Could we go to the earthen pits create
11 waste slide? Now, Ms. Denomy, the volume of
12 condensate that you have here, where did that come
13 from?

14 A. It's just an example.

15 Q. You pulled it out of the air?

16 A. Just an example.

17 Q. Are you aware of what companies in New
18 Mexico are doing with their cuttings from the
19 closed-loop system?

20 A. They are taking it to a facility to be
21 taken care of.

22 Q. What type of facility?

23 A. I don't know.

24 Q. You don't know?

25 A. I don't know.

1 Q. As far as you know they could be taking it
2 to a land farm?

3 A. They could.

4 Q. Which means no oil would be recovered
5 then, correct?

6 A. Their cuttings are not the liquids. This
7 is the liquids. The cuttings are not liquids.

8 Q. Agreed, but in terms of companies that are
9 using closed-loop systems, they could be taking
10 their waste almost anywhere, correct? For disposal?

11 A. They could be.

12 Q. But there's no basis for this particular
13 number that you have on this slide of 1,000 barrels?

14 A. Just a value.

15 Q. So it's just a numerical calculation?

16 A. That's right.

17 Q. If we go backwards, are you aware of the
18 obligations of this Commission with respect to their
19 statutory duties to prevent waste, protect
20 correlative rights and provide for reasonable
21 protection of groundwater and public health and
22 environment?

23 A. Yes.

24 Q. Part of the enumerated duties is not to
25 ensure that there's any increase or decrease of

1 property taxes, is it?

2 A. That is correct.

3 Q. So that has no relevancy to their
4 determination from a legal respect?

5 A. Correct.

6 Q. And did you do any kind of a job study
7 when you say that there's going to be lost jobs
8 associated with the NMOGA's proposed amendments?

9 A. No.

10 Q. So there's no foundation for these
11 statements made in this particular slide?

12 A. There is validation from my experience but
13 not using the NMOGA's changes to the rules.

14 Q. Okay. Now, going to the next slide, the
15 previous slide, now, I think you testified that this
16 was sample numbers that you pulled from various
17 companies?

18 A. Yes.

19 Q. Is that right?

20 A. Yes.

21 Q. Okay. Can you tell me what companies were
22 involved here in pulling this data?

23 A. I cannot.

24 Q. Can you tell me --

25 A. It is confidential.

1 Q. It is confidential?

2 A. That is right.

3 Q. Which means you can't tell me which
4 company it came from and you can't tell me what time
5 frame was involved?

6 A. That is correct.

7 Q. So you don't have any backup documents
8 here today to support any of the numbers that are
9 shown in this particular slide?

10 A. I cannot disclose them.

11 Q. Can we go back to the Excel spreadsheet.
12 Average well income cost for a well at 7200 TD.
13 Now, you mentioned, I believe, Ms. Denomy, this data
14 came from some client?

15 A. Yes.

16 Q. Can you identify the client for us?

17 A. No, I cannot.

18 Q. You cannot?

19 A. I cannot.

20 Q. Did you have authorization from the client
21 to use the data here today?

22 A. Yes, I did.

23 Q. But you cannot tell us who the client is?

24 A. That is right.

25 Q. So we have no way of ascertaining and

1 verifying the source of the information?

2 A. That is correct, other than my experience.

3 Q. With respect to any of the numbers on
4 here, is this just a sample well?

5 A. Yes.

6 Q. Are these costs associated with an actual
7 AFE?

8 A. No.

9 Q. So this is a hypothetical circumstance
10 that's not based on any particular -- any actual
11 situation that you have encountered?

12 A. That's correct.

13 Q. Now, have you looked at NMOGA's proposed
14 modifications to the Pit Rule?

15 A. To some degree.

16 Q. What degree?

17 A. Very minimal.

18 Q. Very minimal?

19 A. Yes.

20 Q. Would it be fair to say then that you
21 don't have a real good understanding of what NMOGA
22 is proposing with respect to its particular
23 amendments?

24 A. That is correct.

25 Q. You are aware, are you not, that NMOGA is

1 proposing to add to the permitting process
2 multi-well fluid management pits?

3 A. Yes.

4 Q. Which you have seen in Colorado?

5 A. Yes.

6 Q. And indeed, it's one of the pits that you
7 have seen utilized by your clients?

8 A. Yes.

9 Q. To their benefit, correct?

10 A. Yes.

11 Q. And those types of pits do allow the
12 recycling of produced water?

13 A. Allow the recycling?

14 Q. Provide the opportunity?

15 A. Yes, but they are also permitted
16 separately in the state of Colorado from regular.

17 Q. Are you aware of the NMOGA provisions of
18 providing for that within this rule?

19 A. I am aware that they are using the same
20 rules covering their FMPs as they are the regular
21 pits.

22 Q. My question is are you aware it would be
23 subject to its own separate permitting process?

24 MR. JANTZ: Objection. She answered to
25 the best of her knowledge.

1 Q. So you don't know?

2 A. I do not know.

3 Q. So then you are not here today to address
4 any specific rule change that has been proposed by
5 NMOGA?

6 A. That is correct.

7 Q. And what we have here then, as I
8 understand it, is just a hypothetical situation that
9 you have presented to us for what purpose?

10 A. For what purpose?

11 Q. Yes.

12 A. To show the economics of a well.

13 Q. Of any hypothetical well?

14 A. Yes.

15 Q. Are you you aware Ms. Denomy that the
16 lifetime production for a well that you have on your
17 sheet of 25 to 30 years, would you expect that
18 lifetime to apply to a well in the Permian Basin or
19 do you know?

20 A. I can't, off the top of my head, tell you
21 yes or no.

22 Q. Is that a lifetime number that we can
23 apply across the state of New Mexico?

24 A. On the average, yes.

25 Q. On the average?

1 A. Yes.

2 Q. Based on what?

3 A. Based on the wells that I have worked on,
4 both in Union county and in San Juan County and Rio
5 Arriba County.

6 Q. What well did you work on in Union County?

7 A. I have clients that are in Clayton and
8 Mescalero.

9 Q. Are they producing oil and gas?

10 A. Yes.

11 Q. They are? In Union County?

12 A. Yes.

13 Q. It's not carbon dioxide?

14 A. It is carbon dioxide.

15 Q. And you are saying that those wells have a
16 life of 25 to 30 years?

17 A. Yes.

18 Q. Now, with respect to your million cubic
19 feet number here, that's not typical for a basin
20 Fruitland coal well, is it?

21 A. I cannot tell you.

22 Q. Did you testify at the last Pit Rule
23 hearing?

24 A. I did.

25 Q. Do you recall testifying at that time that

1 a million cubic feet number that you have here,
2 which was the same number you had at that time, is
3 not typical for a basin Fruitland coal well?

4 A. I may have. That was five years ago.

5 Q. Would it assist you if you looked at the
6 transcript and that testimony?

7 A. If you say I didn't, I said it wasn't a
8 Fruitland coal -- I mean, I don't know.

9 Q. My question is would it assist you in
10 recalling if you looked at the transcript and your
11 testimony?

12 A. Possibly.

13 MR. FELDEWERT: May I approach the
14 witness?

15 CHAIRPERSON BAILEY: Yes.

16 Q. Would you please turn to Page 1513 of this
17 transcript?

18 A. Top or bottom number?

19 Q. Are you there? Would you read Lines 1
20 through 7?

21 A. I think I have answered the same way today
22 as I did then. I said I do not know.

23 Q. Would you read Line 4.

24 A. "It is not."

25 Q. Okay. So at least at that time you

1 testified a million cubic feet would not be typical
2 for basin Fruitland coal well, correct?

3 A. Correct.

4 Q. You said, I think the one you testified to
5 now, that it's not typical for a deep morrow well in
6 southwestern New Mexico. You don't know one way or
7 the other?

8 A. That's correct.

9 Q. Now, the total well cost that you also
10 have in your hypothetical spreadsheet would not be
11 applicable to any shallower or deeper well; is that
12 correct?

13 A. That's correct.

14 Q. This is, as you said, 7200 TD?

15 A. That's correct.

16 Q. Would you agree with me that the drilling
17 and completion cost can vary depending on the region
18 that you are in?

19 A. That's correct.

20 Q. And the depth?

21 A. Yes.

22 Q. The type of formation involved?

23 A. Yes.

24 Q. And that you would have different water
25 disposal issues depending on what type of well you

1 work?

2 A. Whether it's coal bed or deep well, yes.

3 Q. Did your spreadsheet here take into
4 account any disposal cost?

5 A. Yes.

6 Q. Where would that number be?

7 A. It would be in th \$1500 per month.

8 Q. \$1500 per month --

9 A. That's produced water. The 1,700,000
10 includes the disposal of water that's the drilling
11 water.

12 Q. Okay. And of that amount, can you tell us
13 what was associated with your hypothetical disposal
14 cost?

15 A. Not off the top of my head. I would have
16 to look at it.

17 Q. Can you tell us what amount was associated
18 with your hypothetical cost of disposal of the drill
19 cuttings?

20 A. Not off the top of my head. I would have
21 to look at my documents.

22 Q. Does total well include any other
23 permitting costs that the companies incur?

24 A. Yes.

25 Q. Can you give us an amount associated with

1 the permitting cost?

2 A. \$5,000.

3 Q. Of your 1,700,000?

4 A. Yes, which includes the drilling title
5 opinion.

6 Q. Where does that number come from?

7 A. The owner of the company, and that was
8 typical of what they have to pay.

9 Q. And you can't tell us what company it is?

10 A. That's correct.

11 Q. This typical well scenario that you
12 presented here, this is not a well in New Mexico, is
13 it?

14 A. That is correct.

15 Q. This is a well in Colorado?

16 A. It is.

17 Q. Can you tell us what formation?

18 A. Williams Fork.

19 Q. As an accountant, I think you testified
20 that you look at the money, correct?

21 A. That is correct.

22 Q. And what you look at is where it's
23 cheapest to perhaps drill?

24 A. That's usually not my decision to
25 determine where to drill.

1 Q. But it's a fact that you look at it in
2 terms of cost. When you are recommending a decision
3 to a client you look at what is the cheapest
4 location to drill a well, do you not?

5 A. Again, I have to go back to where do they
6 have the right to drill first.

7 Q. You look at the cheapest location where
8 they have a right to drill?

9 A. Normally that's not always the issue.

10 Q. Okay.

11 A. It's where is there infrastructure, where
12 do I have availability for marketing, where do I
13 have gas lines that I have access to, the ability to
14 move the gas to market. It is not based on where is
15 it the cheapest.

16 Q. Do you look at the rate of return?

17 A. I do look at the rate of return.

18 Q. What do you normally recommend as a rate
19 of return to your clients?

20 A. Well, using the present value of 10
21 percent.

22 Q. So using the present value you recommend a
23 rate of return of 10 percent?

24 A. Yes.

25 Q. That takes into account the risk of

1 drilling, right?

2 A. Yes. Most of my clients are drilling in
3 an area that they are not wild catting.

4 Q. You gave us some historical statistics.

5 A. Uh-huh.

6 Q. And you provided a quote from what you
7 represent to be the Texas Railroad Commission and a
8 quote from what you represent to be the Oklahoma
9 Department of Environment, correct?

10 A. Yes.

11 Q. Is there a reason why you didn't include
12 information about wells in Texas and Oklahoma in
13 your historic stats?

14 A. I did not expand it to Texas and Oklahoma
15 for any particular reason.

16 Q. And you testified that -- I think you said
17 your clients have not seen the current New Mexico
18 Pit Rule as any kind of an impediment.

19 A. They have not voiced that to me at all.

20 Q. They haven't voiced it to you?

21 A. Correct.

22 Q. Have you asked them?

23 A. No.

24 Q. You didn't ask them before coming to the
25 hearing?

1 A. No, I did not.

2 Q. How many clients do you have that operate
3 in New Mexico?

4 A. One.

5 Q. Who is that?

6 A. Grynberg Petroleum.

7 Q. I'm sorry, you testified to that. So when
8 you say your clients haven't voiced it to you, you
9 are really just talking about one?

10 A. That's correct.

11 Q. But you haven't checked with Grynberg
12 Petroleum to find out what their position is with
13 respect to the New Mexico Pit Rule and what effect,
14 if any, it's having on their decision-making on
15 where to drill?

16 A. No, I have not. They are a working
17 interest owner so they don't really get much say.

18 MR. FELDEWERT: That's all the questions I
19 have.

20 CHAIRPERSON BAILEY: Ms. Foster?

21 CROSS-EXAMINATION

22 BY MS. FOSTER

23 Q. Good morning, Ms. Denomy.

24 A. Good afternoon.

25 Q. Yes, it's been a long day. My name is

1 Karin Foster. I am the attorney and executive
2 director for the Independent Petroleum Association.

3 A. Yep.

4 Q. So let's get started here. Getting back
5 to -- is it Grynberg Petroleum?

6 A. Grynberg.

7 Q. You said they are only a working interest
8 owner?

9 A. That's right.

10 Q. As a working interest owner, they don't
11 make decisions on where to drill, they just have to
12 go along?

13 A. That's correct.

14 Q. So they would have no opinion on increased
15 regulatory cost?

16 A. They really don't have a stake in it. I
17 haven't asked them.

18 Q. And you mentioned that you worked for a
19 company that has drilled wells in Rio Arriba County?

20 A. No, I didn't say that. I said I have
21 clients in Rio Arriba County, which those are
22 mineral owners, not working interest owners.

23 Q. Thank you for the clarification. Looking
24 at your slide which is entitled New Mexico and
25 Colorado Rig Count, you noted that the rig count in

1 New Mexico is up 17 percent in 2011; is that
2 correct?

3 A. That is correct.

4 Q. Now, I think you even said on your direct
5 testimony that New Mexico had stronger rebound than
6 even Colorado?

7 A. Yes.

8 Q. Now, that New Mexico number, is that for
9 the entire state of New Mexico?

10 A. That is for the entire state of New
11 Mexico.

12 Q. And comparing it to Colorado, what is the
13 primary fossil fuel that is drilled for in Colorado?

14 A. When? We have a Niobrara field of oil
15 that's being produced in Weld County right now, so
16 right now the push is for oil.

17 Q. I understand the push is for oil but would
18 you say that Colorado is mostly a natural
19 gas-producing state?

20 A. With the exception of the Rangely field
21 for the most part it is a natural gas-producing
22 state.

23 Q. So this rig count as of 2011, 81 is the
24 San Juan and the Permian?

25 A. It is for the state of New Mexico.

1 Q. Do you know how many rigs are running in
2 the Permian Basin in 2011?

3 A. I don't have that statistics.

4 Q. How about the San Juan Basin?

5 A. I don't have that statistics.

6 Q. Now, looking at your next slide, the
7 natural -- let's go to the New Mexico Citygate
8 natural gas price. Explain to me what you mean by
9 Citygate again. I'm not familiar with the term.

10 A. It is the place where gas is bought.

11 Q. By whom?

12 A. Usually a city or one of the -- it is the
13 Citygate -- it's the place where gas has to be
14 reduced in pressure to be taken to consumers.

15 Q. So you are saying consumers. Would that
16 be like a large utility?

17 A. It could be a large utility but it could
18 also be residences.

19 Q. But don't residences they usually purchase
20 through a utility like the New Mexico Gas Company?

21 A. They do.

22 Q. And the New Mexico general fund, as you
23 know, is heavily reliant on fossil fuels. Are you
24 aware of that?

25 A. That is correct.

1 Q. And the numbers that the New Mexico
2 Legislative Finance Committee uses, are those the
3 Citygate numbers?

4 A. No, they use the numbers reported by the
5 companies as their actual income less the expenses
6 that are allowed.

7 Q. Would they not base it on the San Juan
8 Blanco price?

9 A. They would base it on -- no. The oil and
10 gas companies must report every year their own
11 personal income and pay tax on it.

12 Q. But the Legislative Finance Committee does
13 not go out to individual operators and get numbers.

14 A. Well, they get the numbers from the
15 severance tax department.

16 Q. So you are saying they don't use the San
17 Juan Blanco numbers?

18 A. They shouldn't be basing their financing
19 on the San Juan numbers. They should be basing it
20 on actual numbers. Because this figure says \$3.04
21 in 2009. There may be some companies that are small
22 and don't have the ability to sell it at \$3.04, and
23 there may be other companies that are able to sell
24 it for for \$4 because they have long-term contracts.
25 So if the State of New Mexico is basing it on an

1 index price or a Citygate price and doing their
2 budget based on that, they are not really looking at
3 how much money is actually made by the oil and gas
4 companies here in the state of New Mexico. Every
5 company has a different contract. This is just an
6 average. This is an index price. That's the
7 average of everybody.

8 Q. I will get back to that in a minute. All
9 right. Are you aware of what the Blanco price is
10 today for natural gas?

11 A. I did not look up the Blanco price today.
12 I have a national price at \$2.62. I do not have the
13 Blanco price as of today. I would have to look it
14 up and I can probably do that in about five minutes.

15 Q. Would it surprise you it was around \$2.20?

16 A. No, because the 2.62 is a Henry Hub price.

17 Q. As an accountant, you do keep track of the
18 index prices?

19 A. I do.

20 Q. So for whatever reason you decided to cite
21 the Citygate prices here?

22 A. I did.

23 Q. Is that just because you went off the EIA
24 numbers?

25 A. That's right. They don't provide a

1 location number at the EIA.

2 Q. But wouldn't it be relevant to have the
3 numbers of exactly what New Mexico operators are
4 getting on average index price? If you are trying
5 to report to this commission the New Mexico numbers,
6 wouldn't that be more useful?

7 A. Well, I wasn't trying to show that the
8 company is actually receiving that amount. And
9 again, we go back to even if I looked up at Inside
10 Ferg the Blanco Hub's price for that particular day,
11 that doesn't mean that company makes that much
12 money. It is an average of everybody reporting to
13 that location. And sometimes there's only one or
14 two companies reporting to that particular location
15 on a day so it's not reflective of actual income.
16 No number in an index is actual income.

17 Q. And the same thing looking at your slide,
18 New Mexico oil prices as of July each year.

19 A. Yes.

20 Q. You used the New Mexico crude oil first
21 purchase price?

22 A. Yes.

23 Q. Is that the same concept as your Citygate?

24 A. Yes.

25 Q. And why wouldn't you use the Henry Hub on

1 that?

2 A. That's not the -- Henry Hub doesn't do a
3 posting for oil prices.

4 Q. Okay. Then what would you use instead?

5 A. Most of the time -- well, these prices
6 were ones that were he closer to New Mexico. The
7 \$2.62 that I quoted today is Henry Hub but the EIA
8 actually has the New Mexico prices for oil that they
9 published. If I was to use the West Texas
10 Intermediate, it's not as good as numbers that are
11 actually New Mexico oriented.

12 Q. When you say not as good --

13 A. Well, EIA took a survey and decided that
14 these are the prices that New Mexico received.
15 These are not the West Texas Intermediate, which is
16 the closest index price that we would go to.

17 Q. But again, wouldn't it make more sense to
18 go to --

19 A. West Texas Intermediate?

20 Q. No, look at the numbers that the
21 Legislative Finance Committee, for example, relies
22 upon for the state or the numbers that are relied
23 upon by maybe New Mexico Tech to report to a New
24 Mexico oil and gas commission?

25 A. I would assume those agencies that

1 reported to the New Mexico Tech should do the same
2 reporting to the EIA.

3 Q. That's an assumption.

4 A. It's a requirement.

5 Q. Looking at your New Mexico wells spudded,
6 your percentages here from 2007 to 2011, looks like
7 you went from 1700 wells spudded down to 990.

8 A. Yes, that's only through November 28th.

9 Q. That, again, is for the entire state,
10 correct?

11 A. That is for the entire state.

12 Q. And there's no differentiation from the
13 San Juan, which is natural gas, and the Permian,
14 which is oil?

15 A. That's correct. That's why I talked about
16 having additional oil production in one of those
17 slides.

18 Q. Looking at your Excel spreadsheet, I'm
19 just a lawyer so something like this with all these
20 numbers on here really scares me. So trying to
21 understand it is tough, so bear with me here.

22 A. Okay.

23 Q. You wrote here in your column one million
24 MCF. Isn't that a VCF? Just for clarity, just so I
25 understand where we are in terms of your volume that

1 you say this well produces?

2 A. Yes.

3 Q. Okay. And you mention that this is in the
4 Williams Fork formation in Colorado?

5 A. Williams Fork.

6 Q. So looking at this, this is primarily a
7 natural gas well?

8 A. Yes. With some production that comes as
9 oil condensate extra.

10 Q. And you stated that you got the 5500
11 barrels of oil based on 10 percent?

12 A. It's five.

13 Q. Five percent?

14 A. Roughly, and it was other wells that were
15 producing in the area that came up with that
16 percentage.

17 Q. Now, looking at your \$1500 per month lease
18 operating expenses, you stated that was the cost of
19 hauling off water?

20 A. Produced water. Produced water after the
21 well has already producing gas.

22 Q. Okay. And how much does it cost to haul
23 off produced water per barrel?

24 A. Depending on where the location is, it can
25 range anywhere from .62 do \$1.15 per gallon.

1 Q. Per gallon?

2 A. Per gallon.

3 Q. Now, what was the working interest
4 percentage on this well?

5 A. I don't remember.

6 Q. What was the net revenue interest
7 percentage?

8 A. The net revenue interest? It would be the
9 same as the working interest.

10 Q. You don't know that either?

11 A. I do not.

12 Q. That's because this is completely
13 hypothetical, this well?

14 A. That's correct.

15 Q. And your total deductions, that doesn't
16 include royalty cost, does it?

17 A. No, and I explained when I did this that
18 they are a burden that would be taken off the 4.2
19 million.

20 Q. So that's not included in the total
21 deduction?

22 A. Right, it is not. Those are the only
23 taxes, transportation and gathering.

24 Q. And what type of land is the well on,
25 federal, state, local?

1 A. Fee.

2 Q. Local. Okay. And it's in Colorado?

3 A. It is.

4 Q. And this is an independent producer?

5 A. Yes.

6 Q. So, therefore, they have no pipeline,
7 correct?

8 A. That is correct.

9 Q. So they would have to pay a third party
10 for gathering, processing --

11 A. That's where the 25 percent rate comes in.

12 Q. So if I understand this correctly, you are
13 saying that this is going to be a hypothetical 25 to
14 30-year well with a net income of \$143,000 a year?

15 A. Yes. But that is not what belongs exactly
16 to that particular owner.

17 Q. No, but this in your hypothetical, your
18 profit here --

19 A. Is \$143,000.

20 Q. Now, okay. Your \$1500 per month lease
21 operating expense, that includes sending a pumper
22 out?

23 A. Yes.

24 Q. Additional equipment on your well?

25 A. Additional equipment?

1 Q. You mentioned in direct testimony that the
2 \$1500 was additional expenses like extra equipment
3 that you had to put on?

4 A. That's correct. Like Glycol tanks to keep
5 from freezing. Those kinds of things.

6 Q. How much does a Glycol tank cost?

7 A. I don't know off the top of my head.

8 Q. How much would a pumper per month cost
9 you?

10 A. Pumpers usually do a number of wells at
11 one time so their wages or contract fees get
12 allocated to a number of wells in a particular day.
13 It could be somewhere around \$1500 a month for 15
14 wells, so each well would be allocated \$100.

15 Q. In this example, this hypothetical, what
16 ad valorem and severance tax did this well make?

17 A. This one is paying a 9 percent rate for a
18 combination of conservation tax, ad valorem and
19 severance tax.

20 Q. That's a Colorado right?

21 A. It is.

22 Q. Do you know what the New Mexico rate is?

23 A. 3.75.

24 Q. That's just the severance tax?

25 A. I don't have the taxes off the top of my

1 head.

2 Q. Do you know how many other taxes we pay in
3 New Mexico. There are a total of seven.

4 A. Yeah. You have a conservation levy, you
5 have an emergency fund and you have ad valorem and
6 you have severance tax and I don't know the other
7 three.

8 Q. Okay. And on this well did you do
9 discovered cash flow analysis?

10 A. Discovered cash flow? I don't think I
11 understand the question.

12 Q. It's basic economics on a well.

13 A. Well, and that's what I described, that it
14 was a present value that I allocated back when I got
15 to my bottom line and said okay, it's only going to
16 produce 1.5 million in actual present value today.
17 Because on the average at a 10 percent present value
18 rate it's about 55 percent of the total after you
19 paid all your expenses.

20 Q. A 55 percent total profit?

21 A. Yes. No, it's not total profit. It's 55
22 percent of the net afterwards.

23 Q. After taxes, et cetera, and costs?

24 A. And burdens, right.

25 Q. What's the suspended drilling cost for the

1 AFE that's represented here?

2 A. Suspended drilling cost?

3 Q. Yes.

4 A. In other words, the -- give me a chance.

5 I need a drink. I'm trying to find the word in my

6 poor head. It's a well that never produces. So I

7 think this one ranged about \$300,000 for a well that

8 doesn't produce, and I can't remember the word.

9 Q. Dry hole?

10 A. That's it.

11 Q. So this was a dry hole?

12 A. This was not a dry hole.

13 Q. Your hypothetical?

14 A. It was not a dry hole.

15 Q. All right --

16 A. You asked me a question about did I assume

17 it was a dry hole cost.

18 Q. You mentioned that the rate of return was

19 10 percent?

20 A. Using the present value of 10 percent

21 that's what the rate we would -- we would hope to

22 get a 10 percent rate.

23 Q. That's what you would go to your investors

24 for and say you get a 10 percent rate of return on

25 this investment?

1 A. Right.

2 Q. That is before income tax?

3 A. This is before income tax.

4 Q. Okay. Looking at your Oklahoma Department
5 of Environmental slide, do you know with reference
6 to this well what formation this was from?

7 A. I do not.

8 Q. Do you know what the depth of the well
9 was?

10 A. I do not.

11 Q. Do you know what type of well, horizontal
12 or --

13 A. I do not.

14 Q. Use of air drilling, would you be using
15 air drilling? Isn't that a significantly different
16 cost structure?

17 A. It is. And this is only -- I am only
18 quoting from Oklahoma's Department of Environmental
19 Quality findings. This is not my statement.

20 Q. So you don't know the efficacy of any of
21 these statements. You don't know actually if there
22 was a hole size reduction in these particular wells?
23 You are just quoting it for some report?

24 A. I am quoting it from an Oklahoma
25 Department of Environmental Quality.

1 Q. Moving to the next slide, what is a green
2 completion?

3 A. A green completion requires that -- well,
4 in the terminology that we use in the state of on
5 Colorado it's pitless, it uses a closed-loop system
6 and it removes all the leftover waste from the well
7 site.

8 Q. Okay. But this is for Environmental
9 Protection Agency which means that you are dealing
10 with air quality issues, correct?

11 A. That is correct.

12 Q. And so does the rule that we are looking
13 at here before the New Mexico Oil and Gas
14 Conservation Commission today, does that have
15 anything to do with air quality?

16 A. It does not. Wait. Do you want me to
17 open this?

18 Q. Do you want to do it for dramatic effect?
19 Sure.

20 COMMISSIONER BALCH: I am hoping it's
21 blackberry jam.

22 THE WITNESS: It's not.

23 A. It's safe pit water and I can't open it.
24 It's a good thing. I realize this doesn't have to
25 do with air quality. But it doesn't mean the EPA

1 between now and 2015 isn't going to look at the
2 issues of soils and anything else.

3 Q. But green completions really have to do
4 with not flaring before you actually -- the EPA
5 would prefer that you didn't flare. In other words,
6 this fact sheet that is out here has to do with EPA
7 Subpart W and Subpart quad O, correct?

8 A. That's right.

9 Q. It has nothing to do with drilling or
10 solids whatsoever. It has to do with greenhouse
11 gases?

12 A. That's right.

13 Q. And the same thing for the next slide.
14 Greenhouse gases and nothing to do with solids
15 management?

16 A. That's correct.

17 Q. Looking at your cost completion slide --
18 actually, before we get to that, you mentioned there
19 was a gentleman that said that he always goes
20 pitless?

21 A. Yes.

22 Q. And he is with Antero System?

23 A. Antero Resources.

24 Q. Do you know where Antero Resources drills
25 their wells?

1 A. I know they have them in Colorado. They
2 have drilled in the Barnett Shale and they have
3 drilled them in -- I believe they have some in the
4 Marcellus Shale now, too.

5 Q. Let me ask you this: A closed-loop
6 system, what is your definition of a closed-loop
7 system?

8 A. They take all the drilling liquids and put
9 them in the tanks.

10 Q. And --

11 A. And haul them off.

12 Q. Is there any sort of solids control
13 equipment that goes with that?

14 A. There is solids control equipment that
15 goes with that.

16 Q. Is there any liquids control equipment
17 that goes with that?

18 A. There is.

19 Q. How about flowing back into a tank during
20 a workover? Would that be considered a closed-loop
21 system?

22 A. Flowing back into a tank? That's normal
23 procedure.

24 Q. Would you consider that to be a
25 closed-loop system?

1 A. Yes.

2 Q. Why? It's not during the drilling
3 operation.

4 A. It's not during the drilling operation but
5 it is a closed system. It's not a closed-loop
6 system that you've been drilling, but in a rework or
7 in a completion if you use a tank that's enclosed
8 it's hauled off and taken care of from there.

9 Q. Would you interpret a closed-loop system
10 to be is any time we put anything in a tank?

11 A. No. Only when the drilling is done.

12 Q. Only when the drilling is done. Thank you
13 for the clarification. So in Colorado, what do
14 operators generally get to do with their cuttings?
15 Do they have to bury them?

16 A. They --

17 Q. After using the closed-loop system. I
18 should clarify that.

19 A. I cannot tell you off the top of my head.
20 I pay the bills. I don't know what they do with the
21 cuttings. I think they leave them there actually.

22 Q. They leave them on-site. Do they
23 land-farm them on-site or do they build berms with
24 the cuttings? What do they do with the cuttings in
25 Colorado?

1 A. I am trying to remember the well I just
2 saw. I think they just bury them.

3 Q. Okay. So on-site burial?

4 A. Yes.

5 Q. So what you are representing here is your
6 clients use a closed-loop system to drill the well.
7 They put everything into a tank, a steel container
8 on location, and then they just dump it on the
9 surface when they leave?

10 A. No, it's taken to a waste facility.

11 Q. Wait a second. You just told me you leave
12 them on-site, the cuttings.

13 A. The cuttings; not the water, not the
14 liquids.

15 Q. What do you use the closed-loop system
16 for?

17 A. The liquids.

18 Q. So you still have a pit for your cuttings?

19 A. Yes.

20 Q. But you have a closed-loop system for your
21 fluids?

22 A. Yes.

23 Q. And you haul off the fluids?

24 A. Yes.

25 Q. So there is a pit on location?

1 A. There is a pit on location.

2 Q. For the cuttings?

3 A. Yes.

4 Q. I appreciate your statements, by the way,
5 that all rules cost money and that small operators,
6 because I do represent the small operators, that
7 companies do need to be comfortable with the rule
8 before they decide to operate and invest in the
9 well. And with that in mind explain, since you
10 represent some small operators, how is it that a
11 company would feel comfortable? Are we talking
12 about certainty in the rule?

13 A. Certainty in the rules.

14 Q. How about having proscriptive time frames?

15 A. Proscriptive time frames. You know, when
16 it is a rule that can be -- yes, proscriptive time
17 frames would be fine.

18 Q. I think you made the statement that time
19 is money.

20 A. Yes.

21 Q. Therefore, an operator -- it would be
22 beneficial for an operator to know how long it would
23 take, for example, to get a permit?

24 A. That's correct.

25 Q. And it would be useful for an operator to

1 know that if they need to ask for a variance or
2 exception to a rule how long that's going to take?

3 A. Yes.

4 Q. Looking at your cost comparison sheet, and
5 I understand this is from a Colorado well?

6 A. Yes.

7 Q. Talk to me about your centralized pits
8 here. You made the statement that centralized pits
9 in Colorado are used to separate your solids from
10 your fluids?

11 A. Yes.

12 Q. So is that like a horseshoe-shaped pit?
13 How would you separate?

14 A. No, it's a rectangular pit. It's more
15 like a lake.

16 Q. More like --

17 A. A lake. It's big.

18 Q. But you can put solids in that lake?

19 A. You can and they do and they aerate it to
20 release the water into the air and then they clean
21 it out and start all over again.

22 Q. Can you tell me how many acre feet those
23 lakes are?

24 A. I can't.

25 Q. In your closed-loop systems cost here, I

1 see that you have an \$80,000 rental of closed-loop
2 equipment cost?

3 A. Yes.

4 Q. \$5,000 a day --

5 A. Yes.

6 Q. -- for 16 days. How deep with this well?

7 A. Between 7,000 and 8,000 feet.

8 Q. And I see that your costs for trucking are
9 pretty low, \$1300, which means that you left your
10 cuttings in place?

11 A. Yes.

12 Q. So the \$1300 is for hauling off the
13 liquids?

14 A. Yes.

15 Q. And you also have a negative cost here,
16 savings on mud reuse.

17 A. Yes.

18 Q. If you are a small independent operator if
19 and you are only drilling one well, would you
20 achieve this cost benefit, the \$17,000 credit here
21 for drilling one well?

22 A. No, you wouldn't.

23 Q. So this is for large companies with a
24 multi-well program?

25 A. Or working interest owners that get to

1 participate in wells that are large operators.

2 Q. Okay. And are centralized pits normally
3 billed to working interest owners?

4 A. The cost of them are.

5 Q. And how would the cost be distributed on
6 the construction of a centralized pit then?

7 A. They are asked -- well, it depends on the
8 centralized pit. Often there is a fee for using the
9 centralized pit that is charged back to the working
10 interest owner.

11 Q. Okay.

12 A. As opposed to the construction cost.

13 Q. Now, you are saying these centralized pits
14 are similar but not similar to the multi-well fluid
15 pits we are recommending here?

16 A. It is not exactly the same. The way
17 Mr. Arthur pointed it out yesterday is more like our
18 normal pits that companies use today, and that is
19 one pit servicing a number of wells that are located
20 on the same pad. Centralized pits are actually ones
21 that are put out into a separate location and trucks
22 are driven to that location with all the fluids,
23 whether it's produced, drilling. Everything goes
24 into the one pit.

25 Q. Then you have this huge centralized pit.

1 What happens when they are going to close it? They
2 leave the cuttings in place?

3 A. They haven't closed it it in 12 years so I
4 don't know what's going to happen.

5 Q. So they are putting a lot of waste from
6 wells in that one pit?

7 A. They are.

8 Q. Do you know if the pit is lined?

9 A. I can't tell you. I haven't walked it.

10 Q. But here in New Mexico, particularly if
11 you are a small operator and you're drilling one
12 well, you would have one pit, a little pit for one
13 well just for those cuttings?

14 A. That's right, but if you're going to be
15 doing more than one well on a pad site, why would
16 you excavate more than one -- a pit for every well?

17 Q. Well, I mean, that depends on the permian
18 statement we have, right?

19 A. Yes.

20 Q. So that's the answer to that question.
21 I'm a little bit confused on your lost economics
22 here.

23 A. Okay.

24 Q. Now, I have to apologize because I was
25 writing and you were answering questions if for Mr.

1 Feldewert so you might have answered this question
2 already. You are aware that in this proposal by
3 IPANM and NMOGA that we are not banning the use of
4 closed-loop systems?

5 A. You are not.

6 Q. So the personal property tax on
7 closed-loop systems would still come back to the
8 State because closed-loop systems would still be a
9 business decision and used by businesses here in New
10 Mexico.

11 A. It would seem to me, though, that there
12 would be no reason to spend this amount of money to
13 change the rules if everybody was going to continue
14 to use the closed-loop system. There's got to be an
15 intention to use something other than the
16 closed-loop system.

17 Q. Right. But wouldn't you agree since you
18 do the businesses and pay the bills for companies
19 that if there is an economic benefit to use the
20 closed-loop system because of maybe where a well is
21 located or maybe they are close to a disposal
22 facility or something, they could still use the
23 closed-loop system?

24 A. They sure can.

25 Q. So the property tax from centralized pits

1 doesn't really apply in this case either because we
2 don't have centralized pits in New Mexico so
3 therefore there's no loss.

4 A. That's correct.

5 Q. So you can cross that out?

6 A. It wasn't a loss.

7 Q. You are saying these are loss economics.
8 You are implying that this is money that the state
9 is already getting.

10 A. That's right.

11 Q. Your slide that the earthen pits create
12 waste.

13 A. Yes.

14 Q. Again, it's very confusing. You seem to
15 be implying that we are mixing hydrocarbons with our
16 cuttings that are floating on top of water. Explain
17 that to me, please.

18 A. Most of the places that have earthen pits
19 that I have driven past -- this came from an earthen
20 pit. This came from an earthen pit that was done
21 right after drilling, and I took the water out of
22 it.

23 Q. Okay, and that is a centralized pit that
24 has how many wells?

25 A. No, it's not a centralized pit. It was a

1 pit that was right alongside the particular well.

2 Q. And you don't know how many wells were
3 disposed into the pit?

4 A. Yeah, 16.

5 Q. Sixteen wells?

6 A. Uh-huh.

7 Q. Over what period of time?

8 A. Let's see. It was 18 days for each well
9 so about six months.

10 Q. So what you are saying is you have seen a
11 sheen on top of that?

12 A. Absolutely.

13 Q. Are you aware in this rule there's a
14 provision to use a boom if necessary?

15 A. That's for spills.

16 Q. Or to pick up a sheen on your pit.

17 A. Again, we are talking waste. If you pick
18 it up with a boom you are not going to take it to a
19 location to get the oil processed and sell it.

20 Q. Is there any provision in the rule that
21 requires picking up oil from the surface?

22 A. No.

23 Q. No.

24 A. That's why I say that's waste.

25 Q. Okay. What about all the cuttings we

1 bring to the location, the centralized facility here
2 in New Mexico like a system total recovery or R260.

3 Q. Then it should be recouped and sold as
4 oil.

5 Q. Do you know if they do or don't?

6 A. I don't.

7 Q. They do.

8 A. But I think these rules are looking to
9 change that.

10 Q. Did you see that in the rule?

11 A. Just from the general discussion that's
12 been going on the last couple days.

13 Q. If you can find that in the rule I would
14 like to have you point it out to me.

15 A. Okay.

16 Q. Now, you looked at the AFEs that were
17 submitted by West Largo Corporation.

18 A. Yes.

19 Q. I was a little confused.

20 CHAIRPERSON BAILEY: Ms. Foster, do you
21 think you have many more questions?

22 MS. FOSTER: This is my last little
23 section. I think it's five or six questions. Would
24 you like to take a break?

25 CHAIRPERSON BAILEY: I think it would be

1 appropriate to take a ten-minute break.

2 (Note: The hearing stood in recess at
3 5:00 to 5:07.)

4 CHAIRPERSON BAILEY: Ms. Foster, if you
5 would go ahead and complete your cross-examination.

6 Q (By Ms. Foster) Looking at the West Largo
7 AFEs that were submitted, there was one well drilled
8 on October 15, 2007 and the other one was drilled on
9 January 1, 2010. Do you know when the Pit Rule was
10 implemented?

11 A. May of 2008.

12 Q. Okay. So the operator here would have had
13 to adhere to the requirements of the Pit Rule under
14 the 2010 well?

15 A. That's correct.

16 Q. And you mentioned on direct examination,
17 you made the implication that this operator had zero
18 reclamation expenses.

19 A. That's what I said because the first page
20 shows zero.

21 Q. What is Code 6100? Isn't that accounting
22 code normally used to reflect reclamation costs?

23 A. State location, permits and damages?

24 Q. Yes.

25 A. Not normally.

1 Q. Not normally?

2 A. That is a predrilling expense.

3 Q. But the AFE as listed is up until
4 precompletion?

5 A. But Code 6100 that says state location,
6 permits and damages are expenses that are spent
7 prior to drilling normally.

8 Q. And --

9 A. Not reclamation.

10 Q. Okay.

11 A. And the reason why I say zero is because
12 his letter states "Reclamation, zero. Reclamation,
13 \$76,979.85."

14 Q. All right. So the reclamation then is his
15 hauling cost?

16 A. That's what he is claiming in his report.

17 Q. Right. So then on the 2010 well he had
18 \$76,000 of hauling cost whereas in the 2007 well he
19 had no hauling cost because he did not need to use a
20 closed-loop system and he left his pit on the site.

21 A. Right. I don't see any expenses in any of
22 these categories for reclamation on the 15 No. 1
23 well.

24 Q. But that would be after fracking and after
25 completion, correct? Reclamation?

1 A. Yes.

2 Q. All right. So wouldn't it belong on this
3 AFE?

4 A. No, because reclamation is part of an AFE.

5 Q. So an operator picks up the cost of
6 reclamation and doesn't send that to his working
7 interest owners, the cost of that?

8 A. Sure he does.

9 Q. So it should go on an AFE?

10 A. That's right. It's not on this one.
11 That's all I'm saying. I was not making a comment.
12 I was saying that he had zero cost on the 15 and 76
13 -- I meant that he has a \$76,000 expense for
14 reclamation.

15 Q. Which is really the hauling cost?

16 A. That's what he is calling disposal and
17 hauling.

18 Q. In comparison of these two AFEs, this is
19 all during the drilling phase only of the two wells,
20 correct?

21 A. That's correct.

22 Q. So the 2007 well had a cost of \$128,623,
23 correct?

24 A. That is correct, according to this report.

25 Q. According to this report. And the 2010

1 one had a cost of double, 224,000?

2 A. That's correct.

3 Q. So to drill two similar wells in the San
4 Juan at comparable depths had an increase cost of
5 \$100,000 because of the Pit Rule?

6 A. That is correct.

7 Q. That's what the West Largo --

8 A. That's what this says.

9 Q. Thank you. Now, you said you went
10 upstairs and used the OCD computers to look at the
11 production from this well?

12 A. Yes.

13 Q. And did you look at the additional cost
14 like how much water this well produced?

15 A. No.

16 Q. Did you look at the cost of hauling off
17 water?

18 A. I did not.

19 Q. Do you know what the royalty rate was for
20 this type of well?

21 A. I do not.

22 Q. And you mentioned this was three years for
23 payout. Why is that?

24 A. Well, the income looked like roughly about
25 \$195,000 for the period that was here. 2010, '11

1 and '12.

2 Q. But you don't have -- what was the word
3 you used -- the burden. You don't know what the
4 burden is in this?

5 A. I don't have the burden. I'm just looking
6 at whether the well paid out, not whether the
7 operator made money.

8 Q. But in your AFE, your hypothetical well,
9 you have to look at the burden which means you have
10 to look at the taxes, you have to look at the cost
11 of the pumper, you have to look at the cost of
12 hauling off water, and you didn't do that in this
13 West Largo case, did you?

14 A. No, I did not.

15 Q. And do you know if a compressor was used
16 on this West Largo wells?

17 A. I do not know.

18 Q. Do AFEs normally reflect environmental and
19 regulatory cost?

20 A. Yes.

21 Q. So if an AFE's costs go up, the
22 profitability of the investment goes down, right?

23 A. Yes.

24 Q. In your hypothetical well you said that
25 the profit of your operator was \$143,000?

1 A. Per year.

2 Q. If you look at the West Largo case with
3 the increase in cost due to the Pit Rule of
4 \$100,000, that means that in your hypothetical cost
5 your profit would only be \$43,000, correct? It's
6 math and I'm just a lawyer. I apologize.

7 Q. No, because my hypothetical is for a 25 to
8 30-year production. This is only looking at a
9 snapshot of three years. Not even three years, 21
10 months.

11 Q. Right. But we have an actual number from
12 a real company, not a hypothetical company --

13 A. You don't have 25 years worth of his
14 numbers of income either.

15 Q. But you said the average on your
16 hypothetical was \$143,000 on a profit of the well?

17 A. Over the course of the 25 years. Not in
18 21 months.

19 Q. So the overall --

20 A. You do not make money in the first couple
21 years because you have to pay back your own personal
22 expenses that it costs to drill.

23 Q. So then what you are saying then is the
24 profit of the well is \$140,000 over 23 years for
25 that hypothetical well?

1 A. Yes.

2 Q. So if you have an increased cost year one
3 of \$100,000 because of the Pit Rule --

4 A. You are not going to make money in the
5 first couple years. That's why I'm talking about
6 making your return of your income, the expense for
7 the well. You are not going to make money in the
8 first year of production.

9 Q. What you are saying is an increased cost
10 of \$100,000 for wells are going to make
11 significantly more wells uneconomic in New Mexico?

12 A. No.

13 Q. Under your AFE?

14 A. No, I did not say that.

15 Q. You are saying you are not going to make
16 money on your wells so less wells will be drilled.

17 A. You are not going to make money on any
18 well in two to five years at \$3 an MCF right now.

19 Q. So less wells are going to be drilled.

20 A. Well, less wells are drilled because the
21 price is so low. If the price was \$10 they would
22 all be drilled.

23 Q. Plus an extra cost of \$100,000 because of
24 the Pit Rule. I have no further questions of the
25 witness, thank you.

1 MR. JANTZ: Does the witness get to answer
2 the question though?

3 THE WITNESS: Was there a question?

4 MR. JANTZ: It was sort of a statement.

5 THE WITNESS: That's okay.

6 CHAIRPERSON BAILEY: We will take a break
7 and reconvene at 9:00 o'clock in the morning. We
8 will now take public comments. I believe we do have
9 some people who have signed our sheets for public
10 comment. Caren Cowan.

11 CAREN COWAN

12 after having been first duly sworn under oath,
13 was questioned and testified as follows:

14 CHAIRPERSON BAILEY: Would you please
15 state your name and place of residence?

16 MS. COWAN: My name is Karen Cowan,
17 executive director of the New Mexico Cattle Growers.
18 I live in Albuquerque, New Mexico. I first want to
19 thank you, Madam Chairman, and members of the
20 Commission. No matter how this works out you have
21 to be the toughest people I have seen.

22 I also want to point out that probably in
23 a very bipolar nature we have worked with both NMOGA
24 and OGAP as we work through this to try to find
25 where the middle ground is and how to serve

1 everybody, and we appreciate all of that as we move
2 forward.

3 This is an extremely complex issue. In my
4 written testimony that I sent you I pointed out the
5 specifics. I think here I'm just going to summarize
6 what it looks like after sitting in the back of the
7 room for two-and-a-half days. But there are several
8 primary components of concern for cattle growers.

9 Let me back up. I sat on the Pit Rule
10 task force in 2007, as did two other of our members.
11 In today's society most of the time we are told if
12 everybody walks away unhappy from one of these
13 processes, it was probably a good process. I don't
14 necessarily agree with that, but I can tell you that
15 nobody walked away happy from the last one. We
16 didn't all get exactly what we wanted but we came up
17 with a rule that we thought it was workable and the
18 Association still supports.

19 There are five components of concern as we
20 look at this rule: The siting distance from
21 groundwater, the depth to groundwater, the modeling
22 versus site specific data, on-site burial, and then
23 as an addendum to that whether or not the burial is
24 capped, and then increasing the chloride levels by
25 five times.

1 One of the things that concerns me as we
2 sit here is that there's no way to look at the
3 cumulative data of all of those things. Any one of
4 them might be okay, but when you put five of them
5 together what is the impact going to be? Our
6 members earlier today talked about the 100-foot
7 distance from water. That's 33 yards. That's not
8 very far.

9 As we look at multi-well -- we have been
10 told that that will be corrected by where the well
11 can be drilled. But as we look at multi-well
12 containments, they can be placed anywhere they need
13 to be and I am sure that every person in this room,
14 every company in this room will do their best to do
15 the right thing. I have no doubt about that.

16 Unfortunately, there's a bad guy, a rotten
17 apple in every crowd that makes it difficult for
18 people as we move along. It doesn't matter whether
19 you are talking about ranchers or whether you're
20 talking about the oil and gas industry. So I don't
21 know how -- I don't envy you trying to balance the
22 economic needs, which we believe are very real and
23 very important, with the needs of the people who
24 live on the land and the animals that they use to
25 make a living and provide economies for rural areas.

1 As we listen to reclamation today -- by
2 the way, Dr. Buchanan, I really like your tie -- and
3 with all due respect, the plants that were being
4 talked about that could live on top of reclamation,
5 mesquite, those aren't the things that cows live on.
6 Those aren't the things that will allow us to make a
7 living. So we are extremely concerned about what
8 can live once pits are done.

9 The multi-well pits are intriguing and the
10 association hasn't taken a strong position one way
11 or the other on that, but those pits are going to be
12 closed the way we think all pits should be closed.
13 They will have leak detectors and be completely
14 moved away. So I think it is something to at least
15 look at. You know, volume and depth are concerns as
16 well.

17 The testimony throughout that I have been
18 here for, there's a lot of "The thesis is, it
19 should, I think," and those are not real certain
20 words when you talk about the future of water in our
21 state. It seems to me that we need more certainty
22 as we look at -- I agree with Mr. Johnson on Monday.
23 Water is going to be more expensive than any
24 commodity that we need.

25 In closing, I will say that we are very

1 supportive of the need to oil and gas and for
2 drilling. We probably use more gas than -- well, we
3 compete with the oil and gas industry in terms of
4 the miles that we put on dirt roads and we have to
5 buy gasoline or diesel to travel on.

6 While humans are the most important thing,
7 it takes water and plants and agricultural and other
8 people for everything and it comes back to the
9 balancing test.

10 Finally, even our president of the country
11 forgot that we had an economic crash in 2008, but
12 the loss of jobs in New Mexico had a lot more to do
13 with a lot more things than just the Pit Rule, and I
14 thank you for your time. If you have questions I
15 would be happy to answer them.

16 CHAIRPERSON BAILEY: Any questions for
17 this commenter? Thank you.

18 COMMISSIONER BLOOM: Quick question. Two.
19 Your concerns about capping.

20 THE WITNESS: Thank you. That leads to
21 one more thing. If you are going to bury -- I know
22 that the liners get folded over, but when you grow a
23 plant and leave it too long and you don't repot it,
24 the roots find their way all the way around the
25 place. So what's going to stop plants from going

1 into the pits and harming the integrity of the pits
2 as they do that? I have heard -- there's been
3 discussion about there still being moisture within
4 the burritos, but we thought they were supposed to
5 be completely dried. So there's some complexity and
6 confusion in that.

7 Finally, do you want one of these things
8 buried in your backyard? Because they are talking
9 about burying them in our backyard.

10 COMMISSIONER BLOOM: Did you hear
11 Mr. Buchanan's testimony today? I believe he said
12 that with the 48-inch cap of earth that the grasses
13 would wouldn't go down that far.

14 THE WITNESS: But shrubs and other things
15 will.

16 COMMISSIONER BLOOM: That's it. Thank
17 you.

18 THE WITNESS: Thank you very much.

19 CHAIRPERSON BAILEY: Sally Co? Would you
20 like to be sworn?

21 SALLY CO
22 after having been first duly sworn under oath,
23 was questioned and testified as follows:

24 CHAIRPERSON BAILEY: Please state your
25 name and place of residence.

1 MS. KOE: My name is Sally Co and my place
2 of residence is Las Alomitos, California. I'm a
3 student at St. Johns College, a member of the
4 Students for Sustainable Future, and I'm here to
5 give a voice to the students. And in St. Johns
6 College the campus is located up near Monte Sol in
7 the mountain range of Sangre de Christos. We read
8 lots of books there. It's a Great Books program.
9 Just nature in general and the environment has been
10 such an important source of peace for us. And so we
11 feel that it's important to keep this in mind and
12 mostly prevent any risks that can occur,
13 particularly to water.

14 Because the Santa Fe river flows near our
15 campus, and recently early this spring the river
16 started flowing again. I think it was because of
17 ice melted up near the mountains, and just with
18 water there came so much life.

19 It was just -- just connected us and
20 connected me with myself. And just to think if that
21 water was contaminated, that sense of peace and life
22 may be gone. It's painful to think about. So we
23 hope you keep that in mind when compromising the Pit
24 Rule.

25 CHAIRPERSON BAILEY: Are there any

1 questions of this commenter?

2 MS. GERHOLT: No questions.

3 CHAIRPERSON BAILEY: Thank you. Safa
4 Pinkens.

5 SAFA PINKENS

6 after having been first duly sworn under oath,
7 was questioned and testified as follows:

8 CHAIRPERSON BAILEY: Please state your
9 name and place of residence.

10 MS. PINKENS: My name is Safa Pinkens. I
11 live in Santa Fe. I'm also a student at St. Johns
12 College with the Students for a Sustainable Future
13 and I have been here for the past two years. And
14 I'm so happy to be living in such an amazing area.
15 Recently our sustainability club got together with
16 the Climate Change Leadership Institute which Rob
17 Parish leads, and because of that I learned more
18 about the Pit Rule. So I learned that I really want
19 it to be preserved for the sake of the land but more
20 importantly, for the sake of the people who live on
21 this land.

22 I feel that New Mexico was given an
23 amazing opportunity with this Pit Rule, because when
24 it was proposed there were so many concerns that the
25 industry would suffer from the increased costs

1 imposed by the regulations and that would drive
2 businesses away from New Mexico harming the economy.
3 But when the Pit Rule was put into effect it seemed
4 to me like the warning was false. And I read that
5 drilling rig counts fell but only as much as they
6 did in other states as a result of the recession.
7 And the industry, obviously, has not left New
8 Mexico.

9 So I think that the rule has been tested
10 and proved successful and I think that that
11 should -- keeping that in mind should be important
12 when looking back at this rule and deciding about
13 how it should be changed, because it has been tested
14 and we can learn from that. And I know that it's
15 tremendously complicated.

16 I'm glad even that the industry is still
17 so active in New Mexico, because I realize that
18 responsible oil and gas development is necessary for
19 the health of New Mexico's economy; hopefully, in
20 transitioning to renewable energy. But I think that
21 the development of oil and gas should be focused on
22 the long-term for the sake of the people and the
23 environment and for the sake of the industry.

24 For example, closed-loop systems could
25 save money in the future for the industry and the

1 current Pit Rule encourages their use. I think
2 things like that are important to be preserved.
3 It's so important that our water remains clean and
4 soil uncontaminated because when looking at the
5 regulations, how close a well can be to a water
6 source, why pick convenience over people? It hasn't
7 harmed the industry so far to move a little farther
8 away and I don't think it will in the future.

9 If the land suffers, so will crops and so
10 will the cattle, you know, that seed the grass. If
11 the water becomes dangerous people won't want to
12 live in New Mexico and then what good will it do to
13 have a thriving oil and gas industry? It's a
14 balance. The industry has to give to New Mexico
15 before it takes from it.

16 It can do that by following the Pit Rule
17 and supporting it in a way that supports the
18 industry as well. I come from Washington State and
19 water is abundant here. Here it's so precious and
20 we have so little left.

21 Last year there was the fires and this
22 year the drought is already coming and we can't
23 afford to hurt the water we already have. So I
24 guess I'm just asking please, when you are
25 evaluating the Pit Rule and you take it apart and

1 look at it, don't take it apart just to weaken it
2 and diminish its purpose. Take it apart and realize
3 how those little parts are so successful and put it
4 back together again and make it more efficient for
5 the industry but also stronger for the people who it
6 protects. That's it.

7 CHAIRPERSON BAILEY: Are there any
8 questions of this commenter?

9 COMMISSIONER BLOOM: I have a question.
10 Thank you Ms. Pinkens for coming in. When I was in
11 college I didn't ever step out and get involved in a
12 rule-making process so it's a big step so thanks for
13 coming in today and sharing your comments with us.
14 I know you are all towards the end of the semester
15 probably. Did you get a chance to read through the
16 proposed changes for the rule?

17 THE WITNESS: No, I did not.

18 COMMISSIONER BLOOM: Let me tell you, I
19 think one of the things you find when you read it,
20 it's like a book, starts with siting and permitting,
21 reclamation, revegetation, so it might be something
22 that you all would be interested in. When I was in
23 college we could create our own classes around
24 certain topics and I know St. Johns allows you to do
25 things along those lines as well, I imagine. Does

1 it sound like something you would be interested in
2 checking out at some point?

3 THE WITNESS: If I get the time. I know
4 this summer I will have a bit more time. But is
5 there a summary? I mean, I know that a summary
6 isn't a replacement for reading the whole thing
7 through and getting all the details.

8 COMMISSIONER BLOOM: I don't know.
9 There's a summarized version that talks about the
10 nature of the changes, but I think even with the
11 edits it's about 43 pages so it's pretty short.
12 Thanks for coming in.

13 CHAIRPERSON BAILEY: Any other questions?
14 Thank you. Rob HIRSCH.

15 ROB HIRSH
16 after having been first duly sworn under oath,
17 was questioned and testified as follows:

18 CHAIRPERSON BAILEY: Please state your
19 full name and place of residence.

20 MR. HIRSH: Rob Hirsh and Santa Fe is
21 where I live.

22 I know people have been here so long and I
23 totally want to do this efficiently, but I just want
24 to complete the comments I commenced yesterday and
25 also submit them if I'm able to submit the full

1 comments. Is that allowed?

2 CHAIRPERSON BAILEY: Yes.

3 THE WITNESS: Great. I completely agree
4 with -- first of all, I think it was brave of those
5 students and I thank you for saying that and I also
6 agree with Caren Cowan. This is a very complex
7 issue. I also think that rules need to be evolved
8 to keep up with advances in technologies, so that I
9 recognize and agree.

10 I just wanted to say I am completing these
11 public comments because we believe New Mexico should
12 lead the country and the American industry should
13 lead the world in sustainable oil and gas
14 development. So it's very important to consider
15 this an opportunity for integrity and leadership in
16 the industry.

17 So the other comments I was hoping to add
18 to are the -- just as follows: I think
19 unfortunately, given the not necessarily complete
20 objective nature of a commission, two of whom are
21 appointed by administration, and the same could be
22 said for a past rule that was enacted, that
23 elections have consequences. I'm not naive about
24 that, but I think that the consequence of amending
25 this Pit Rule to this extent and degree is not only

1 harm to the groundwater and our Land of Enchantment
2 but another consequence, ironically, I think, of the
3 Pit Rule major amendment is that it will come back
4 potentially to bite the oil and gas industry itself.

5 Because there may or may not -- I guess
6 there may be some short-term cost savings for
7 watering down the Pit Rule, but in the mid to longer
8 term it's going to be costly, not only because of
9 the testimony that was provided but because of the
10 harm to public health potentially from groundwater
11 contamination and a crisis of cleanup after the fact
12 and a growing ill-will potentially from the public
13 at large resulting in potentially lawsuits and a
14 loss of trust in the industry.

15 I think that stop and start rule-making
16 for environmental compliance is not a good formula
17 for economic viability. I think having long-term
18 certainty with reasonable and responsible
19 regulations like the Pit Rule that exists is a very
20 good thing for business because you can plan
21 accordingly and development economically sound,
22 sustainable development practices that prevent
23 pollution, and these practices can even be marketed
24 to the point of leading the world in pollution
25 prevents technologies.

1 So I think amending this rule will take us
2 backwards instead of forwards to a new era of
3 responsible and innovative energy development.

4 And it's very likely that if this were
5 majorly amended, subsequent administrations could
6 very well restore a more vibrant Pit Rule, and
7 again, it could be at our loss for being delayed in
8 implementing cost-effective and significantly sound
9 environmental compliance technologies now instead of
10 letting other nations' industries effectively get a
11 competitive advantage in this sector.

12 Then a quick couple detailed points
13 although it's much more complex. But closed-loop
14 systems are a constructive part of a solution that
15 could grow from the Pit Rule that exists and the OCD
16 should still issue permits for this practice. And a
17 30-day process for approval or else a permit is
18 approved I think is an unsound recipe for
19 environmental compliance.

20 If the oil and gas industry is pressing
21 for maximum efficiency, they should contribute to a
22 fund so OCD can be properly staffed to responsibly
23 review all the applications. It's really crazy for
24 the OCC to waive its governmental oversight in
25 permitting, as oversight is one of the most

1 essential rules of government.

2 In conclusion, I would just say that it's
3 vital in this hearing to amend the Pit Rule and in
4 general that we together adhere to an ethic of
5 stewardship in our environmental choices because the
6 goal should be long-term energy viability. And I
7 would hope that the industry takes proactive
8 leadership in working with government and the
9 environmental community and the scientific community
10 to together lead a better way of cost-effective and
11 environmentally sound technologies.

12 Lastly, energy alone does not advance New
13 Mexico. The combination of responsible, clean and
14 cost-effective energy advances New Mexico. Thank
15 you.

16 CHAIRPERSON BAILEY: Are there any
17 questions of this commenter? Thank you very much.

18 CHAIRPERSON BAILEY: That concludes our
19 day today. The cases will be continued until
20 tomorrow at 9:00 o'clock here in Porter Hall.

21 (Note: The hearing was adjourned for the
22 day at 5:40)

23

24


25

REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, JAN GIBSON, Certified Court Reporter for the State of New Mexico, do hereby certify that I reported the foregoing proceedings in stenographic shorthand and that the foregoing pages are a true and correct transcript of those proceedings and was reduced to printed form under my direct supervision.

I FURTHER CERTIFY that I am neither employed by nor related to any of the parties or attorneys in this case and that I have no interest in the final disposition of this case.



JAN GIBSON, CCR-RPR-CRR
New Mexico CCR No. 194
License Expires: 12/31/12