

STATE OF NEW MEXICO
ENERGY, MINERAL AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

ORIGINAL

APPLICATION OF THE NEW MEXICO OIL AND GAS
ASSOCIATION FOR AMENDMENT OF CERTAIN PROVISIONS OF
TITLE 19, CHAPTER 15 OF THE NEW MEXICO
ADMINISTRATIVE CODE CONCERNING PITS, CLOSED-LOOP
SYSTEMS, BELOW GRADE TANKS AND SUMPS AND OTHER
ALTERNATIVE METHODS RELATED TO THE FORE GOING
MATTERS, STATE-WIDE.

CASE NO. 14784 AND 14785

VOLUME 5

May 18, 2012
9:00 a.m.
Wendell Chino Building
1220 South St. Francis Drive
Porter Hall, Room 102
Santa Fe, New Mexico

THE COMMISSION:

- JAMI BAILEY, Chairperson
- GREG BLOOM, Commissioner
- DR. ROBERT BALCH, Commissioner
- MARK SMITH, Esq.
- FLORENE DAVIDSON, COMMISSION CLERK

REPORTED BY: Jan Gibson, CCR, RPR, CRR
Paul Baca Court Reporters
500 Fourth Street, NW - Suite 105

2012 MAY 31 A 11:35
RECEIVED OGD

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

FOR NEW MEXICO OIL & GAS ASSOCIATION (NMOGA):

HOLLAND & HART, LLP
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
505-988-4421
BY: WILLIAM F. CARR
MICHAEL H. FELDEWERT
wcarr@hollandhart.com

JORDEN BISCHOFF & HISER
7272 E. Indian School Road, Rd. Suite 360
Scottsdale, Arizona 85251
480-505-3927
BY: ERIC L. HISER
ehiser@jordenbischoff.com

FOR OIL & GAS ACCOUNTABILITY PROJECT (OGAP):

NEW MEXICO ENVIRONMENTAL LAW CENTER
1405 Luisa Street, Suite 5
Santa Fe, New Mexico 87505
505-989-9022
BY: ERIC D. JANTZ
ejantz@nmelc.org

FOR THE OCD:

GABRIELLE GERHOLT
Assistant General Counsel
1220 St. Francis Drive
Santa Fe, New Mexico 87505
505-476-3210
gabrielle.Gerholt@state.nm.us

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES CONTINUED

FOR INDEPENDENT PETROLEUM ASSOCIATION OF NM:

K. FOSTER ASSOCIATES, LLC
5805 Mariola Place, NE
Albuquerque, New Mexico 87111
BY: KARIN FOSTER
505-238-8385
fosterassociates@yahoo.com

FOR THE NEW MEXICO CITIZENS FOR CLEAN AIR & WATER:

DR. DONALD NEEPER
2708 B. Walnut Street
Los Alamos, New Mexico 87544
505-662-4592
dneeper@earthlink.net

FOR JALAPENO CORPORATION:

PATRICK FORT
P.O. Box 1608
Albuquerque, New Mexico 87103
patrickfort@msn.com

FOR NEW MEXICO WILDERNESS ALLIANCE:

JUDITH CALMAN
142 Truman Street, Suite B-1
Albuquerque, New Mexico 87108
judy@nmwild.org

FOR NEW MEXICO STATE LAND OFFICE:

HUGH DANGLER
310 Old Santa Fe Trail
P.O. Box 1148
Santa Fe, New Mexico 87504
(505) 827-5756

APPEARANCES CONTINUED

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR NEARBURG PRODUCING COMPANY:

JAMES G. BRUCE
P.O. Box 1056
Santa Fe, New Mexico 87504
505-982-2043
jamesbruc@aol.com

INDEX

THE WITNESSES: PAGE:

MARY ELLEN DENOMY

Examination by the Commission.....1078
Redirect Examination.....1106

DONALD NEEPER

Sworn Testimony.....1122
Cross-Examination by Mr. Hiser.....1211
Cross-Examination by Ms. Foster.....1239
Cross-Examination by Mr. Jantz.....1244
Cross-Examination by Ms. Gerholt....1249
Cross-Examination by Mr. Dangler....1251

Examination by the Commission.....1257

SWORN STATEMENT OF IRVIN BOYD.....1179

SWORN STATEMENT OF KIM SORVIG.....1301

Reporter's Certificate.....1307

EXHIBITS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE ADMITTED

OGAP EXHIBITS:

2. Denomy Presentation.....1117

NEEPER EXHIBITS:

4. Neeper Resume.....1211

5. Neeper Presentation.....1211

6. Neeper Diagram.....1211

1 (Note: In session at 9:00.)

2 CHAIRPERSON BAILEY: Good morning. this is
3 a continuation of the Consolidated Cases 14784 and
4 14785 before the Oil Conservation Commission. Today
5 is Friday, May 18th and we are in Porter Hall in
6 Santa Fe, New Mexico. All three commissioners are
7 here present so we do have a quorum today.

8 I believe last evening we had Ms. Foster
9 completing cross-examination of Ms. Denomy, and we
10 are about to begin cross-examination by Ms. Gerholt.

11 MS. GERHOLT: I have no questions for the
12 witness, Madam Chair.

13 CHAIRPERSON BAILEY: Mr. Dangler?

14 MR. DANGLER: No questions.

15 CHAIRPERSON BAILEY: Dr. Neeper?

16 MR. NEEPER: No questions.

17 CHAIRPERSON BAILEY: Do you have any
18 redirect for the -- we do have commissioners.

19 MARY ELLEN DENOMY
20 after having been previously sworn under oath,
21 was questioned and testified as follows:

22 EXAMINATION BY THE COMMISSION

23 COMMISSIONER BALCH: Good morning,
24 Ms. Denomy. I wanted to make a statement that I
25 appreciate the effort it has taken you in your life

1 to become an expert in these areas. That's a
2 difficult task and I think multi-disciplinary
3 decision-making is very important.

4 THE WITNESS: Thank you, sir.

5 COMMISSIONER BALCH: I have some questions
6 on your side. Slide two from New Mexico Tech. I'm
7 guessing you mean from the Go-Tech website?

8 THE WITNESS: Yes.

9 DR. BALCH: The reason I differentiate is
10 New Mexico tech is a university and they cover a
11 broad range of disciplines. They have a number of
12 research divisions on campus there, one of which is
13 the Petroleum Recovery Research Center, and I happen
14 to work there along with my friend Martha Gather who
15 has the website. That's a state-funded agency
16 housed on the New Mexico Tech campus, so they are
17 the same but they're also a little bit distinct.

18 THE WITNESS: Yes. And Go-Tech has a much
19 more extensive in-depth presentation of the
20 statistics for the state of New Mexico.

21 COMMISSIONER BALCH: Right. So I will let
22 my neighbor down the hall know that I met someone
23 responsible for some of the three million hits a
24 year. That's my sales pitch for Go-Tech.

25 THE WITNESS: Thank you. It's much better

1 than most of the other statistical available
2 websites from the other states, so it's great.

3 COMMISSIONER BALCH: I will also note that
4 none of the lawyers tried to strike the slide so it
5 must be good data. On Slide 8, and this applies for
6 Slide 9 as well.

7 THE WITNESS: Is that oil prices?

8 COMMISSIONER BALCH: This is New Mexico
9 wells spudded and New Mexico permits are 8 and 9.
10 Looks like you did your statistics based on a
11 year-to-year change.

12 THE WITNESS: Yes.

13 COMMISSIONER BALCH: Was the intent for
14 these slides to demonstrate a difference between
15 pre-Rule 17 and post-Rule 17?

16 THE WITNESS: It was intended to show what
17 reality was, which is -- it could have something to
18 do with the Pit Rule or it could have something to
19 do with actual economics in the oil and gas industry
20 as whole. So it is strictly looking at numbers to
21 say what happened in the year 2009 across the board
22 with national, Colorado and New Mexico.

23 COMMISSIONER BALCH: I did some basic math
24 calculations last night. I'm not afraid of math.
25 I'm not a lawyer, I guess. I also an adjunct

1 professor of petroleum engineering, earth and
2 environmental science and computer science so
3 numbers don't scare me.

4 Just out of curiosity, I wanted to see
5 what the overall percent drop was from 2007 to 2011
6 and I came up with about 43 percent overall. Is
7 there a similar number for that nation-wide?

8 THE WITNESS: I need to go back to the
9 first slide. There would be nationally from 2007 to
10 2010, so the drop is not as significant.

11 COMMISSIONER BALCH: Actually it would be
12 the 1695 minus 1514 divided by 1695, but you are
13 doing this year by year?

14 THE WITNESS: Those are year by year but
15 if you are doing the kind of statistics that I think
16 you were looking at, you took New Mexico in 2007,
17 subtracted where we were in 2011 and then took the
18 difference between those two. So if you do the same
19 kind of concept for the national rig count, 1695
20 minus 1514 is 181 rigs less in 2010 divided by the
21 base year of 2007 or about 11 percent reduction
22 total.

23 COMMISSIONER BALCH: I'm sorry, this is
24 rig count.

25 THE WITNESS: Oh, okay. You're talking

1 about spudded wells.

2 COMMISSIONER BALCH: Yes.

3 THE WITNESS: I'm sorry, I have not looked
4 at a national spudded well situation. That's
5 looking at -- I did not look at that large of a
6 sample.

7 COMMISSIONER BALCH: This actually brings
8 up another thing that got my thinking, but it was
9 rig count. People use it as an indicator of
10 activity.

11 THE WITNESS: Uh-huh.

12 COMMISSIONER BALCH: But I was looking at
13 your Slide 10, which is historic stats on rigs, and
14 I notice in New Mexico in 2007 there were 83 rigs.

15 THE WITNESS: Yes.

16 COMMISSIONER BALCH: Those 83 rigs
17 drilled -- let's see -- 1728 wells so about 21 wells
18 per rig. Each rig was on a well pad probably a
19 couple weeks at a time.

20 THE WITNESS: Yes.

21 COMMISSIONER BALCH: In 2011 from your
22 historic stats here there were 81 rigs in New
23 Mexico, so the rig count has gotten back to the same
24 level, but I noticed that there were 990 wells
25 drilled.

1 THE WITNESS: That's interesting.

2 COMMISSIONER BALCH: So about 12 wells per
3 rig so almost double the time on-site or -- and you
4 can maybe correct me, but there's probably changes
5 in what's happening with the rig. Maybe in 2007
6 there were a lot of shallow coal wells being
7 drilled.

8 THE WITNESS: That very well may be.

9 COMMISSIONER BALCH: Maybe in 2011 there's
10 a lot of horizontals being drilled.

11 THE WITNESS: My indication would seem to
12 think because the prices for natural gas had dropped
13 significantly from '7 through '11, there was more
14 focus on drilling for oil wells which are a little
15 deeper than some of the Fruitland coal.

16 COMMISSIONER BALCH: I think there was
17 also an assertion yesterday by the public statement
18 from West Largo Corp.

19 THE WITNESS: West Largo, yes.

20 COMMISSIONER BALCH: That his rigging took
21 longer because of a closed-loop system. Might that
22 be a contributing factor?

23 THE WITNESS: That is a possibility, but I
24 haven't found that to be a significant reason across
25 the board. There are wells being drilled in seven

1 days in many areas that are using closed-loop system
2 and not --

3 COMMISSIONER BALCH: So it really depends
4 on the depth of the well.

5 THE WITNESS: It depends on the depth of
6 the well and it depends on other extenuating
7 circumstances. Have we got a problem? Is there
8 fishing that needs to be done? There's a number of
9 things that could cause it to take longer.

10 COMMISSIONER BALCH: Anyway, my take-away
11 from that is that maybe rig count is not a great
12 indicator of activity.

13 THE WITNESS: That's --

14 COMMISSIONER BALCH: If you disconnect it
15 from what's being done with the rigs.

16 THE WITNESS: That's correct. It depends
17 on what they are doing.

18 COMMISSIONER BALCH: Of course, I
19 complimented you on your multi-disciplinary
20 experience and then I highlighted my own, so now you
21 know why. One thing that I have not really had a
22 chance to explore is the economic side of drilling
23 decisions, and that's something that you have some
24 expertise in. So I am hoping I can get a little bit
25 of learning from you in regards to that. I have

1 talked to people in the industry that I know, and
2 I've done 15 years of research at a research
3 division at a college that's dedicated to improving
4 recovery in New Mexico, so I have had plenty of
5 opportunities to meet producers, talk to engineers,
6 geologists things like that. Not so much for
7 accountants.

8 When I do talk to these guys in Roswell or
9 up in Farmington and I ask them how they decide
10 whether a well is economical, they use terms like
11 portfolio, risk management, which I take to mean
12 that they have to manage the risk associated with
13 any particular project balanced with their overall
14 portfolio assets and possibilities of business that
15 they could do.

16 So one of the things they have to worry
17 about when they're drilling a well is that it may
18 not produce anything.

19 THE WITNESS: That's correct.

20 COMMISSIONER BALCH: It could be a dry
21 hope or they could have bad completion and the pit
22 produce less than they expect. Things like that.
23 They factor that into -- does that work for
24 portfolio risk management?

25 THE WITNESS: Yes. They look at where do

1 they have the right to drill across the nation.
2 They will look at okay, we have infrastructure
3 available in the areas that we have leases that we
4 have signed. Then they will look at, well, what
5 does it cost -- the kind of thing that I was talking
6 about where you need to look at future revenue from
7 a particular well site and then you compare it to
8 different places in the United States and then you
9 look at what is our risk in this area? Are we wild
10 catting? Are we the first person to drill in this
11 area? We have got a lease somewhere in -- maybe the
12 marathon when they did their first well in the
13 Bakken said, "This is a risky situation. We are in
14 a position where we have some extra money because
15 gas prices were high. We are going to take that
16 risk. We are going to wild cat, but it's a high
17 risk because nobody has done it."

18 So they have taken one step to do it. All
19 the sudden that risk portfolio to drilling in a
20 particular area, once it's been established, the
21 wild cat has been drilled, a second and a third,
22 then geologists in smaller independent companies
23 that don't have as much cash to spend on capital
24 will start looking on areas they can start focusing
25 in on, and say, "Okay, we think maybe around this

1 edge there may still be some possible production and
2 nobody has leased these ranchers in this area or
3 these acres in this area and let's take a chance."

4 So there is risk assessment done on what
5 has happened prior, how much money do we have and
6 how much money do we expect to make out of a
7 location.

8 So I will tell you that the smaller
9 independents don't have as much leeway on doing
10 that. They may have a portfolio of 100 leases that
11 they get to choose from and they don't have the
12 luxury of saying, "Okay, we are going to choose
13 whether we drill in Pennsylvania or Virginia or
14 Texas or New Mexico." Usually the smaller guys get
15 what's left over so they have to make the choices
16 among what they have available to them.

17 COMMISSIONER BALCH: I think if we go to
18 Slide 11, they will do this kind of analysis to
19 determine if it's going to be successful.

20 THE WITNESS: They start with do we do
21 this well? Is this a well that we are going to do?
22 Then to find out if it's successful, like I
23 mentioned yesterday, you need to do a number of
24 other steps. How much of it is going to be ours?
25 We expect maybe the well to make 4.2 million but we

1 have, like I said yesterday, burdens, which means we
2 have other parties that either are net profits
3 interest or royalty owners that have their leases so
4 we have to subtract their share.

5 Then we have taxes to look at. You know,
6 those are the kinds of things they look at for that
7 number and then they look at this money is being
8 earned over a long period of time. So 4.2 million
9 dollars today is not worth what it is earning it
10 over a 30-year period.

11 COMMISSIONER BALCH: That's what I looked
12 at a little bit. Because the number that's been
13 given to me is three to one or four to one expense.
14 So this well might not be drilled by somebody in
15 Roswell that's operating a small company. If you
16 looked at the annual rate of return over 30 years,
17 and I'm not an economics person, not an accountant,
18 but I do have a 403 B that I put money in so I like
19 to look at compound interest, and it comes to about
20 3.6 percent.

21 THE WITNESS: Yeah, I got 3.6 also.

22 COMMISSIONER BALCH: And then if you use
23 20 years it's around 4.6. If you triple the cost of
24 the well and add to that, basically giving you three
25 to one profit margin, that would be around 5

1 point -- I came up with 4.7. No, 5.6 percent, which
2 is maybe not too bad. Of course, you are talking
3 about today's dollars.

4 But I think also these investments in the
5 oil wells compete with other investments. Because
6 if you can take your money, your two million
7 dollars, and put it into a mutual fund and make 8
8 percent on average for 30 years, you are ahead of
9 making 5.6 percent on an oil well. And there's not
10 as much risk.

11 THE WITNESS: Right. There are a number
12 of other things that are looked at by the operators
13 and that is, you know, there is a market out there
14 for hedging, you know, looking at futures prices and
15 trying to make money in the stock market with their
16 oil and gas. There's also -- for the most part,
17 most oil and gas producers and people that are
18 involved in the business are always hoping for a
19 brighter day, you know. They are always
20 anticipating that that \$3 will be 10. So we are
21 looking at the worst case scenario. What is it
22 worth today? It's only worth \$3 in MCF but we think
23 in 2020 these wells will actually be making \$8.

24 COMMISSIONER BALCH: If you are saying
25 what you think I have to agree. I am astounded by

1 the risks people are willing to take.

2 THE WITNESS: It is a risk-based business.
3 Because you can drill a hole and get nothing or you
4 can drill a hole and become Jed Clampett.

5 COMMISSIONER BALCH: Sure. I wanted to
6 make sure my understanding of the economics was
7 correct. So certainly there's a lot of things that
8 go into these decisions about whether or not a well
9 is going to be economical. If you get to that fine
10 line where it becomes uneconomical or economical, I
11 think that's where additional costs can become an
12 issue at some level.

13 THE WITNESS: They certainly can.

14 COMMISSIONER BALCH: And whether it's \$1
15 more or \$100,000 more, as a math person you are
16 either 49.9 or you're 50.1, so it could effect yes
17 or no decisions. The reason I bring this up is
18 important and certainly addresses my point, is that
19 one of the things we are tasked with doing is
20 preventing waste, and the way that I have been told
21 to interpret waste is if you don't produce the
22 resource it's wasted. If it's left there it's
23 wasted.

24 I know that it may sound like a different
25 way to look at it, but that's the way this

1 commission was designed. One of the things we are
2 supposed to look at is waste in that sense.

3 THE WITNESS: I would say looking at it
4 from my perspective, money-wise, I would much rather
5 produce gas at \$10 an MCF and leave it in the ground
6 than to take it out at \$3 and put it in storage and
7 pay the cost of storing it until it does reach \$10.
8 So to me -- because it's a non-renewable asset, you
9 know. If that gas is sold at \$3, we never get it
10 back to sell it at \$5. So there are a number of
11 storage facilities that are used where gas -- you
12 know, you can look to see at the Energy Information
13 Administration how much gas is in storage because
14 most companies don't want to sell at \$3. They take
15 it and they would rather pay the storage costs and
16 leave it in the ground.

17 I mean, your perspective is they haven't
18 wasted it because they have taken it out of the
19 ground but they have actually moved it to another
20 location and put it back in the ground. From an
21 economics standpoint, gas sold at \$8 is a lot more
22 beneficial than selling it at \$3 and there's an
23 awful lot of industry decisions that are being made
24 today. We are not drilling for natural gas because
25 we cannot make money anywhere at \$3 or \$2.52 in this

1 region because we still have to transport. Because
2 we don't have enough customers.

3 You know, all the big customers are in
4 California, Texas and in the Northeast. So that \$3,
5 after we pay all of our expenses, we don't make any
6 money. So is it waste leaving it in the ground or
7 is it waste taking it out of the ground and putting
8 it in storage until the price goes up? I mean, you
9 have your definition of waste but us accountants
10 would say don't you dare sell that gas at \$2.52.

11 COMMISSIONER BALCH: If you can bank it.

12 THE WITNESS: Yeah.

13 COMMISSIONER BALCH: And right now storage
14 nation-wide is pretty much full.

15 THE WITNESS: It's full. Leave it in the
16 ground. Years ago it was the practice to actually
17 shut down the wells when there wasn't -- I mean, you
18 would have a well drilled and actually turn it off.
19 With technology over the years the engineers have
20 discovered the on and off have ruined the pressures
21 so they keep it flowing but reduce the flow just to
22 make sure that they are not selling gas at such a
23 low price.

24 COMMISSIONER BALCH: You could have
25 extended delivery contracts and things like that.

1 THE WITNESS: They have to cover their
2 contracts.

3 COMMISSIONER BALCH: I'm not going to beat
4 that slide anymore.

5 THE WITNESS: That's okay.

6 COMMISSIONER BALCH: Slide 19, which I
7 have as your cost of cleanup of earthen pit slide.
8 I wanted a clarification. The cost would be
9 diverted to citizens and government of New
10 Mexico. Is that assuming that all pits are going to
11 eventually have to be cleaned up?

12 THE WITNESS: It is assuming that if we
13 have a problem with a pit that somebody will have to
14 pay that cost. Now, most states have a bonding
15 that's done to help with that cleanup when a company
16 stops doing business, you know. If our prices stay
17 this low there will be more and more companies that
18 either merge or just not maintain their business.
19 So something is going to have to be done to clean up
20 the pits.

21 I was chewing on that this morning. We
22 have to come up with something to deal with this. I
23 mean, moving it -- the waste, moving it from one
24 place to the other, moving it to an ejection well,
25 and that was one of the things that was asked of me

1 yesterday was what do they do with the cuttings, and
2 I remember that they are doing some innovative stuff
3 in Colorado where they are actually putting the
4 cuttings down beneath the lower total depth of the
5 gas. They are reinjecting it back into the gas
6 wells, putting a plug, in putting the cement and
7 leaving it there. They are also asking for ejection
8 wells nearby and putting the cuttings into those.

9 COMMISSIONER BALCH: So they are saving
10 the cuttings and when they go to plug the well --

11 THE WITNESS: Yeah, they save the cuttings
12 and when they go to finish with the last cementing
13 they put it down underneath it, which some folks are
14 not real excited about because what if they need to
15 go back and do a lower formation?

16 COMMISSIONER BALCH: Right. There are
17 wells in southeast New Mexico that have been
18 continuously operating since 1927.

19 THE WITNESS: They may have a deeper
20 formation that hasn't been developed or some other
21 mineral other than oil and gas.

22 COMMISSIONER BALCH: You would have to
23 store the materials somewhere on-site.

24 THE WITNESS: Yes, they store them on-site
25 and then they put them down beneath the closing of

1 the well. You have to do something with the waste.
2 We are moving it to the land farms, moving it to
3 central pits, but we have to do something with it.
4 It just gets moved from place to place.

5 But, you know, what I am saying here is
6 that this particular situation that I'm talking
7 about was one of the centralized pits that --
8 actually, it was one of what you would call the
9 equivalent of the fluid management pits that did
10 like 24 wells off of one pad and it was in that pit.
11 They used a pit there for the 24 wells.

12 When the Commission came up and did their
13 inspection, they realized the contaminants that were
14 there needed to be taken care of and the soils
15 around it also needed to be taken care of. It just
16 wasn't done to standards. So the company had to pay
17 to get -- you know, because we sit here and
18 sometimes our guys that are out in the field don't
19 always do exactly what we ask them to do and
20 sometimes those things happen. So this company,
21 fortunately, stepped up and paid the cost. But if
22 they were a small company that didn't have the extra
23 \$100,000 to clean up the pit after it was dried out,
24 it might not have been -- it might have had to fall
25 to the state of Colorado to take care of it.

1 COMMISSIONER BALCH: I assume there's a
2 bonding.

3 THE WITNESS: Yeah, there's bonding, but
4 there's a \$100,000 bond for the entire state for all
5 of the drilling so it doesn't go too far. There is
6 an emergency clean-up fund that comes out of the
7 conservation levy in the state of Colorado and that
8 would come out of there, but that is also a limited
9 resource also. It's a tax that goes on to oil and
10 gas, which would mean that some other company would
11 end up paying because it's a tax -- either the
12 mineral owners or the oil and gas companies that are
13 still surviving would end up paying those costs.

14 COMMISSIONER BALCH: Thank you for that
15 clarification. Those are my questions.

16 CHAIRPERSON BAILEY: Mr. Bloom?

17 COMMISSIONER BLOOM: Good morning,
18 Ms. Denomy.

19 THE WITNESS: Good morning.

20 COMMISSIONER BLOOM: If you would go back
21 to Slide 15, please, on comparison costs. I wanted
22 to check something there. I had some questions
23 about the spudding so I wanted to talk about a few
24 things here. On the central pits, I think
25 Ms. Foster asked you about those. The cost at

1 \$46,500, so essentially if there's a pit that is
2 servicing, say, ten wells and it was a \$460,000
3 well, they would just divide it by the ten wells and
4 push the cost out --

5 THE WITNESS: Exactly.

6 COMMISSIONER BLOOM: Okay. Everybody pays
7 their share there. Okay. Have you been involved in
8 any projects involving central pits?

9 THE WITNESS: Projects in what way? The
10 actual building?

11 COMMISSIONER BLOOM: Costing them out,
12 looking at the economics.

13 THE WITNESS: No.

14 COMMISSIONER BLOOM: I think you mentioned
15 that you are on maybe your county's oil and gas
16 committee?

17 THE WITNESS: My local community's oil and
18 gas committee. We are small potatoes. I live in
19 Parachute, Colorado. It's small. It's not a
20 significant committee.

21 COMMISSIONER BLOOM: Is it
22 community-appointed?

23 THE WITNESS: Yes, it is
24 community-appointed. I actually live in an
25 unincorporated town that has a quasi-government kind

1 of thing that's run by the developer that developed
2 that area, so you get appointed to that committee.

3 COMMISSIONER BLOOM: Through that
4 committee have you looked at central pits?

5 THE WITNESS: Actually, we have. The
6 community that I live in, we have -- we are one of
7 the few communities that are not one of the large
8 cities that the oil and gas industry has pinpointed
9 actual locations within our PUD or our planned unit
10 development within our community. So as part of
11 that process, according to the state of Colorado
12 they need to do a community development plan, the
13 company needs to do a community development plan.
14 So as part of that development plan we have done an
15 extensive amount of walking the ground where a
16 centralized pit would go. Because being in such
17 close proximity to homes, within 500 feet of a home,
18 the fluids need to be taken to a different location
19 other than next to the homes.

20 So we have looked -- the committee has
21 looked at where the pit may be and what kind of
22 special requirements that will be required of that
23 pit, because it will still be within the community,
24 and downwind of a few folks.

25 COMMISSIONER BLOOM: Remind me what sort

1 of fluids are in the central pits.

2 THE WITNESS: It is all drilling -- it
3 will be taking produced water, it will be taking
4 drilling muds, it will be taking the cuttings, it
5 will be taking anything that is liquid that comes
6 out of the drilling.

7 COMMISSIONER BLOOM: The one in your
8 community, would it go within -- it would be up to
9 500 feet from a home?

10 THE WITNESS: We are trying to keep it a
11 little further than that, but the company has put
12 forth an interesting idea. They are using an idea
13 from a chicken farm about keeping the pit covered.
14 They haven't tested it yet, so I'm not sure if
15 that's going to work. To keep it covered to keep
16 the odors that do permeate from the chemicals and
17 the hydrocarbons that do go into the pit from
18 causing some heartache with the seniors that live in
19 the community where the pit is going to be located.

20 COMMISSIONER BLOOM: What would the volume
21 of the -- how much water would be in the pit, do you
22 know?

23 THE WITNESS: You know, I can't tell you,
24 but they are planning on using -- like I said
25 yesterday, it takes about a million gallons for a

1 well to drill, between drilling and completion, so
2 they do about -- this company does a small number,
3 probably financing situations, but they do about
4 eight at a time, so probably, you know, half of that
5 would end up in it, you know, four million gallons.

6 COMMISSIONER BLOOM: Four million -- about
7 ten acre feet?

8 THE WITNESS: Yes.

9 COMMISSIONER BLOOM: Have you visited
10 other central pits?

11 THE WITNESS: Yes.

12 COMMISSIONER BLOOM: Is odor an issue?

13 THE WITNESS: Yes.

14 COMMISSIONER BLOOM: At what distance?

15 THE WITNESS: Well, are you familiar with
16 I-70 corridor in Colorado? It runs from Grand
17 Junction -- well, it runs from Utah to Kansas. It's
18 the only highway that goes across. From that
19 highway, probably about two miles back there's a
20 centralized pit and from the highway you can smell
21 the odors that come from the centralized pit.

22 COMMISSIONER BLOOM: How far away did you
23 say it was?

24 THE WITNESS: I believe about two miles.
25 It's not even visible from the highway but the odor

1 is there. So if you drive past it, you can smell
2 it.

3 COMMISSIONER BLOOM: Were you here for Mr.
4 Lane's testimony when he spoke about multi-well
5 fluid management pits?

6 THE WITNESS: I apologize. I wasn't
7 there. I had another meeting in Colorado.

8 COMMISSIONER BLOOM: One of the things
9 that he pointed out was that there were facilities
10 there to clean water that would come back from the
11 wells, as I understood it. Would something like
12 that be on the pit that would be near you?

13 THE WITNESS: It is not. They aerate to
14 get rid of the water so that the remaining solids,
15 either the oil that's left gets extracted. That one
16 does not have --

17 COMMISSIONER BLOOM: Okay. Is there a
18 size limit to central pits in Colorado, do you know?

19 THE WITNESS: You know, I can't tell you
20 exactly if there is, but I know if there is a
21 necessity they could probably could ask for a
22 waiver, and if they showed the need, it would
23 probably be accepted.

24 COMMISSIONER BLOOM: I think you mentioned
25 in your testimony that generally a central pit will

1 service a few dozen wells?

2 THE WITNESS: Well, you know, there are
3 two -- the central pit that I'm talking about is
4 like the waste management pit. It's the pit where
5 everything goes from all the wells in a certain
6 location. The kind of FMP that Mr. Arthur put up
7 with four wells being put in one pit is just a
8 normal lined pit that goes alongside the regular
9 producing -- the drilling wells.

10 And like I said, they could have -- in our
11 community we probably will have eight wells drilled
12 at one time so it will service eight wells out of
13 that one pit. But there are -- my community, we had
14 a well site that was drilled right across the street
15 from our town police. You drive right past it. And
16 they drilled, I think, 24 wells. So that pit
17 serviced 24 drilling wells right at that location.

18 So those, I think, are more along the
19 lines as opposed to a waste pit that I was talking
20 about that you could smell from two miles away.
21 Every well site now is usually, in the state of
22 Colorado, a multi-well. I mean, to do some
23 environmental protections and to make the pad sites
24 not a five-acre here, five-acre here, they become,
25 you know, one for 20, and it's a little bit larger

1 but it doesn't come to the 15 acres so they will use
2 one site for 20.

3 Actually, now they are using one for 64 so
4 they can actually do a whole section from one pad
5 site. It's very large but it's not as large as one,
6 one, one, 64 different pads. Did I answer your
7 question?

8 COMMISSIONER BLOOM: Yes, you did. Thank
9 you. And just finishing up, do you know if there's
10 a lifespan or age limit to the central pits?

11 THE WITNESS: Well, I think I mentioned
12 yesterday the one that was there has been there for
13 12 years. I don't think there is a limit that is
14 set by the State on the length of those pits. I do
15 know of one that is just west of me that the company
16 has asked to close it in. They are done using it,
17 done drilling in that area. They found another
18 source to take the produced water and they just --
19 they are closing it up. So they made the request to
20 say we are closing this one. I don't think there's
21 a maximum time.

22 COMMISSIONER BLOOM: Can you speak to
23 liners and alarm systems?

24 THE WITNESS: You know, I don't -- I don't
25 remember if there is a liner in the central pit. I

1 do know that all of our pits in the state of
2 Colorado are required to have liners and they are
3 required to be removed and taken to the landfills,
4 which has caused a major heartache with our
5 landfills because they don't know what to do with
6 all those liners. Again, they don't know what to do
7 with all the waste.

8 COMMISSIONER BLOOM: Just following up on
9 one of your other answers, you said that almost all
10 developments are using central wells now, and can
11 you speak to the economics of that at all?

12 THE WITNESS: Well --

13 COMMISSIONER BLOOM: And/or environmental
14 impacts.

15 THE WITNESS: Okay. I'm not an
16 environmentalist, so the kind of questions that you
17 might want to ask, is it less environmentally, might
18 be better asked of somebody who has that experience
19 in environmental science. I will tell you that one
20 of the companies I do the accounting for, I have
21 side-by-side AFEs. Not even AFEs. They are
22 already -- they are like where it says as of the
23 final accounting because an AFE is just the budget.
24 The authorized expenditures. We guess it's going to
25 be this much, like Mr. Sauck yesterday said, "We

1 guessed it was 8,000 but it ended up being 76."

2 So the final numbers showed that one of
3 the operators that this particular company is a
4 working interest owner was is paying \$70 a foot to
5 drill and complete, and the other company that they
6 are a working interest owner that uses the
7 closed-loop system -- this one uses the pit, the
8 other uses the closed-loop system -- was \$69.96 a
9 foot. So we are talking less than a dollar
10 difference per foot.

11 It was a 7450-foot well, pretty much the
12 same depth, so we are looking at, you know, a
13 difference between the two of less than a dollar.

14 COMMISSIONER BLOOM: I'm sorry, one was --

15 THE WITNESS: Well, and actually the
16 closed-loop system company was a little bit cheaper
17 by the dollar than using the pit.

18 COMMISSIONER BLOOM: Could you provide us
19 with those AFEs?

20 THE WITNESS: I cannot. I'm sorry.

21 COMMISSIONER BLOOM: If they would allow
22 it?

23 THE WITNESS: You know, I could ask my
24 gentlemen if he would do that. But there's no
25 guarantee that he would say yes. You know, as an

1 auditor for a couple of counties and, you know, AFEs
2 are indicative of -- the counties charge tax on
3 personal property. What I was talking about
4 yesterday, the tanks and those kinds of things. So
5 to find out what the value of the tanks is would be
6 very beneficial to the County Assessor for
7 assessment. And asking for that even as a
8 government official in an audit, it has become
9 problematic. It's not something that -- it's -- you
10 know, they don't want another company to know what
11 their costs are.

12 COMMISSIONER BLOOM: Ms. Denomy, thank
13 you. No further questions.

14 CHAIRPERSON BAILEY: And I have no
15 questions.

16 REDIRECT EXAMINATION

17 BY MR. JANTZ

18 Q. Ms. Denomy, since we are on the subject,
19 you talk a lot about some of the experience that you
20 have with and you've thrown out some data that you
21 have had based on your experience as an accountant.
22 But you haven't named names.

23 A. That's correct.

24 Q. Can you explain why that is?

25 A. Well, number one, in my career with audits

1 and those kinds of things, even working for state
2 governments and federal governments as well, I have
3 had to sign umpteen million confidentiality
4 agreements. Some of them that don't even allow me
5 to talk to myself or my client, you know. Some of
6 them have gone as far as to say I can't tell the
7 information to my client. So that's one of the
8 requirements.

9 The second thing is as a CPA we have an
10 ethics that unless we are subpoenaed in a court of
11 law that requires testimony to be divulging of
12 personal financial information, I just cannot do
13 that without the permission of the individual.

14 Q. So it's simply a limitation based on your
15 position as a CPA?

16 A. Yes.

17 Q. You don't have the same latitude as an
18 operator?

19 A. No.

20 Q. But the information that you've provided
21 today and that you provided is based on your
22 experience, is it not?

23 A. It's based on my experience and where I
24 know that there is public information available that
25 can be used.

1 Q. And your testimony is sworn under penalty
2 of perjury; is that correct?

3 A. Yes.

4 Q. So let's talk some specifics. One of the
5 questions on cross-examination was based -- talked
6 about the figure of 1,000 barrels of condensate. If
7 we could have that slide. There's some discussion
8 about the way in which you arrived at that 1,000
9 barrels of condensate. Could you talk about that?

10 A. Well, having gone back and thinking about
11 what I have available to point to as public
12 information, I was an expert witness in the Savage
13 v. Williams, the Clough v. Williams and the Grynberg
14 v. Williams court cases in which the documents that
15 were presented in court and stipulated to and
16 allowed to be presented in court showed one of these
17 centralized pits. Those three cases had to do with
18 underpayment from Williams to those three
19 individuals.

20 In the course of discovery, which is
21 getting documents to look at and to look at the
22 information that the company has to provide to me to
23 look at, there was a disclosure of how much actual
24 condensate was produced out of these centralized
25 pits. Because the value of those dollars was remiss

1 in being paid to the mineral owners and the working
2 interest owner that had a share in the wells that
3 were being put into that centralized pit.

4 So it was not out of the realm for, you
5 know, the 30 wells that were going in there to
6 produce a million barrels a month in condensate
7 revenue. That was during a period of time where it
8 was somewhere between 19 and \$40 a barrel. So this
9 number is nothing but conservative about what can be
10 produced out of the centralized pit.

11 Q. There's also a question in
12 cross-examination about the comparison in rig counts
13 and production between New Mexico and Texas, and the
14 question was why you didn't include Texas and
15 Oklahoma. Can you explain why you didn't?

16 A. I believe that Texas and Oklahoma are not
17 as similar in their production as New Mexico, and,
18 you know, that was just a decision that I made.
19 Texas produces a whole lot more oil than either one
20 of these two states do, Colorado or New Mexico. I
21 think Ms. Foster yesterday said, "Well, we only
22 produce natural gas in Colorado," and the Weld
23 County does produce a good deal of oil and so does
24 the Rangely Field, so it was just a choice that I
25 made.

1 Oklahoma's wells are drilled much deeper.
2 Texas wells are drilled in different formations.
3 There's the Barnett Shale and the Eagle Ford.
4 Southwest Colorado is very similar. I mean, they
5 share some of the same basin in the natural gas
6 field and the Fruitland Coal area, and so that was a
7 choice that I made.

8 Q. Now, you mentioned Fruitland Coal. That
9 was one of the questions you also got on
10 cross-examination. And I believe the question had
11 to do with your estimates of a typical amount of gas
12 that a Fruitland Coal well might produce. Can you
13 explain your answer about that?

14 A. Well, you know, I had the opportunity last
15 evening to actually go back and look at the
16 Fruitland Coal. I looked at a number of companies,
17 a number of wells, and my numbers are not right.
18 Actually, the production that comes out of the
19 Fruitland Coal is not a million MCF but upwards of
20 six million, 12 million, two million, five million.
21 Looking at various companies, small and large, BP, I
22 was -- this amount of 4.2 million is probably closer
23 to at least seven times that amount in the Fruitland
24 Coal. And the cost of drilling, because it is only
25 in a depth of between 1800 and 3500, is

1 significantly less.

2 Q. So the million MCFs that you originally
3 estimated as a typical Fruitland Coal well
4 production was an underestimate?

5 A. Yes.

6 Q. And what data did you look at?

7 A. I looked at the OCD -- actually, the
8 Go-Tech site for many hours yesterday and this
9 morning. In addition to that, I did find that the
10 Blanco Hub's price yesterday was \$2.45.

11 Q. Let's talk about the Blanco Hub. There
12 was a series of questions about the indices that you
13 used to gauge the price of oil and gas. Ms. Foster
14 suggested that perhaps the San Juan Blanco index was
15 probably a better one to use than the ones that you
16 were using. Do you agree with that?

17 A. Well, you know, it would be. However, the
18 price that is put out as an index price changes
19 every day. Every day there's a different price.

20 When the Energy Information Administration
21 does their total, they do an average for the year.
22 So it would mean that I would do their job, take
23 what production was done in the state of New Mexico,
24 add up -- well, they don't do trading every day. So
25 it would be less the weekends, all the year's worth

1 of prices for the Blanco Hub, and then come up with
2 my own average. Because looking at a particular day
3 doesn't tell you exactly what the total value was
4 for the year, what was the average value for the
5 year. That's what the Energy Information
6 Administration does, is they do an annual amount.
7 The Blanco Hub gives you a daily amount.

8 Q. So one is a longer term --

9 A. One is an average for the year.

10 Q. That's the longer-term picture?

11 A. Yes.

12 Q. Rather than a daily snapshot?

13 A. That's right.

14 Q. This spreadsheet is not based on a
15 particular well; is that correct?

16 A. It is not.

17 Q. However, is it based on your experience
18 dealing with wells like this?

19 A. Yes, it is.

20 Q. So this represents a typical well?

21 A. This is a typical sample well.

22 Q. So one might expect similar numbers for a
23 well drilled in Southern Colorado, say?

24 A. Yes.

25 Q. At this depth?

1 A. Yes.

2 Q. Same for Northwestern New Mexico at this
3 depth?

4 A. Yes.

5 Q. I think there was maybe some
6 misunderstanding about the actual amount of income
7 on this well. The figure of \$134,000 --

8 A. I think it's 143.

9 Q. \$143,000. That's right. I'm sorry I get
10 a little dyslexic with numbers. I am afraid of
11 math, by the way. The \$143,000, that's not a total
12 income for the well over the life of it, is it?

13 A. No, it's marked right next to. It's net
14 income per year. All that number is is 4.2 million
15 net income divided by 30 years.

16 Q. So that, just to be clear, is the yearly
17 income that this operator --

18 A. And it's not -- it's just a number that
19 you can anticipate. Wells do not make a profit in
20 the first several years.

21 Q. So again, this is a producing well.
22 Obviously, and this is a pre-drilling budget, based
23 on a pre-drilling budget?

24 A. It's should we drill this well or not.

25 Q. Can we go to the Texas Railroad Commission

1 and the Oklahoma slides, please? As the Commission
2 can see, you amended these slides to include the
3 source for the information. I E-mailed counsel the
4 source for the documents yesterday.

5 MR. JANTZ: Did you get those?

6 MR. SMITH: I have no idea. My computer
7 has been down. They upgraded my operating system
8 and it's a whole new world but I will do what I can
9 to locate something and get it to you guys.

10 Q. I did E-mail all counsel, including
11 Commission counsel, the links for this information.
12 Let's go to the next one if we could. This is
13 public information, is it not?

14 A. That is correct.

15 Q. But based on your experience, is this a
16 typical savings that somebody could -- an operator
17 could expect for a closed-loop system?

18 A. They could. In my real life example of me
19 looking this week, it was probably closer to 7,000
20 but this was an Oklahoma finding.

21 Q. Let me ask one more series of questions,
22 if I could. Commissioner Balch talked about
23 situations where there may be a marginal well where
24 additional costs could tilt the balance between
25 deciding whether to drill or not to drill, and he

1 talked about waste in the context of that decision.
2 Under Commissioner Balch's definition of waste,
3 which is, you know, the definition that the
4 Commission works under, that doesn't mean a producer
5 has to produce the mineral at a loss, does it?

6 A. Well, I don't know. Because --

7 MR. FELDEWERT: I'm going to object on the
8 grounds I think it calls for a legal conclusion.
9 I'm not sure she reviewed the statute and the
10 regulatory provisions dealing with waste.

11 CHAIRPERSON BAILEY: I will sustain that.

12 Q. Have you ever had a client volunteer to
13 produce mineral at a loss?

14 A. Not voluntarily.

15 Q. Have you ever had a client forego a
16 mineral resource based on the cost of regulatory
17 compliance?

18 MR. FELDEWERT: I object on lack of
19 foundation. I think she testified that her clients
20 are working interest owners.

21 MR. JANTZ: That's not what she testified
22 to.

23 CHAIRPERSON BAILEY: The objection is
24 overruled.

25 A. Could you please repeat the question?

1 Q. Sure. Have you had -- in your experience
2 have you had any client who has foregone -- decided
3 not to drill a resource based on the cost of
4 regulatory compliance?

5 A. Not that specifically, no.

6 Q. Thank you, Ms. Denomy. That concludes
7 your testimony. At this point I would like to move
8 Ms. Denomy's PowerPoint into evidence minus the last
9 two slides dealing with the BP information.

10 CHAIRPERSON BAILEY: Any objections?

11 MS. FOSTER: Yes. I would object. The
12 testimony that was given yesterday specifically in
13 the two slides with the heading of the Environmental
14 Protection Agency, she stated that had nothing to do
15 with this case because it had to do with greenhouse
16 gases and there are was not relevant to this case
17 whatsoever. That was the testimony yesterday. Then
18 there were -- well, those would be the two that I
19 would object to specifically and that would be it.

20 MR. FELDEWERT: Madam Chair, I think we
21 have lodged objections to basically Slide 11 on, the
22 spreadsheet, on the grounds that there's no basis
23 for the numbers shown. She can't disclose the
24 source of those numbers and apparently they come
25 from a lot of different sources. She indicated in

1 some circumstances she had the documents available
2 but felt she couldn't bring them and show the source
3 documents to the division. So I don't think there's
4 any foundation for the exhibit.

5 CHAIRPERSON BAILEY: I agree with
6 commission counsel that we will not accept the two
7 with BP or the two concerning greenhouse gases.

8 MR. JANTZ: So if it's okay with the
9 Commission, I will strike those two slides and
10 submit the remainder to the court reporter for
11 inclusion in the record.

12 THE WITNESS: I believe it's four.

13 MR. JANTZ: The four slides if that's okay
14 with the Commission. If that's an acceptable
15 procedure, I will do that.

16 CHAIRPERSON BAILEY: Yes, we will accept
17 that.

18 MR. JANTZ: Thank you, Madam Chair.

19 CHAIRPERSON BAILEY: Does that conclude
20 your presentation?

21 MR. JANTZ: It does, Madam Chair.

22 (Note: Exhibit 2 admitted.)

23 CHAIRPERSON BAILEY: Then the witness may
24 be excused. Commission counsel has made a
25 suggestion that I will ask him to explain to the

1 attorneys in the case.

2 MR. SMITH: At the conclusion of the
3 hearing, not just simply today, but once the record
4 is closed, I'm hoping that the Commission Chair will
5 instruct you all to submit a document to the
6 Commission that supports with citations to the
7 record the testimony and exhibits and/or supports by
8 argument why each of the proposed modifications
9 should or should not be made. And you can conclude
10 in that a preface that would be styled as a closing
11 argument.

12 This is not to say that you would
13 necessarily have to -- how you organize it would be
14 entirely up to. It isn't that you would have to go
15 through each individual change and explain each one
16 unless you wanted to. What you could do is cite to
17 various testimony, various exhibits and then argue
18 that that evidence supports this change and that
19 change or doesn't support this change or that change
20 as long as you give what you believe to be evidence
21 that the support is either making or not making each
22 change.

23 By doing that, I think you will help --
24 you will certainly help me draft an order, but more
25 importantly, I think you will help the Commission in

1 their deliberations, particularly since they are
2 going to deliberate in all likelihood well after the
3 hearing. It probably will produce a better order.

4 I would hope it would produce a more
5 timely decision and a more timely order and you all
6 are more familiar with your cases and what you put
7 on and what you think than the Commission is
8 regardless of the amount of focusing they have done.

9 So the reason I wanted to tell you this
10 now is because even though you don't have the record
11 yet you know what you have done, you know what you
12 think, you know what your arguments are going to be
13 so you can work on it whenever you feel like it. So
14 I wanted to give you a heads-up on that.

15 MR. CARR: When would this be due?

16 MS. FOSTER: When would the record be
17 available?

18 MR. SMITH: When the record is going to be
19 available is up to the court reporter. When it's
20 going to be due I think is something that you all
21 can work out with the Commission. Certainly if you
22 want it to be due prior to deliberation, after
23 production of the transcript and, you know, in that
24 interim, that's sort of up to you guys and the
25 Commission.

1 MR. CARR: I had heard you say maybe it
2 was due before the June part of the hearing and I
3 was going to say --

4 MR. SMITH: Oh, no. I'm sorry.

5 MR. CARR: That's going to be a neat
6 trick.

7 MR. SMITH: No. The only reason I mention
8 it now is because, you know, if you wanted to you
9 can get a jump on it. It's just a matter of
10 courtesy.

11 CHAIRPERSON BAILEY: We do not have
12 predetermined decisions to this case.

13 MR. CARR: Sometimes we don't have a lot
14 of predetermined evidence.

15 CHAIRPERSON BAILEY: Transcripts are
16 normally given to the OCD within two weeks of the
17 hearing date, so possibly three weeks after the end
18 of the June last day, which would be June 22nd, so
19 that we would have them available for our
20 consideration before we have our deliberations.

21 MR. CARR: I have one other thing and it's
22 not directly related to this but it's procedural.
23 In our prehearing statement we identified certain
24 witnesses would be available for rebuttal. When we
25 go back to June, some of them may not, particularly

1 Dr. Thomas, may not be available. If anyone is
2 planning to recall them it would be helpful if they
3 notify us.

4 CHAIRPERSON BAILEY: I think that is a
5 courtesy that should be extended. All right. Then
6 we will go to Dr. Neeper. Would you like to make an
7 opening statement?

8 MR. NEEPER: I made an opening statement
9 when we began the proceedings so I am ready to give
10 the testimony. But Madam Chairman, might we have a
11 ten-minute break at this time and then I can
12 proceed?

13 CHAIRPERSON BAILEY: Yes. We will come
14 back in ten minutes.

15 (Note: The hearing stood in recess at
16 10:02 to 10:13).

17 MR. NEEPER: I will switch between files
18 while I qualify myself simply because it's shown up
19 in two different files. I found it had to be that
20 way because if I put the qualification file in the
21 same file as the testimony it would change the page
22 numbers. There are five copies of exhibits in the
23 rear of the room. Included is one copy electronic
24 unless someone prefers electronic.

25 DONALD NEEPER

1 after having been first duly sworn under oath,
2 was questioned and testified as follows:

3 MR. NEEPER: My name is Donald Neeper. I
4 am representing a small group that's been concerned
5 with the environment in New Mexico for more than 40
6 years, New Mexico Citizens for Clean Air and Water.
7 We generally confine our attentions to technical
8 matters as contrasted with political-type
9 activities.

10 I reside in the town Los Alamos where I
11 have been employed for many years and I will present
12 some technical personal background.

13 This is Exhibit 4. I recognize that it's
14 small on the screen but those who have exhibits can
15 see it. If you can't see, you won't miss much. I
16 am retired from the Los Alamos National Laboratory.
17 I have a Bachelor's Degree in Physics from Pomona
18 College, M.S. and Ph.D. in physics from the
19 University of Wisconsin.

20 In terms of experience, following graduate
21 school I spent two years in military service. I
22 then spent more than two years at the University of
23 Chicago continuing research in low temperature
24 physics. After that I came to Los Alamos National
25 Laboratory at the opposite end of the temperature

1 scale in the design of thermonuclear weapons.

2 The design in that case was what we might
3 now call modeling, but that word wasn't in use then.
4 Or simulation, which wasn't in use. We called it
5 numerical experimenting but it was earlier
6 experience in what is now called computer modeling.

7 Within these years at the Los Alamos
8 National Laboratory after about seven years in
9 weapon design I became fascinated with solar
10 buildings. I moved into the solar buildings
11 research group. Unfortunately, they made me group
12 leader a year or two after that. I didn't really
13 want to do that. I wanted to do the work myself.
14 But that kind of work conceptually isn't that
15 different than a lot of other science concerning the
16 thermodynamics of buildings and a lot of really good
17 work got done until such time as the funding dried
18 up.

19 Following that, I was doing numerous
20 things in heat transfer and this relates back to why
21 I am here today. I was looking at a very strange
22 paper showing extremely high values of heat transfer
23 in a fluid just because the fluid is oscillating
24 back and forth, and I am wondering what is this?
25 The mathematics was a little obscure and I couldn't

1 understand it.

2 At that point the phone rang and it was
3 the Air Force calling saying, "We found your name in
4 the solar energy literature. Can solar energy do
5 anything to help us out with fuel spills? We have
6 these tremendous fuel spills."

7 I thought about it a while and I said,
8 "No, I don't think we can cure your fuel
9 spills," and then it struck me maybe this thing
10 about heat transfer in a moving fluid could apply to
11 contaminant transport in soils and I have been kind
12 of playing with that idea ever since.

13 Now, to play with an idea as a scientist
14 you about have to have funding. One way to maintain
15 this idea alive was to take the position as the
16 operable unit project leader, as it is called, for
17 the RCRA facility investigation of four different
18 disposal sites at Los Alamos National Laboratory.
19 Two of those sites are rather famous or infamous.
20 One is still operating hot dump known as Area G.
21 The other one was for many years a chemical disposal
22 area known as Area L. My interest got into that
23 because there was a large chemical vapor plume
24 around Area L, and I'm saying my ideas apply to the
25 vapor plume. We need to do some investigation.

1 So that got me started in soils, got me
2 started into environmental drilling. The laboratory
3 offered an early retirement in 1993 across the
4 board. I elected I could be more free if I were
5 retired so I took the early retirement and for
6 several years thereafter worked in either of two
7 consulting firms. One is cited here, I believe,
8 Science and Engineering Associates, dealing with
9 that vapor plume and with other funded tasks that
10 might come to those consulting firms.

11 After that sort of wore out about 2002, I
12 went back to the laboratory as a guest scientist
13 sitting with the numerical hydrology people pursuing
14 really my own interest, which was of mutual benefit.
15 I could use their code, I could have a colleague at
16 least with whom I could talk. We could work
17 together, and my kind of calculations so stretch
18 what might be thought of as a more ordinary computer
19 code that I was very useful to them at finding bugs
20 and things they didn't think of because I would run
21 on the pure physics and say it ought to do this and
22 you built in some assumption in your coding and in
23 this weird circumstance it would give a bad answer.
24 So we were mutually helpful to each other.

25 I submitted my final two technical papers

1 to the vadose Zone Journal a year ago and I hope
2 they will finally be published next month. There's
3 been continuing problems with page proofs and what
4 not, and I have cleaned out my desk at the
5 laboratory about two weeks ago so I no longer have
6 that association.

7 There is on the second page a list of
8 publications related to soils. The rest of the
9 publications that I might list there run on for a
10 few pages, but I think they would be irrelevant to
11 our purposes.

12 I will step forward a couple slides into
13 this and then request qualification. I have
14 testified before this Commission several times
15 previously. These slides have been used previously
16 and so Madam Chairman is fully within her rights if
17 she wants to sleep through it. She has heard it
18 before. I list it simply to establish what is soils
19 physics or to give some idea that this is a
20 legitimate term by listing the books I found in 2007
21 in the Los Alamos library with soil physics in their
22 title somewhere.

23 This slide was taken from the website of
24 the Soil Science Society of America. Their first
25 division is the Soil Physics Division. So I am

1 simply establishing soil physics has a legitimate
2 scientific pursuit. There's the list of books with
3 soil physics in the title.

4 And so with that background, Madam
5 Chairman, I submit New Mexico Citizens for Clean Air
6 and Water Exhibit No. 4, which is my qualifications,
7 my history for your consideration or acceptance.

8 CHAIRPERSON BAILEY: Is there any
9 objection?

10 MR. JANTZ: No.

11 MS. GERHOLT: No objection.

12 MS. FOSTER: No objection.

13 MR. HISER: I have a question. That is
14 what exactly Dr. Neeper proposing to qualify himself
15 as?

16 THE WITNESS: That is the next topic,
17 Madam Chair.

18 MR. HISER: No objection to the exhibit.

19 THE WITNESS: Given this background, I
20 propose to submit myself to the Commission as an
21 expert in soils physics. The Commission has
22 previously found me qualified in that discipline.

23 MS. FOSTER: Madam Chairwoman, pursuant to
24 Rule 19.15.3.11B 2, Dr. Neeper did present a
25 prehearing statement in this case, and since he is

1 representing the Association of Clean Air and Water,
2 which is an association, I believe that under the
3 rules it does require that the person who conducts
4 the presentation must attach a sworn and notarized
5 statement from the corporation or the entity's
6 governing body attesting that it authorizes this
7 person to represent the corporation or entity. So I
8 just want to put that in the record. He is a very
9 qualified witness and I have no question to his
10 qualifications but I did want to put it in the
11 record that there does need to be a notarized
12 statement from the Citizens of Clean Air and Water
13 that he is their representative and authorized to
14 speak.

15 MR. NEEPER: May I respond?

16 CHAIRPERSON BAILEY: Yes.

17 MR. NEEPER: Such statement is in all
18 copies of the exhibits from the New Mexico Citizens
19 for Clean Air and Water. I believe one was
20 submitted to you. Mr. Hiser is indicating a
21 positive response and the Commission has such
22 copies, but if a copy is not available anywhere,
23 there should be one at the back of the room.

24 MS. FOSTER: Was it submitted with the
25 prehearing statement?

1 MR. NEEPER: It was.

2 CHAIRPERSON BAILEY: Yes, I see a copy
3 here.

4 MS. FOSTER: Thank you for clarification
5 of the record, Dr. Neeper.

6 CHAIRPERSON BAILEY: Then you are their --

7 MR. HISER: I have a question, if I may.
8 Dr. Neeper, if you turn back one page on your slide
9 exhibit here. In the Soil Science Society of
10 America slide here there's a distinction between
11 soil physics and a number of the other areas.
12 What's the distinction between Division SO-1 and
13 SO-11, Soils and Environmental Quality?

14 MR. NEEPER: I cannot tell you what the
15 Soils Science Society of America considers to be
16 their definition. I can tell you what is my thought
17 on that if that would serve your -- answer your
18 question.

19 MR. HISER: Well, you are saying that you
20 are qualified in the area of soil physics; is that
21 correct?

22 MR. NEEPER: That's correct.

23 MR. HISER: This slide suggests soil
24 physics is one of approximately 12 disciplines
25 within the area of soil sciences, but you are not

1 sure what soils and environmental quality is.

2 MR. NEEPER: I am not sure how the Soil
3 Science Society of America defined that term. I can
4 give you my estimate, my thought, but I can't tell
5 you what that society has said.

6 MR. HISER: I have no objection to the
7 qualification of Dr. Neeper as a soil physicist.

8 CHAIRPERSON BAILEY: Any other discussion?
9 You are accepted as a soil physicist.

10 MR. NEEPER: Thank you, Madam Chair. I
11 would expand in this testimony from things I have
12 presented before. I previously presented a lot of
13 the science that I think lies behind the Pit Rule or
14 some of our other rules that deal with waste, but I
15 will take the freedom today to use my thoughts as
16 well regarding the testimony we have heard earlier
17 and that I have been fortunate enough to hear.

18 The purpose really of the Pit Rule is to
19 protect the environment, and the Commission is
20 challenged to protect the environment in the Oil and
21 Gas Act as I understand it. That includes the
22 ground surface, not only water. Much of the
23 testimony has focused on potential impacts to water,
24 either groundwater or surface water.

25 Previous presentations have not offered a

1 risk analysis or data but rather have given us
2 opinions and experience of those testifying. I
3 would like to use Dr. Thomas' analogy. He expressed
4 the danger of being hit by a bus if you stand in the
5 street, but the risk is associated with how far away
6 is that bus. If the bus is three blocks away, the
7 risk is very minimal.

8 What we have not yet heard here is a full
9 analysis of what is the risk of the things we are
10 proposing. What is going to happen? We have heard
11 analysis of perhaps how far a contaminant will
12 travel or won't travel, but we haven't seen
13 something that will convince us of what is the
14 long-term impact on the environment.

15 Sometimes the reasons for our terms in our
16 proposed rule are given as these are considerations
17 of what other states have as rules. I agree that it
18 is wise to consider regulations of other states, but
19 whatever regulation another state has does not
20 necessarily guide what we should do because we do
21 not know what thoughts, what considerations, what
22 measurements went into those regulations. They may
23 have come from a deep scientific background. They
24 may have been established at a whim and may have
25 been established with a particular geology or

1 situation in mind.

2 As an example of that, I offer my
3 experience of three years on the Stronger Board in
4 which the Stronger organization, a nonprofit, was
5 funded and directed to exam the regulations of
6 various oil-producing states as those regulations
7 concerned impacts on the environment. I was a
8 participant on the review in Indiana. They had in
9 many cases rather minimal environmental rules and
10 that was simply based on the geology and what was
11 happening. There just wasn't much to be concerned
12 about, given their drilling depths and the nature of
13 the gas field they were concerned with. So if we
14 were to look at the regulations in Indiana it would
15 not necessarily be a good guide for New Mexico. We
16 should develop our own regulation.

17 There's been a statement in the literature
18 that is public literature to the effect there's no
19 science behind the Pit Rule. It's been repeated in
20 the press so I'm going to review a portion of the
21 science behind the Pit Rule. This will focus on
22 chloride and a lot of the prior testimony has
23 focused on chloride and, in fact, the terms in the
24 proposed rule changes focus on chloride.

25 Early on the in environmental

1 considerations of the surface waste rule and the Pit
2 Rule, we focused on chloride because it is probably
3 the best tracer. If you find chloride, that's an
4 indication you will probably find something else and
5 you should look. It is not, by itself, probably the
6 biggest impact or the thing that will somehow
7 generate the greatest risk. It is the thing that
8 tells you when something might be wrong. So we
9 should not focus the totality of our rule on
10 chloride, and I will get to that. It's a great
11 tracer.

12 The vadose zone is the region between the
13 ground surface and the water table. If that's
14 contaminated, I make the statement, eventually the
15 entire environment suffers. I recognize that's
16 contrary to some other testimony we have. We will
17 see what reasons I can give for that. But I can
18 state in most cases if no release occurs to the
19 vadose zone, you can be sure both that the water and
20 soil are protected. Therefore, I'm going to focus
21 on contaminants in the ground and on the ground as
22 soil under pits or soil -- whatever waste may remain
23 in burial units.

24 As I said, I'm focusing on chloride, but
25 sodium and sometimes other chemicals can create

1 environmental damage, but the chlorides are the
2 tracer we can follow. We should just use them as an
3 indicator when we look at other things that may be
4 more harmful. They should tell you when you should
5 look deeper, when you should look farther. And the
6 proposed rule changes would eliminate many practical
7 limits on chloride releases, and that is one of my
8 concerns.

9 So we will look at what's in the pits,
10 what are the effects of these kinds of things, what
11 are the effects on the biota. I will try to
12 establish this because it's been in prior hearings
13 but it needs to be in the record of this hearing in
14 order that decisions can be made on the record.

15 There's a big question, that is: If
16 whatever it is that is an offensive substance moves,
17 how fast will it move and how far will it go, and
18 once we get to that question then we say: What's
19 the big picture of the proposed rule? I'm not
20 dealing much with linguistic adjustments.

21 So we have heard about the sampling done
22 in 2007 both by the industry and by the OCD of
23 drilling pits that were nearly ready for closure. I
24 will focus on just a few of the results of that,
25 which I will outline here in red.

1 The chloride in northwestern pits had an
2 average of about 3900 milligrams per kilogram with a
3 range up to 15,000. Why is that significant today?
4 Because the proposed standard for soil left in the
5 bottom of the pit, if the pit contents are removed,
6 is 5,000 milligrams per kilogram. This would
7 suggest then that on the average in the northwest,
8 the contents of the pit could be left as soil
9 beneath the pit and meet that standard. You would
10 not get a signal to look for anything else if you
11 just looked at the limit of 5,000 milligrams per
12 kilogram of chloride.

13 In the southeast, the average was 126,000
14 from drilling with brines up to saturated saltwater
15 where they range from zero -- I'm surprised at the
16 zero -- up to 420,000. If you look at the 420,000,
17 you would conclude somebody had to dry some material
18 on the top of a layer that's drying and pull up salt
19 into it to get that kind of a concentration.

20 If you look at the industry pit sampling
21 in the northwest for three different pits we see
22 only one in the middle on the left-hand column at
23 6,000 where the content of the pit would give you
24 any alarm under the current rules or would exceed
25 the soil standard for whatever you found under that

1 pit. You remove the pit contents, the SJC-1 and
2 SJC-3, if those liners had leaked you would probably
3 still pass the soil standard.

4 In the northwest OCD pit sampling I have
5 drawn a red box around the sodium to chloride ratio.
6 Ordinary salt is one-to-one. Sodium is usually
7 biologically a much more harmful ion. Our group
8 sponsored a study of what was killing pine trees,
9 ponderosa in Los Alamos. We suspected it was due to
10 road salt and what was found in those trees that
11 were dying was a high concentration of sodium in the
12 needles. The trees illustrated almost identically
13 the same kind of visible symptoms that you would get
14 from extreme drought.

15 What I notice in the second line here is a
16 sodium to chloride ratio of ten may be suggesting
17 something like sodium hydroxide or other
18 sodium-containing chemical was used in the drilling
19 point of this, is that chloride is not the only
20 thing that could be threatening, and in all of these
21 cases in the northwest the sodium had a greater
22 concentration than the chloride. So if you see a
23 high chloride, you should be suspicious that you may
24 have a higher sodium.

25 The situation down in the water that was

1 taken off of nearly closed pits is different.
2 Usually there the sodium is nearly -- closer to
3 one-to-one ratio, but there is two of those pits
4 that still exceed a one-to-one ratio.

5 So what's the physical effects of salt?
6 This concerns of hydrology for which we had a very
7 good review yesterday. We heard about the porous
8 nature of the soil, the moisture potential, which I
9 will review, and I will review the osmotic pressure.
10 Finally, I want to talk about the transport of water
11 in contaminants, namely the question of how far can
12 it go and how fast can it go?

13 This is a little different picture but the
14 same idea is in Dr. Buchanan's presentation
15 yesterday. If the soil is not saturated it has air
16 space in it. In this picture outlined in blue some
17 water that is held by capillary tension between the
18 soil particles. In this illustration the soil has
19 very little water. Typically what I have found in
20 New Mexico in places I look, it's not unusual to
21 find something like 15 percent or more. When I find
22 something really dry as we are doing sampling up in
23 Los Alamos, it would be down around 10 percent, so
24 saturation here would be 100 percent but the usual
25 situation would have more water than is indicated in

1 this diagram.

2 The diagram indicates the path going
3 through here where air can flow. That's due to
4 migrate concerns with air flow. But also what that
5 represents is where water can flow when you do get
6 saturated flow. Water will flow throughout the
7 matrix but it will flow fastest along usually
8 isolated or preferential pathways. Therefore, the
9 rate of water flow is not necessarily uniform. Some
10 places will run faster than other places and that
11 can advance contaminants a little faster than the
12 average rate of water flow going down through the
13 matrix. Once the saturated flow is over with, you
14 have varying degrees of saturation. Initially it's
15 nearly saturated, let's say. Then it has to dry
16 out. How does it dry? It will dry by unsaturated
17 flow. That can occur downward due to gravity or
18 upward if the soil above is more dry than the soil
19 below.

20 The moisture then in unsaturated flow
21 moves according to what is called the moisture
22 potential in the soil or sometimes called the
23 suction in the soil.

24 As the air dries the soil at the surface
25 of the ground, the suction there becomes higher and

1 the moisture down below flows upward. That's almost
2 usually true near the surface of the ground. You
3 will find increasing moisture as you go down from
4 the surface.

5 The unsaturated flow is much smaller than
6 saturated flow. That does not mean it is
7 negligible. In fact, the calculations that are done
8 for the most part with people concerned with safety
9 and disposal and movement would deal very often with
10 unsaturated flow. That's the long-term concern.

11 Here I plot a typical moisture potential.
12 That doesn't mean it is for any given soil. I cite
13 the reference in a report that's meant to
14 illustrate. The lower curve is for a sandy soil and
15 this is the suction plotted as a function of the
16 volume of the soil that's filled with water.
17 Dr. Buchanan said yesterday that very often soils
18 will have a 50 percent pore volume; 50 percent of
19 the total volume could be occupied by either air or
20 water or both, but not soil particles. Often you
21 will find less. In this case it's shown at about 35
22 percent for the sandy soil.

23 It takes a certain amount of suction to
24 get the first bubble of air in, and then the
25 potential gradually rises. The suction rises as the

1 soil gets drier. So if I have some soil at this
2 suction or this suction of dryness, the water will
3 be flowing upward along the curve.

4 When you get very high, very high suction,
5 there is so little moisture that the contact between
6 the particles on the average is broken or that's way
7 up in the absorption region you no longer have a
8 mobile film with water. Dr. Buchanan referred to
9 that yesterday, but that happens at very -- usually
10 very low water fractions.

11 Clay has a higher potential. It really
12 wants to hold the water, as Dr. Buchanan said, but
13 it might be holding more water and may have a
14 broader curve. That is, it will still be holding
15 water as you go to higher suction.

16 There's a question of osmotic pressure
17 that came up. The total potential is formed by the
18 osmotic pressure of whatever is dissolved in the
19 water and the matric suction, the suction due to the
20 capillary suction between the particles. But I
21 would emphasize in red down at the bottom, osmotic
22 pressure can kill plants, but in most cases the
23 osmotic pressure is ineffective for causing flow.

24 That mistake will sometimes be made in the
25 literature and people will just blindly add in the

1 osmotic pressure to what is causing the flow. It
2 usually does not. It's a rare circumstance. It's
3 because for osmotic pressure to act, you need a
4 semi-permeable membrane of some kind, a process
5 wherein salt or the dissolved substance cannot move
6 through the membrane but water can, so water will
7 try to push through the membrane raising pressure on
8 the salty side.

9 If you have a plant over here, in a sense
10 you could say oh, that's trying to suck water away
11 from the plant. Or if you consider this membrane to
12 be the surface of of the plant's root, the plant is
13 having to suck against that osmotic pressure to get
14 the water it wants. Now, the plant might be
15 somewhat salt-tolerant in which case it can tolerate
16 some salt coming through there.

17 I look at the osmotic pressure of sodium
18 chloride solution, not that we want to keep these
19 numbers but simply to get a reference. The
20 universal wilt point, as it's called, is usually
21 listed at 1.5 megapascals or 15 atmospheres.
22 Yesterday Dr. Buchanan testified he had seen pine
23 trees surviving at even twice that or more. The
24 question is how long this has been regarded, as far
25 as I know, in the plant literature as kind of an

1 absolute limit for most plants.

2 If you expose a plant to that for a day,
3 it is highly unlikely it would survive. So we can
4 use that as kind of a guide.

5 I tried to put this in a context. Soil
6 with 1,000 milligrams per kilogram of chloride in a
7 volumetric -- in a 15 percent volumetric pressure
8 would have 10,000 milligrams per kilogram or roughly
9 10,000 milligrams per liter of chloride in the pore
10 water. So we can say if the pore water reaches
11 about 10,000 or somewhere close to this point, that
12 isn't the point at which danger turns on. That's
13 kind of a death point.

14 We say what do you mean by death point?
15 Well, I point out we use brines to preserve food or
16 salt to preserve food as in salt pork or brining
17 pickles and various other process. One of the
18 reasons the brines may be so preservative is they
19 kill any bacteria that would otherwise like to eat
20 or spoil the food. Same thing happens with plants.

21 Dr. Buchanan gave us a review of the salt
22 tolerance of plants, at least the species he is
23 dealing with in the northwest, and he used
24 electrical conductivity as an indicator. That is a
25 very viable indicator. It is convenient, it is

1 quick, it is useful in the field and it is more easy
2 to relate electrical conductivity to what's
3 happening with plants, as I understand the
4 literature, than it is to relate milligrams per
5 kilogram or some other such standard. Therefore,
6 the literature regarding plants often cites
7 electrical conductivity.

8 The traditionally accepted criteria
9 according to the American Petroleum Institute for
10 all plants has been to decrease the salinity. That
11 means whatever it is that's causing the electrical
12 conductivity, it might be sodium chloride and it
13 might be something else, to less than 4 millimoles.
14 Dr. Buchanan's slide yesterday showed a peak up
15 around nine millimoles which would not, I should
16 think, be very high for what you could find in a
17 pit, but how much in a bulk salt solution? What can
18 cause that kind of conductivity? I simply plot here
19 the electrical conductivity of a salt solution in
20 bulk as a function of the milligrams of sodium
21 chloride per liter to the milligrams of chloride per
22 liter and around 1500 milligrams of chloride per
23 liter you hit the four.

24 Does that mean that's exactly what you
25 will get when you do a saturated paste test on the

1 soil? Not necessarily. I understand that can vary
2 somewhat with the type of soil on which you do the
3 paste test. But nonetheless, four kind of gives you
4 an indicator of where you are, where danger is
5 arising for plants, and it's about a factor of 100
6 below saturation, saturation with salt.

7 This is a plot of two data sets that are
8 available for grasses. Where is the threshold for
9 damage as published by the U.S. Department of
10 Agricultural. The four EC value winds up right in
11 the middle. Certainly some of these can take an EC
12 up to eight and presumably higher. Others are
13 lower. But there isn't a lot -- I didn't find a lot
14 of literature out there that I, as a non-biologist,
15 could use to guide me in saying if I had to apply
16 one number for an entire state or an entire area,
17 what kind of number is safe? Therefore, I focused
18 on four as what is safe even though some things will
19 be damaged by it, as kind of if you have to pick a
20 number, that's the number that you can use.

21 So what level is it damaging? I say if a
22 saturated paste exceeds four, roughly 600 milligrams
23 per kilogram. A lot of the literature will say 700
24 milligrams per kilogram and some say if you go to
25 higher EC it really indicates 800 milligrams per

1 kilogram that you can multiply as a scaling factor
2 against the four.

3 I think we shouldn't regard one of those
4 numbers as an absolute number that can be translated
5 from one to another because one is measuring
6 electrical conductivity which depends on many
7 things, including what is in a saturated paste, and
8 a milligram per kilogram is measuring an exact
9 amount of something in a dried sample of soil.

10 But we can remember that one and a half
11 megapascals at this so-called universal wilt point
12 gives you -- you get that osmotic pressure at
13 approximately 1,000 milligrams per kilogram of soil,
14 15 percent moisture. So 1,000 milligrams per
15 kilogram is kind of an indicator. We are getting
16 numbers like that, we know it's not good for growing
17 things.

18 MR. HISER: Madam Chairman, I think at
19 this point I might interpose an objection. My
20 objection is a narrow one. That would only be to
21 the extent that Dr. Neeper is trying to characterize
22 the plant science aspect of this. He was qualified
23 as a soil physicist, not a plant guy. And I have no
24 objection to the slide if he is talking about what
25 does this translate to between the various

1 mechanisms, parts per million and EC, milligrams per
2 liter and all that type of stuff. But just to the
3 question as it goes to the plant.

4 CHAIRPERSON BAILEY: Would you like to
5 respond to that?

6 MR. NEEPER: Yes, I would like to respond
7 to that because I believe Mr. Hiser raised the same
8 objection in the previous hearing and I make the
9 statement I am not claiming to be a biologist or a
10 plant specialist. I am a scientist and I can read
11 the science of the plant literature, particularly
12 that supplied to the general public by the U.S.
13 Department of Agricultural. I can read even the
14 scientific publications by the scientists, and if
15 they say something dies at this level or if they say
16 we find a 50 percent productivity in the plant, it
17 grows only 50 percent of the foliage at a certain
18 level of salt in the soil, I think I am capable of
19 understanding that.

20 And I think it would be a mistake if I
21 understood something not at least to pass whatever I
22 can on to the Commission because the Commission
23 needs all the facts and all the information it can
24 get.

25 CHAIRPERSON BAILEY: And the basis for

1 this slide is from public information through USDA.
2 or other --

3 MR. NEEPER: USDA and other publications.
4 I could go presumably, if my library still
5 survives -- much of it doesn't -- and get out such
6 publications.

7 MR. HISER: Madam Chairman, if I may put
8 another word in. I'm an attorney. You all know
9 that. And I also represent the metallurgical
10 industry. As part of my representation of the
11 metallurgical industry I have read the 1480-page
12 treatise on the making, shaping and treating of
13 steel. But there's a big difference between my
14 being able to talk about in the academic sense the
15 difference between a basic or acid refractory or
16 about the equation that governs the metallurgy of
17 that operation and the expertise an expert would
18 have who would actually be able to do that process.

19 So while I do not dispute that Dr. Neeper
20 has the same level of expertise in metallurgy that I
21 may have but his happens to be in plant science,
22 that is a far thing from being an expert in the
23 field, which requires practical experience in the
24 field. I think that's what Dr. Neeper does not have
25 in this case.

1 CHAIRPERSON BAILEY: We recognize your
2 concern. We will give this slide the value that the
3 Commission believes is appropriate.

4 MR. HISER: And I believe that would be
5 very appropriate. Thank you, Madam Chairman.

6 CHAIRPERSON BAILEY: Please continue,
7 Dr. Neeper.

8 MR. NEEPER: Thank you, Madam Chairman.
9 This is an image of Table 1 that appears in the
10 NMOGA proposal, and I have drawn two red boxes. One
11 says it's closure criteria for soils and the two
12 boxes in the table are the standards at a depth to
13 groundwater of less than 50 feet. The standard is
14 5,000 milligrams per kilogram. At a depth greater
15 than 100 feet the standard is 20,000 milligrams per
16 kilogram. The EC 4 guideline from the Petroleum
17 Institute is equivalent to something like, let us
18 say, 600, 700 milligrams per kilogram.

19 And why are these numbers important to me?
20 The chloride criteria can rarely exceed 20,000
21 milligrams per kilogram because to get to that kind
22 of number you would be replacing normal pore water
23 of the soil under the pit liner with a fairly high
24 concentration of brine. Why am I concerned?
25 Because the concentration is to be measured by a

1 composite sample achieved which you take samples
2 from various places and stir them together. If the
3 liner were at some point to leak, the leak would
4 necessarily progress downward into the soil, would
5 be likely to.

6 If you then pick up the liner and you test
7 various parts of this soil, you could have, in
8 effect, a release that went to an arbitrary depth
9 but never exceed the 20,000 milligrams per kilogram
10 standard. So you would say there's nothing wrong
11 here, whereas this should have been an alarm signal
12 that something was very, very wrong. Somehow
13 something got out of that liner.

14 Does this kind of salt damage compare with
15 reality? Again, we are back to whether I am an
16 expert in plants. Let us say I can recognize the
17 absence of vegetation, and the previous commission
18 has seen these pictures at least twice before. This
19 is somewhere in the vicinity of a pit near Caprock.
20 It was completed in 1976, as far as I can tell. And
21 what we see is a bare area right in here. I call it
22 a death zone.

23 Coming forward from that, you will see
24 some scattered plants, most of which, as far as I
25 can tell, are snakeweed. That's what I would call

1 it. As you get closer to the edge there's
2 increasing snakeweed. Finally, if you get far
3 enough away you are in a grassland.

4 This is another pit in the same vicinity
5 within a few miles. It was completed in 1996 from
6 what records I could find. You can see parts of the
7 liner coming up through the ground. Again, you see
8 a similar symptom. You see a bare area and then
9 some gradual plants which I call snakeweed, and
10 farther out you get more and more snakeweed. What I
11 was interested in doing here is only in trying to
12 establish why those areas have not recovered.

13 So I did a little sampling and then I
14 correlated the samples against the vegetation. In
15 the horizontal axis I have undisturbed grass, dense
16 grass, sparse grass, dense snakeweed -- what I call
17 snakeweed, sparse snakeweed. Finally the very edge
18 of snakeweed, and I took samples where I thought
19 they would tell me the most so I didn't do uniform
20 sampling everywhere. I take one sample out on the
21 undisturbed grass and the chloride is less than 100.

22 By the time I get into sparse snakeweed, I
23 took four samples. Two of them turned out to be
24 somewhere between 100 and 250; two of them between
25 250 and 400 so I see the chloride increasing. I get

1 right to the edge of the snakeweed and notice I took
2 several samples, five at low chloride.

3 I thought about that quite a bit and I
4 said when I said edge of snakeweed, I meant that. I
5 took the sample right from under the plant. I mean,
6 I was interfering with the plant's roots to get the
7 sample. The plant was smart enough to know
8 apparently where the chloride wasn't and I was doing
9 a selective sampling by doing that. I wasn't
10 sampling in the bare area that was adjacent to the
11 snakeweed but I was sampling right at the snakeweed.

12 Once I got into the so-called bed area,
13 out of four samples one was in the 250 to 400 region
14 and three were 2000, 4000 milligrams per kilogram of
15 chloride.

16 This was sufficient to let me conclude
17 that at least the lack of recovery correlated with
18 the chloride. That might not be the only cause.
19 You could have -- I can't say the word for it for
20 the moment. Soil that would not accept water.
21 Somebody help me with the water.

22 CHAIRPERSON BAILEY: Hydrophobic.

23 MR. NEEPER: Hydrophobic soil. There can
24 be other causes but at least you know the chloride
25 content is sufficient to cause severe stress.

1 So if it moves, how fast does it go and
2 how far does it go? The fusion through pore water,
3 as we heard, is slow, but it's an absolutely certain
4 process. By diffusion, we mean the molecular
5 movement of the substance through the molecules of
6 water. It's a thermal process driven by the thermal
7 agitation that the molecules are undergoing.

8 When we say absolutely certain, if you
9 have a gradient of concentration in a water column,
10 until that water column is so thin it's equal to the
11 mean free path of the jiggle of the molecules, you
12 will get diffusion poured into the binary diffusion
13 coefficient between those two substances.

14 Now, that will be something that moves the
15 salt substances through water always. If the water
16 is there and in the soil, if you are unsaturated but
17 the water is still connected, unless you are
18 extremely, extremely dry, you will have diffusion
19 going on.

20 However, natural motions of pore water or
21 saturated flow after a rainfall event can move
22 contaminants much faster. Certainly the rainfall,
23 we heard, it will go down much faster, but it
24 doesn't necessarily, as I showed in the first slide
25 with the pictures of particles, it doesn't

1 necessarily flush the substance out of all of the
2 porosity. That's one of those things where it
3 depends. How much is going by and how fast is it
4 moving.

5 It may leave some behind. If it leaves
6 some behind, if you have a little pulse of a
7 rainfall event and some of the porosity gets flushed
8 out and some of the tighter porosity does not get
9 flushed out, now what's going is to happen to
10 remains in the other porosity? It will diffuse
11 sideways. It will even itself out in time, and as
12 the surface dries it will try to move upward because
13 the unsaturated flow will be upward.

14 So the motion of the dissolved substance
15 can be upward, downward or horizontal, whichever way
16 the combination of suction and gravity pulls it. It
17 isn't a process that stops.

18 I made a little picture to illustrate
19 diffusion with the hypodermic needle demonstrated in
20 the upper left picture. I injected a little bit of
21 food coloring into the bottom of a glass and sat
22 back to wait. Do not use this method as an absolute
23 measure of the diffusivity of something in water
24 because you have to be careful you have no other
25 influences going on, but it gives us an idea. After

1 about 12 or 14 hours there we see the glass has
2 gotten colored all the way through on the bottom
3 left, but there is a dense layer at the bottom. And
4 after we have waited from October 3rd to October 5th
5 we see the glass is pretty uniform in color.

6 That gives you a feeling of about how far
7 can something diffuse in water in about how much
8 time. If you use diffusivity as an indicator and
9 physicists do this. They will use characteristic
10 distances. The characteristic distance for
11 diffusion of salt through water, sodium chloride, is
12 about a centimeter in 18 hours. But the time
13 increases with the square of the distance. That
14 means if you double the distance it's going to take
15 four times as long. If you just have a column of
16 water with no motion in it, if it's one meter long
17 it would take 21 years, basically, to equilibrate
18 the full column. But if you had a column two meters
19 long, about six feet, it would take four times as
20 much, about 80 years. That's the kind of time scale
21 I'm worried about is the 100-year, 200-year time
22 scale. You can certainly move contaminants by
23 diffusion over 100 years.

24 Well, we had discussed what does the soil
25 look like with saturated flow and unsaturated flow.

1 There is another diffusion going on, and that's
2 diffusion of water vapor. Now, it's much more free
3 to diffuse. When you are unsaturated you have all
4 this porosity and the vapor from the water, just
5 like the vapor off the top of a glass of water left
6 out in the room, can evaporate. It can move and it
7 will also go to wherever is the dryest place for it.
8 It moves according to the potential, but it also
9 diffuses according to the gradient of water vapor
10 concentration.

11 So if you have a warm soil at the top,
12 very dry, almost no water vapor as we have in our
13 atmosphere around here, what you can get is
14 diffusion of water vapor up through the soil drying
15 it, and that's how you can dry a significant layer
16 of soil, and then that then becomes the sponge
17 trying to suck up water from a still deeper layer of
18 soil.

19 Water vapor can condense. This brings up
20 a very interesting cycle that if we have a seasonal
21 variation of temperature, say over a depth of four
22 to ten feet, why can I choose those depths? Well,
23 in my city, the city now requires that you place a
24 footer for any construction, a concrete footer at a
25 depth down to three feet because they don't want the

1 soil to freeze under that and heave the building.

2 That illustrates the penetration in the
3 wintertime essentially of low temperature down
4 through the soil. In the summertime the process is
5 reversed and higher temperature goes down through
6 the soil. So you have this layer of soil swinging
7 back and forth in temperature. When you get deep
8 enough, the temperature holds pretty still. As you
9 get up closer to the surface it swings more and
10 more.

11 When it is warming up the water vapor then
12 will diffuse upward. As things dry -- excuse me.
13 As it is warming up -- we are down at some depth in
14 the soil. As it is warming up the vapor pressure
15 increases just as it does in the tea kettle when you
16 heat it. We have increased vapor pressure here.
17 Down below it is still cold and the vapor will go
18 down and condense. You might think from that, oh,
19 we will just build up a huge layer of water down
20 here. No, that doesn't happen because in the
21 opposite season just the opposite happens. The top
22 gets cold and the vapor goes up and condenses up
23 above. But when the vapor condenses down below you
24 now have greater saturated, and that would increase
25 the unsaturated flow of liquid up.

1 You say well, if everything balances out,
2 that should equal the unsaturated flow of liquid
3 going back down in the opposite season. Not quite
4 true, because the temperatures are different. One
5 season is cold and one season is warm, and so the
6 vapor pressure is higher in one season than the
7 other. This can result in a net transport of water.

8 This was first published, to my knowledge,
9 by an investigator -- I am remembering his name as
10 Millie, and I think it was about 1996. It's just
11 one of lots of little things that I think we don't
12 consider when we put out contaminants and think they
13 will never move. We have to think about all the
14 things that can happen over a long-time scale. They
15 are small but they happen. I happened to think of
16 this one.

17 Well, I gave some data on surface
18 sampling. I then wanted to know can I trace the
19 movement of chloride down into the soil so I did
20 subsurface sampling near Caprock in 2007. Marbob,
21 at that time we had the pit task force and I brought
22 the data into the pit task force and the man from
23 Marbob said, "Gee, I would really like to know
24 what's going on. I will sponsor another sampling
25 event," so we sampled one of his pits. He got to

1 choose the pit and the place and they don't do
2 environmental sampling much so he said, "How do we
3 do this?" I said, "Hire the same driller I hired
4 and we will just pursue the same process."

5 This is drilling at that pit I call Pit
6 No. 8. We are out in the area that's called dead.
7 It's difficult if you don't know the layout of the
8 pit. You spend your time drilling holes that go
9 down and you may hit the berm. You don't know
10 exactly what you are going to hit. Finally we got
11 one where we found some cuttings and thought for
12 sure we have to be in the bottom of the pit.

13 What you do with this or what I did, you
14 can just bring up soil and sample the soil coming up
15 but you don't get the full story from that. We did
16 continuous coring in five-foot intervals. I didn't
17 put in pictures of the cores but you get -- I guess
18 we had a four-inch auger. I don't remember. Four
19 or five-inch auger and you get a continuous core of
20 the soil. You bring it up, set it on a rack and you
21 can take your sample from wherever you want. Now
22 you have fairly undisturbed soil. If you want to
23 measure the moisture in it you can, and if you want
24 to measure extensively you can. If you just take a
25 piece of loose soil that comes up with the auger,

1 it's been exposed to the air and you don't get a
2 full story.

3 So I show here some of the results. I'm
4 not expecting you to remember all of these graphs.
5 I simply want to show what was the general result.
6 In the upper left graph I show the gravimetric
7 moisture. It's harder to measure volumetric
8 moisture. You can measure the dry density and infer
9 the volumetric from the gravimetric moisture. The
10 gravimetric is just weight. What fraction of the
11 weight. Weigh the sample, dry it in a commercial
12 drying oven and weigh it again and the difference is
13 the gravimetric moisture.

14 In this pit we see it's down to 15 feet
15 running about ten. The density might be something
16 like one and a half, so you calculate from that the
17 volumetric moisture. There's a spike right in the
18 middle.

19 If we look at the next graph coming down,
20 I am plotting the moisture potential. Since the
21 soil sample was not broken by the auger -- I have a
22 real sample put in the bottle, not something that's
23 been disturbed -- I could put a piece of that into a
24 particular apparatus and measure the actual moisture
25 potential and I plot that against depth. We see

1 that the potential here is running something like
2 four megapascals, several times that so-called wilt
3 point, and is tapering down a little bit.

4 Here is this spike. We see a low
5 potential there. At the same point we see high
6 moisture. That fits together. That's saying maybe
7 the concentration is trying to be the same, and if
8 you have high moisture you will have a lower
9 potential. You have more place to put that amount
10 of something.

11 This is a second hole in the same pit. I
12 plot the same thing. Here is gravimetric moisture.
13 You see jiggles in it. I think that's not unusual.
14 It depends on what soil is in there and really what
15 got put back into the pit. Down here I plot the
16 moisture potential. That should be more uniform
17 because the water is trying to flow according to the
18 potential, not really according to the moisture, but
19 trying to flow according to the potential so we get
20 a smooth potential curve increasing down to some
21 depth here where it's a maximum. Maybe we can say
22 that's the bottom of the pit. We don't know. I
23 never could detect what was the bottom of the pit.
24 It was not distinguished.

25 Finally, we see a gradient coming back

1 down here towards 15 feet. I was happy that I was
2 able to find the gradient. That was a signal to me.
3 I found where it's going. I found the place. If
4 there's a gradient, it's moving.

5 Why did I stop drilling at 15 feet? Why
6 didn't I take this all the way down? I ran out of
7 money. Folks, that's what it was.

8 This is the other pit. This pit was 31
9 years since closure. This pit is 11 years since
10 closure. Again, we see gravimetric moisture. A
11 different profile. For some reason high moisture
12 here. It can have to do with the soil that's in
13 there but we see a smooth curve of potential and
14 again I got deep enough to find the gradient.

15 Having good samples I could deal with
16 more. I could measure the chloride. Here is the
17 Pit 5, 5A, the first hole in the pit. We see low
18 chloride right where the spike was and barium
19 chloride down to a depth of 15 feet. If I look at
20 the pore water chloride -- now, since I know how
21 much water was in there because I dried the sample
22 and weighed it, I know how much water came out. I
23 know how much chloride was left behind in the sample
24 so I can infer how much chloride was in the pore
25 water. What we are finding here is numbers like

1 about 25,000 at the bottom going down to very small
2 at the moisture point and coming back up towards the
3 surface.

4 That means the water, although the surface
5 was dry, the water that was at the surface was not
6 very drinkable by the plant. That seems to make
7 sense because the surface was bare. Here is the
8 second hole in the same pit. You see again jiggles,
9 perhaps different layers at that point. We can't
10 tell unless we go back and microscopically diagnose
11 the cores that came up and I'm not qualified as a
12 geologist to do that.

13 Down here we look at the pore water
14 chloride. We think we see the start of the gradient
15 and we see variations in the pore water chloride.
16 What counts for the motion is the gradient. Here
17 the gradient is greater potential downward. Greater
18 suction downward. That stuff is moving down.

19 Here is Pit 8. At eleven years I look at
20 the soil chloride and we are finding something like
21 15,000 milligrams per kilogram of water, roughly
22 milligrams per liter. The point is that the
23 moisture in that is very high. It's not supportive
24 of life. And that's the whole point I think we are
25 making of this.

1 Now, we can argue about how it got down
2 there. We can say the operator dumped it on the
3 surface. We can make any kind of scenario we want.
4 But the fact is, very high chlorides are down there
5 under that pit. So the surface chloride was like
6 3,000 milligrams per kilogram. Subsurface moisture
7 appears kind of normal, as far as I could tell, in
8 quantity. I didn't find any bottom to the plume at
9 15 feet, as deep as I could go in my budget, and the
10 moisture potential -- now, this potential
11 measurement includes the osmotic because I was
12 measuring, in effect, the partial pressure of the
13 vapor. I was measuring the concentration of water
14 vapor and water vapor does not carry chloride so
15 essentially the layer that evaporates water is like
16 a semi-permeable membrane. The potentials
17 are consistent with matric potential of sodium
18 chloride plus osmotic pressure. In other words,
19 that's just a verification that I knew I was
20 interpreting correctly and knowing what I was doing.

21 A monitored well near one of those pits
22 showed chloride in the groundwater. I cannot assert
23 that it came from the pit. I didn't drill all the
24 way to the groundwater. That's too bad. Had I
25 known at the time I would have tried to spend more

1 money?

2 The sampling, drilling sampling sponsored
3 by Marbob was the Burch Keely unit. We drilled, as
4 I recall, two wells there. One was the No. 49
5 spudded in October of 1979. This is a picture taken
6 at that. Back here is a rack that I had made set on
7 the truck and you could lay out the cores. You
8 notice this ground is in much better shape. This is
9 what I would call snakeweed. There are other
10 species here. The ground here at the pit seems not
11 quite so well vegetated as what's back here, but at
12 least things are growing and right on the surface, I
13 think when we see the data, there won't be chloride.

14 We sampled two wells, well 49 from 1976,
15 an unlined pit 31 years old. My knowledge of the
16 operator, Well 321 was spudded in 2001. That means
17 it was six years old. It was a lined pit and the
18 liner, by word of the operator, was closed over the
19 top of the pit when the pit was closed.

20 We can again look at the gravimetric
21 moisture as a function of depth. This is for Well
22 49. You see jiggling. Now, here at least even my
23 eye could identify different soil types in the
24 column, in the core that we pulled up. And I wrote
25 down what I had seen. Simply at the top there was

1 sand. Down here there was sand. Roughly going into
2 more clay-like material, sand. Back up to clay and
3 more back to sand.

4 Why is that significant? Low water and
5 sand, high water and clay. If they are trying to
6 come to equilibrium in the potential, this is just
7 the kind of thing we would expect. So that gives
8 you a clue why you can see moisture profiles
9 jiggling.

10 The same thing is true in Pit 321 which is
11 the pit that was lined and the liner closed on top.

12 You get a background hole which I showed a
13 different picture of there if you want it. There's
14 nothing unusual in the background hole. Here I look
15 at the moisture potential as a function of depth.
16 We see a potential that would be harsh but maybe not
17 impossible at the surface. It's less than the wilt
18 point. The wilt point is that arrow. It increases
19 down here probably due to the osmotic pressure of
20 the contents of the pit and then it tapers off.

21 Notice, this is a lot less jiggly than the
22 moisture curve. That's because the water is going
23 to flow to points of high or low. It's going to try
24 to even out the potential wherever it is.

25 If I look at the chloride, there was no

1 chloride at the surface. We find high chloride in
2 the pit and below the pit it tapers off down to
3 about 20 feet. I remember as we drilled that, the
4 man from Marbob said, "Gee, I guess that liner
5 didn't do us any good." Maybe it wouldn't be
6 expected to.

7 If you want to know about quality control,
8 his technician, his hired consultant took samples at
9 the same time I did and their samples were sent to
10 the standard laboratory and you see they correlate
11 pretty well with my curves. I think I had some red
12 spots on some of my other graphs. I didn't notice
13 them. But I also sent samples to the laboratory for
14 confirmation when I was just doing things by myself.

15 This is the pit 321. The lined pit.
16 That's the one where he said it didn't do us much
17 good. We see a double spike in dry soil chloride.
18 Exactly why is hard to tell. There may have been a
19 flood of moisture from the bottom of the pit. I
20 think we are trying to make up stories from minimal
21 data here, but what we can see is we do have a
22 progression down to 30 feet or 35 feet.

23 Now, it can be argued that the progression
24 in these two is the same, one being older and one
25 being younger and, therefore, that shows it will

1 never move again. But also you can say we have a
2 gradient and there are all these processes going on
3 that cause motion, although over time, and we sort
4 of wind up arguing back and forth on that because we
5 can't go forward 100 years to see what really will
6 happen.

7 But there is a story to go with this. I
8 had almost forgotten about it. It was in Pit 321
9 that was lined. We know the liner was folded over
10 the top because we found it. When we brought up the
11 core right there in the core was a disk of the
12 plastic. Right under that disk for about two inches
13 was this white thing. I remember it. It was kind
14 of granular and I picked it out. It was a little
15 crumbly. I picked it out of the core and I set it
16 on the rack of the truck and I realized by the old
17 taste test it was salt, a layer of salt mixed with a
18 little sand. It looked like 90 percent salt. It
19 wasn't a thing you wanted to eat. It looked dirty.
20 Right at the top of the liner.

21 Later in the day when I turned around and
22 looked at it, it had disintegrated and fallen apart.
23 I didn't sample it. I sort of knew it was salt.
24 It didn't strike me as anything but curious at the
25 time.

1 As I got to thinking about the seasonal
2 cycle, I said maybe we were pumping to the top of
3 the enclosed volume, enclosed by that lining. Maybe
4 that's what's going on. It had only six or seven
5 years, but it pumped. Now, you could also say that
6 there was two inches of salt on top of the pit when
7 they closed it. I think that's unusual, but that's
8 possible.

9 As much as I can make that it's an
10 interesting story, and it fits with the notion that
11 you can have transport mechanisms going on that
12 maybe you don't expect.

13 This is chloride versus depth at the Loco
14 Hills with the two holes. It peaks at about 30,000
15 in one. It shows the double hump in the other one
16 for which we do not know why. We see zero chloride
17 right at the surface but if we get down some depth
18 we find sometimes some chloride.

19 I think this fits with Dr. Buchanan's
20 picture. You can get an intermittent rainfall and
21 if it's enough, you can flush the surface down a
22 foot or so. If you are careful and don't let a lot
23 of it come back one way or another, you get some
24 vegetation going on there. You can keep that
25 surface, the immediate surface layer.

1 This third graph is just quality control.
2 I plotted all of the potential measurements and said
3 do they rise at the same slope as an osmotic curve,
4 and they do. So I said most of this rise is not
5 soil properties, it's osmotic potential of the salt.
6 It's the salt or shale. It's just when you do
7 scientific work you check and you check and you
8 check. Most of my work in the laboratory and my own
9 personal work in these things, I spend probably
10 three-fourths of my time trying to discredit myself,
11 trying to disprove what I think I am proving.

12 Well, both the older and newer pits
13 suggest/confirm that the chlorides are not retained
14 by the pit material or even retained by that one
15 liner. In the Caprock, the chloride exceeds past
16 15-foot total depth. I don't know the bottom. In
17 Loco Hills we found both pits had a leading edge
18 down to 25 to 30 feet.

19 Now, why is this important? It's only
20 important because 100 other pits haven't been
21 drilled. It came up and got initiated because there
22 were so many statements of there's never been harm
23 shown from pits. Well, the only time you hear harm
24 is when somebody's groundwater gets contaminated and
25 they pump it out and get a complaint. Somebody

1 detects it in groundwater, but we haven't looked
2 under many pits. We are not dealing with much real
3 data.

4 I go on then. What can you make of this?
5 So I will present numerical simulations. I'm going
6 to do a little in-depth explanation of what do we
7 mean by a simulation. Because we hear the general
8 word modeling. Modeling means I have a conceptual
9 picture of something and I will calculate or
10 estimate based on that conceptual picture. A
11 simulation fits within the realm of modeling but not
12 all modeling is simulation. Simulation might be
13 done by a recipe.

14 For example, in soils, you could say well,
15 we have looked at many, many landfills in Kentucky
16 and we find that generally if we know the moisture
17 here and the moisture at the bottom, we found that
18 the groundwater either is or isn't contaminated.
19 That's kind of a very gross recipe. Or you can say
20 the water will move at roughly this rate all the way
21 through. That is a recipe and you can use it and
22 it's a very valid model as long as it's within your
23 assumption.

24 What is a simulation? With your
25 permission, Madam Chairman, I will draw a picture.

1 CHAIRPERSON BAILEY: Please do.

2 MR. NEEPER: In a simulation, particularly
3 something like soils, you can be simulating
4 something else that is not in space, like soils is
5 in distance. But in soils, you divide the soil up
6 into an imaginary bunch of little volumes. As many
7 as you wish. And you can provide all your numbers
8 for each volume to the center. That forces you to
9 say whatever is going on, I'm treating it as though
10 it's centered here but it has to use the total
11 volume of that cell in order to make sense. How
12 much moisture per unit volume do we have? It's all
13 the moisture in this box and we locate it so it's
14 right in the center.

15 Now I will calculate. For every cell I
16 will determine the moisture potential, I will
17 determine the amount of moisture that's in there. I
18 will use the soil properties to calculate the
19 unsaturated hydraulic conductivity. If I am doing a
20 really good job maybe I will calculate temperature.
21 I can calculate diffusion. If I have a good code, I
22 can turn that on and off. All of the various
23 physics kinds of things you can think of, in
24 principle I can put in there. The bigger the code
25 and the more complicated the code and the harder the

1 code is to use, the more of it gets in there.

2 So the code that I was using was the Yucca
3 Mountain Code. It was originally put together to do
4 the transport to certify the Yucca Mountain nuclear
5 waste burial site and it has just gone on and on.
6 It's using for many other things now including
7 carbon sequestration, so it's very large, very hard
8 to use. I don't recommend anybody try it but it's
9 available to the public should you want it.

10 So now given two points here I can
11 calculate the flux, whatever it is, of whatever I am
12 interested in between those two points. And I go
13 through here and at one time I take all these
14 properties and I calculate all those fluxes. And
15 then I update the content of every cell. Now I have
16 a whole new situation. And I repeat the process and
17 I repeat the process.

18 And so throughout time I am simulating
19 what I think is the actual physics going on.
20 Obviously, you can't include every piece of physics
21 in the world, and if in this case if you went clear
22 up to the ground surface and you wanted to simulate
23 the interaction of solar heating with in various
24 degrees of saturated flow up here and other things,
25 I have seen some attempts at that. I developed the

1 equations to do that. There was no budget for
2 somebody else to put it in the code and I wasn't
3 going to spend a couple years of my time getting
4 that in the code, so I would satisfy myself with
5 simulating from here downward and not look right at
6 the ground surface.

7 But this is the difference between
8 simulation and modeling in general. Simulation is
9 one type of modeling. You can obviously do two or
10 three dimensions. You can have another box off to
11 the side there. You can do multiple porosities.
12 You can treat this as two different pieces of
13 porosity within the same conceptual volume of the
14 soil.

15 CHAIRPERSON BAILEY: Would you please
16 clearly label that? Because it will become a part
17 of the record.

18 MR. NEEPER: Would you like to give me the
19 label that would be most useful?

20 CHAIRPERSON BAILEY: Neeper Exhibit No. 1?

21 MR. SMITH: This is Exhibit 5.

22 CHAIRPERSON BAILEY: Let's make it Exhibit
23 6.

24 MR. NEEPER: I am pleased to do that.
25 Just a schematic of what is simulation. It's what

1 computers are good for, what makes a valid
2 simulation. One thing is the time step you move, it
3 has to be short enough that things don't change so
4 much that you are not really representing the
5 properties correctly. So what you do is go in and
6 you cut the time step until you get the same answer
7 and you cut it again and you still get the same
8 answer and then you say all right, I am in the valid
9 region of time steps for this problem.

10 You do the same thing with the space
11 steps. In running the soils, I was running space
12 steps, size of the boxes from centimeters down to at
13 great depths, maybe as much as -- where nothing is
14 going on, ten meters, and that just serves as kind
15 of a boundary condition that can change for the
16 dynamic problem up above.

17 So I show the one-dimensional model. The
18 model is the picture, the conceptual picture. I say
19 to get a steady state I would just put in native
20 soil, whatever the soil is going to be, put in an
21 aquifer in this case at 20 meters, 60 feet, and let
22 it run until the moisture distribution was whatever
23 it was going to be. I set a volumetric measure at
24 the top and that is not a guess. That's a measured
25 number. That's not a recipe. That just gave me a

1 starting condition. Then I put in an imaginary
2 depth of waste, whatever it may be. I happened to
3 put in three meters. The actual depth is not
4 crucial to what we are trying to show. The surface
5 layer, again, is not represented because the
6 boundary conditions of the problem is the measured
7 volumetric moisture at that point.

8 You can say -- I heard the word yesterday
9 that soils physicists do not put plants in their
10 models. Well, the plant was above the place where
11 the moisture was measured. So whatever the plant
12 did and whatever the rainfall did, it was reflected
13 in the measurement and we are driving the
14 calculation with measurements.

15 These are the measurements. The measured
16 values of temperature and moisture at a 20-inch
17 depth at a feet-on measurement point in Lea County.
18 The data are from the Natural Resources Conservation
19 Service No. 2107, somewhere near Crossroads, New
20 Mexico.

21 One of the things I notice as I look at it
22 now, I looked at this last night and when I did this
23 analysis now five years ago, I just regarded this as
24 instrument noise. I'm not so sure about that. I
25 would like to go back and expand that data. If

1 their instrument is up, it shows the cycles due to
2 the temperature waves because a daily temperature
3 wave has a characteristic depth of something like 20
4 inches. So you would see it down there.

5 We see the moisture changing really not a
6 lot up until you get a big rainstorm and then it
7 tapers off after the rainstorm. And you can say
8 well, maybe that wasn't a typical year. That's the
9 only year of data I had. They ran some into 2007 at
10 the time, so I picked up the 2007 data, found a
11 place where the moisture was the same as 2006, glued
12 the two together and said, "I will make an
13 artificial wet year, something with a lot of
14 rainfall, and see does that make any difference in
15 my result?" I ran several soils. I will show only
16 a few of them here.

17 Here they were characteristics. I took
18 the characteristics from a published list of
19 characteristics from soils with these characteristic
20 names like sandy loam or clay loam.

21 At zero year you can see moisture in the
22 aquifer. That's the blue line. It comes up.
23 There's a moisture level. I set that rather
24 arbitrarily in the pit at 80 percent. The pit is
25 likely to be pretty wet. Then the pit would taper

1 off to the surface. This degree of saturation. If
2 we look at what happened to the chloride or to the
3 salt at zero time you have it in the pit, the green
4 line is what you see at ten years. What you see is
5 a pulse moving down. In this case at 40 years you
6 see a pulse down here at a depth of about 18 to 12
7 meters. It's just barely reaching the aquifer.

8 At 100 years it has pretty well come down
9 and what has come down has reached the aquifer. If
10 we go to a sandy clay loam, a more moderate soil, we
11 look at the moisture, begin to bleed moisture out of
12 the pit, we see the moisture profile moving down.
13 Moisture from the pit is actually raising the
14 moisture level in the soil below it a little bit.
15 We are seeing a downward flow of moisture. If we
16 look at the salt level we see we begin to bleed salt
17 out of the pit. It doesn't go so far down. At 100
18 years, the bottom of the salt, if you want to call
19 it chloride, is only down at about ten meters. We
20 have tightened up the soil a little and it doesn't
21 travel down. Uh oh, it goes up. What we find is
22 it's being sucked upward in this soil and if you sat
23 right out here at the zero level of the calculation,
24 what you would see is in the very top cell of the
25 calculation you would see that jiggling up and down.

1 When the rain hits, it's going to go down to zero or
2 close. When it dries up, you will see it come back
3 up because shortly under it there is more chloride
4 left behind. So what goes on in-depth versus
5 surface is going to depend on the soil type.

6 If we use a clay loam or a really tight
7 soil, we see, first off, a very different moisture
8 profile in the soil under equilibrium conditions.
9 Some comes out of the pit. Again, it doesn't
10 penetrate very deeply in 100 years but it come out
11 up to ground surface. In fact, we see here even a
12 little pumping higher than the concentration of the
13 pit because you pull water out and it dries. But if
14 you sat on the surface you would see jiggling going
15 up and down.

16 What are the results? These are
17 simulations. They are not a given soil. Soils have
18 great variation and if you are going to model a
19 particular soil you are going to go to a lot of work
20 to know all the properties in every cell. I chose
21 just three representative cells and filled the whole
22 depth with it. What we find in what are called the
23 looser soils, the chloride preferentially travels
24 downward. In moderate soils, the chloride travels
25 less, and in tighter soils you get more of a

1 tendency to go up where it seems to concentrate
2 above the pit.

3 Well, how do we compare this with one
4 thing that's often measured which is recharge? In
5 the loose cell with that top moisture, if you had
6 that loose cell you would be getting between one and
7 three inches of recharge a year. I think probably
8 most of the southeast doesn't get that much. That's
9 just from rumors I have heard but I haven't looked
10 it up.

11 But if I looked at the moderate to tight
12 soils, what got down to the aquifer was less than
13 .05 per year. So you can get it either way. If you
14 have no recharge going down to the aquifer, the
15 diffusion is slow. You will carry it part-way down
16 but it will be a very slow progression.

17 CHAIRPERSON BAILEY: Why don't we mull
18 this over over lunch?

19 MR. NEEPER: If I were to mull it over, it
20 would give me a terrible headache.

21 CHAIRPERSON BAILEY: It's a good time to
22 take a break to see if there are any people who have
23 signed up for public comment. Irvin Boyd.

24 IRVIN BOYD
25 after having been first duly sworn under oath,

1 was questioned and testified as follows:

2 CHAIRPERSON BAILEY: Please state your
3 name and your place of residence.

4 THE WITNESS: My name is Irvin Boyd and I
5 live in Eunice. Anybody don't know where Eunice is,
6 it's south of Hobbs. Commissioners, I would like to
7 thank you all for the opportunity to speak and I
8 would like to thank everybody here for your care and
9 participation in trying to solve and work through
10 some problems that we have. You know --

11 CHAIRPERSON BAILEY: Before you begin, I
12 must caution you that we have a five-minute time
13 limit for each person for public comment.

14 COMMISSIONER BALCH: Not to say you can't
15 come back this afternoon or tomorrow -- not
16 tomorrow.

17 THE WITNESS: I want to tell you all that
18 I live on my grandad's homestead. I have purchased
19 it from my family after they have died. It wasn't
20 left to me in a will, I had to purchase it. But
21 it's been my home all my life and it was my dad's
22 home and I hope it to be my children's and
23 grandchildren's home.

24 But I will tell you this, too. I can't
25 make it run without oil and gas because there's not

1 enough land there and there's just not enough money
2 to do it. So I do ranch. I have a few head of
3 cattle but I make my living to support my ranching
4 habit as a construction specialist in a pipeline
5 company. We lay pipe all over -- all around New
6 Mexico, mostly southeastern now.

7 But I live out and I work in the areas
8 that we're talking about. I can walk out my door
9 and probably within less than a quarter of a mile
10 radius there's multiple pits that we can look at and
11 some of them were drilled when my dad was a child
12 and they are still barren. Now due to the Pit Rule,
13 I can look at people that used closed-loop systems
14 and the pads are a little bigger. We lose a little
15 more country, but we haven't lost that pit area.

16 I have got confidence in the industry that
17 that whenever that well has completed its lifespan
18 the caliche can be picked up and you cannot believe
19 the efforts that predominantly Apache, Chesapeake
20 are using on my place to keep spills down, keep
21 contamination down. That's what I would like to see
22 is less work with prevention.

23 Now, I was asked to be on a pit work group
24 when Laurie Rotenbury was director of the
25 Commission. And I did. I sat in there for a long,

1 long days. I also was asked to make comments during
2 the Fesmire pit hearings. And so we know that the
3 pits have been considered a problem for years now.
4 What can we do with them? We don't know. But we
5 have got technology now to confine these
6 contaminants in pit contents and now we are using
7 them and it's working.

8 I understand it's costly in some ways and
9 we don't like to dump them in a specified place. I
10 dislike driving by CRI and I do very often. It
11 smells bad. Sundance, Perabo is another place that
12 takes these cuttings. It's not a pleasant place to
13 be. But I would rather they be there, and I would
14 like to consider them as storage places rather than
15 disposal places. And I, along with many, many other
16 landowners do not want these cuttings stored on our
17 places anymore because it's not a necessity. What I
18 would like to say and see is the monies that are
19 spent in studies trying to say that this stuff is
20 not going to hurt us when I can walk out my door and
21 look and see what it has done prior, is let's use
22 some of these monies and let's focus on the problem.

23 Let's find out how we can clean up these
24 cuttings. Because if the cuttings don't have
25 chlorides in them, if they don't have scale

1 inhibitors, rust inhibitors, other drilling
2 chemicals in them, then it's just a sterile soil.
3 Boy, I have places we could dump them. I could feed
4 cattle on them and bring it back to life.

5 That would be solving the problem. What
6 we are doing here, we might solve a problem now but
7 what's going to happen if we go too far north or too
8 far south in the next administration? Well, we need
9 to do something different. It's not good for the
10 landowners or it's not good for the industry. We
11 need to come back and redo this again. So we are
12 not solving the problem. Thank you all.

13 CHAIRPERSON BAILEY: Since you made sworn
14 testimony you are open to cross-examination. Are
15 there any questions of this commenter?

16 MR. JANTZ: I actually have a question.
17 Mr. Boyd, Eric Jantz with the New Mexico
18 Environmental Law Center. Could you describe what
19 you -- you mentioned you have seen what the pits
20 have done to your land? Could you describe it?

21 THE WITNESS: Well, they are barren. You
22 all seen some pictures in Dr. Neeper's examples.
23 They are barren. You know, you can go there and
24 chlorides are there. We have one pit area where the
25 soil is very susceptible to erosion and it's moving

1 and moving and it's just killing all the vegetation
2 around it. We also have a problem in these sites
3 that are not growing usable vegetation.

4 We are having a big problem at our place
5 with African root. So, you know, that's one of the
6 things that I can see. It's there. You can see it.
7 Anybody can see it that's out the field. That's why
8 I would appreciate to be able to -- everybody to be
9 able to work together to prevent a problem that we
10 know is there. I just don't see how we can prolong
11 it or do whatever. Let's work at trying to get it
12 involved.

13 MR. JANTZ: Are there closed-loop systems
14 on your land?

15 THE WITNESS: Yes, they have used
16 closed-loop systems.

17 MR. JANTZ: Do you see the same problem
18 with those?

19 THE WITNESS: No.

20 CHAIRPERSON BAILEY: Any other questions?

21 MR. HISER: Mr. Boyd, I'm Eric Hiser and I
22 represent New Mexico Oil and Gas Association in this
23 case. I appreciate you coming in. Mr. Jantz asked
24 you about pits that you had seen that were bare.
25 Were those pits that have been done recently, say

1 since 2000, or were those pits drilled in your
2 father's time?

3 THE WITNESS: Most of the ones that I talk
4 about being close to my house were drilled when I
5 was a kid and also in my father's time.

6 MR. HISER: Were any of the bare pits that
7 you have seen those that have been drilled since
8 2004?

9 THE WITNESS: Probably not. I do have
10 pits that have been drilled or wells that have been
11 drilled later and I can't tell you the exact dates
12 on them, and the contents have been buried there on
13 the location, but I know to me the same contaminants
14 that are on the surface now are closer to the
15 groundwater.

16 MR. HISER: The surface, does it look
17 better for you?

18 THE WITNESS: It is better. The surface
19 is just like any surface that you might blade off to
20 put a house or do any kind of blading and scraping
21 and disturb the original vegetation. It takes years
22 for it to come back like it was.

23 MR. HISER: Thank you so much for your
24 testimony. Appreciate it.

25 CHAIRPERSON BAILEY: Dr. Neeper, do you

1 have a question?

2 MR. NEEPER: Yes. Mr. Boyd, to your
3 knowledge has anyone ever looked under a pit on your
4 land?

5 THE WITNESS: On all of the pits that I
6 have on my place, when I was up here at the Fesmire
7 pit hearings I got a call from an old company, Lacy
8 Reserves -- or Resources, and they said, "Irvin, we
9 have a problem with one of the drills." They had a
10 12-well drilling program and they were not all on my
11 place. And they said that the pit liners leaked.
12 And I had asked them, "Would you guys use
13 closed-loop? I don't want anymore pits." They told
14 me, "No, we figure it costs approximately \$30,000
15 something." That's just what they told me. I have
16 no idea that that's what it is, but they called me
17 and said, "Irvin, our pit liners have leaked and it
18 has gone down." And they traced it down and dug it
19 out to probably 30 something feet and our water
20 table is in the range of 50 feet. And it got into
21 what I like to call the water sample. I'm not a
22 geologist, not a professional.

23 But there the OCD allowed them to put a
24 plastic cover on it. They did drill a well to see
25 if the water was contaminated and they said it

1 wasn't, but the flow of the water in our part of the
2 world is from the northwest to the southeast. They
3 drill the monitor well to the north side of the pit
4 out of the water so I didn't have any confidence in
5 it. But I don't have the money to fight it and out
6 of all of the other pits on my place, none of them
7 have been tested under the liner.

8 I do have a contract with the company that
9 says they had to remove all of the cuttings and they
10 didn't. They closed it and plugged the well. I
11 brought this contract up and I asked them and they
12 did not want to get under there. They said we are
13 scared to see what's under there. And guys, I work
14 in the oil field every day. I realize what it could
15 cost. They talked me into clay capping the area and
16 bringing in topsoil so I could get some surface.
17 So -- and I do know, I have one going on right
18 now -- that the company is obligated to clean this
19 pit up. Well, they started with the battery,
20 cleaning it up, and it just blossomed. I mean, it
21 just -- they said, "It's too much."

22 Right now they are going back to the other
23 people that produced this location prior to them
24 trying to get help to come in to clean this mess up.
25 But my answer is no, to test underneath pits on my

1 place, they have not done that.

2 CHAIRPERSON BAILEY: Any other questions?

3 COMMISSIONER BLOOM: Mr. Boyd, my name is
4 Greg Bloom. A couple questions for you. Thank you
5 for coming in today. You mentioned this company
6 called you and said that their liner leaked. What
7 year approximately was this happening?

8 THE WITNESS: When the pit hearings were
9 going on with the Fesmire hearings, was that 2007?
10 That would have been it.

11 COMMISSIONER BLOOM: And you said you have
12 Chesapeake on you now?

13 THE WITNESS: I do.

14 COMMISSIONER BLOOM: That's closed-loop, I
15 think we established.

16 THE WITNESS: Yes. The last wells that
17 they have drilled on my place has been closed-loop.
18 Chesapeake and Apache.

19 COMMISSIONER BLOOM: Both of them
20 closed-loop. When they approached you, did they
21 want to do a pit with a liner or did they
22 immediately go to closed-loop?

23 THE WITNESS: Prior to this, my agreement
24 stated that if they used a pit with a liner then
25 they removed all the drill cuttings and contaminants

1 from the property. These were coming up and I don't
2 remember whether the Pit Rule was in effect or not
3 yet. I think it probably was. They said, "Irvin,
4 we are not going to squabble about closed-loop or
5 anything. We are going to do it closed-loop." So
6 there was no request there from me or no discussion.
7 They said, "That's the way we're going to do it."

8 COMMISSIONER BLOOM: It's my understanding
9 that Chesapeake is solely doing closed-loop. Have
10 you seen that in your case?

11 THE WITNESS: No, I cannot tell you that.
12 As a broad spectrum I cannot tell you.

13 COMMISSIONER BLOOM: How about on your
14 neighbors? Do you know?

15 THE WITNESS: No. I can't tell you
16 because I'm not familiar with Chesapeake drilling on
17 my neighbors.

18 COMMISSIONER BLOOM: Thank you.

19 MS. FOSTER: Commissioner Bloom, I
20 represent Chesapeake as their lobbyist in New
21 Mexico. If you would like to have a position from
22 Chesapeake I can obtain that.

23 COMMISSIONER BLOOM: Thank you. Thank you
24 for your time.

25 THE WITNESS: I would like to thank all

1 these people that try to do it right.

2 COMMISSIONER BALCH: One more question.
3 You are the surface owner and somebody else is the
4 mineral owner?

5 THE WITNESS: No, I do not own minerals.
6 My grandad sold the minerals after he homesteaded.

7 COMMISSIONER BALCH: My understanding as a
8 surface owner is you can stipulate using the Surface
9 Owner's Protection Act how operations are conducted
10 on your land.

11 THE WITNESS: Well, I don't know that I
12 have that right even through the Surface Owner
13 Protection Act. I would love to be able to say we
14 are going to do it like this, but I don't know that
15 I have that right so I cannot tell you that I do.

16 COMMISSIONER BALCH: Thank you.

17 CHAIRPERSON BAILEY: Anything else? Mr.
18 Boyd, thank you for coming in. I appreciate your
19 comments. We will take a break for lunch and
20 continue until 1:00 o'clock.

21 (Note: The hearing stood in recess at
22 12:00 to 1:00.)

23 CHAIRPERSON BAILEY: Dr. Neeper, you were
24 in the process of giving direct testimony.

25 MR. NEEPER: That's correct, Madam

1 Chairman. What I had spoken of was a simulation
2 using -- what I showed was calculations using three
3 different soils. I did not simulate multiple layers
4 and different soils that you might find in different
5 places. I was trying to find out what kinds of
6 things can happen.

7 What this kind of calculation provides is
8 something on the size and the time scales of the
9 activity, giving you some idea of how much might
10 move, how far, how fast. It does not provide exact
11 quantitative estimates which are going to be
12 sensitive to the numerical values of the parameters,
13 particularly the rainfall. What happens in the
14 upper layer of soil is certainly going to influence.
15 That measured volumetric moisture at 20-inch depth.
16 In this calculation injection withdraws water just
17 as it does in the real world.

18 The data as I look at it suggests to me
19 the instruments are in a rather loose soil. I was
20 thinking that a tighter soil with greater suction
21 might have shown greater volumetric moisture, but
22 beyond that I can't make a guess really as to what
23 was the exact situation at those instruments.

24 Three-dimensional -- this was a
25 one-dimensional examination. A three-dimensional

1 dispersion would allow the chloride to move
2 horizontally. It would create a broader, probably
3 initially faster plume. Later it would probably be
4 slower because it's spread out farther.

5 I used 2006 as a supposedly typical year
6 because it's the only data I had. I created a
7 supposedly high rainfall year just by moving in some
8 data from 2007, and the wetter year, the seven-year
9 intervals really didn't have much effect on the
10 long-term transport in the moderate and tight soil.
11 When you get wetter and really sandy soils it's
12 going to move downward faster.

13 The model did not include colligative
14 influences. That means the effect of whatever is
15 dissolved on the surface tension, vapor pressure,
16 vapor diffusion, viscosity, osmotic pressure in the
17 thin element. I could make a guess that these might
18 have slightly increased the chloride transport down
19 below. They could strongly influence things in the
20 shallow region where you have a lot of dynamics
21 going on.

22 As I explained, I did not attempt detail
23 modeling the region near ground surface. I have
24 seen one or two other papers that were credible
25 doing that, and I doubt that there really is a code

1 out there that can handle all of that. Somebody has
2 to invest a lot of their lifetime building a
3 numerical code to do that.

4 Conclusions from the sampling and the
5 simulation. What you see is the concentrations in
6 the waste are many times the toxic limits for biota.
7 I concluded that only an intact and impermeable,
8 sealed liner could prevent contamination with the
9 vadose zone. What you see is the stuff moving out.
10 We can't exactly predict how much, how far, and I
11 don't see there a great argument between
12 Dr. Buchanan and myself. He says it will go about
13 this far and no farther. I'm not sure of that, but
14 I certainly support his arguments that you can do a
15 good remediation on the surface, if you will. It
16 may eventually come up. You can't guarantee what's
17 going to happen to the surface but you can certainly
18 remediate the surface and you know if the rainfall
19 is low enough that the downward progression will be
20 slow once it gets to a deep enough depth.

21 What we ask -- I think it's fair to ask
22 what protection is offered by liners. This is not
23 an argument against liners. This is simply saying
24 what are we talking about in our rules? If we take
25 a critical evaluation, what are we talking about.

1 MR. HISER: Madam Chairman, at this point
2 I would once again object to the scope of expertise.
3 If he would like to offer a sworn statement, I have
4 no objection to that.

5 CHAIRPERSON BAILEY: Would you like to
6 respond?

7 MR. NEEPER: The simplest physics involved
8 in soil physics is probably the Darcy law for fluid
9 flow in porous medium. That is, that the velocity
10 of the fluid is proportional to the gradient of the
11 pressure. This is what is implicitly referred to
12 any time you talk about a hydraulic conductivity.
13 The standards within the proposed rule include the
14 liner standard with a specified hydraulic
15 conductivity. If I can't calculate the flow to that
16 liner -- that's probably eighth grade algebra -- I'm
17 certainly not competent to do anything else.

18 COMMISSIONER BALCH: I am certainly
19 comfortable with Dr. Neeper's qualifications.

20 CHAIRPERSON BAILEY: Your objection is
21 overruled.

22 MR. HISER: Thank you.

23 MR. NEEPER: What I write on the slide is
24 the transmission time, the transmission, it goes
25 through a liner. Thinking one-dimensional

1 straight-down flow divided by the head, the depth of
2 fluid that's on the liner. And the flow rate is the
3 conductivity times the head divided by the
4 thickness, and I said oh, and the amount that flows
5 through then, you must multiply by the time. I said
6 I want to divide by the head to know how much goes
7 through per unit of head, so I divide by the head
8 and finally come out with a simple expression of K
9 times the time divided by the head.

10 If you plug that into here, the hydraulic
11 conductivity, and you put in for D a thickness of 30
12 mil, the transmission per head comes out to be about
13 .41, which totally surprised me. That means if you
14 maintain that head by pouring liquid on top, 41
15 percent of that depth would come through in the air.

16 That doesn't happen. I don't think
17 anybody in here has seen that happen. So why would
18 this look this way? The liner manufacturer has to
19 guarantee his square many, many yards or maybe a
20 square mile of material he sells to meet a standard.
21 And so he can't, I think, reasonably claim some
22 extremely high standard. He has to have something
23 to meet. We always thought this was good. It went
24 in the rule. I don't think we ever questioned it
25 because that's what's available. We don't see these

1 liners leaking.

2 But this is what we mean when we are
3 talking about a standard for the liner. Why would I
4 even care? Because our proposed standards either
5 for leaving pit waste in place or for digging and
6 removing them out and sampling the soil underneath
7 are high enough that you could have a substantial
8 transmission by a liner and still meet the
9 standards. That does concern me.

10 That is the significance of the liner
11 exercise. Liners are not necessarily secure
12 forever. We have liners quoted for unstrained
13 material, strains. Materials have less lifetime
14 with strained. Burials settle. We don't know
15 what's going to happen on the surface. So we
16 shouldn't be totally trustful that a liner is going
17 to hold stuff for a time period of centuries.

18 The rule removes restrictions on pit
19 slopes simply saying -- the word isn't account but
20 some recognition of the repose, the angle of repose
21 has to be taken. Well, the angle of repose is
22 really that angle which, ideally, if you drop
23 another few particles you will get a slide. That's
24 what we mean by angle of repose. So in a lot of
25 soils it's possible to at least temporarily dig a

1 vertical wall excavation and have it hold for a
2 while, and sometimes liners are installed there. I
3 show one, and that leads to tears in the liner.

4 Why should I be concerned? It's personal
5 experience as well. I was in charge of a project in
6 which we had something like an oil field pit and it
7 was smaller. It was probably about 20 feet on a
8 side rectangular pit. Vertical sidewalls in solid
9 rock. So it was as good as you could be. The
10 science behind it required that we had vertical
11 sidewalls for what we were measuring. It was a
12 saltwater pond.

13 After a few months of operation we had a
14 leak in the primary liner. The leak detector went
15 off and we had water going into the secondary liner.
16 We patched it underwater proving that you could
17 patch a liner underwater, but I don't recommend it.

18 Ultimately, the secondary liner leaked and
19 we had no tertiary leak detector to tell us that.
20 Why were they leaking? It was the vertical stresses
21 on the walls. The friction between one liner and
22 another one and the weight of the water would cause
23 the liner to stretch and stress vertically and the
24 tears were down at the bottom. So that made me very
25 uneasy about trusting vertical walls, even though we

1 had ideal situation.

2 Can liner strain be avoided during trench
3 burial? This is not a dirty picture of somebody's
4 pit or trench. That's not what it's for. It's
5 looking at what you need during trench burial. You
6 don't make it really fine. You shouldn't have to.
7 But you notice curves and stretches. This operator,
8 as best I can tell, has done the best job he can.
9 He put in wrinkles where he can so there's excess
10 material to relieve strains. Yet you can look along
11 here and see areas of strain. Strain will occur,
12 particularly after you close up and you can't
13 predict what's going to happen.

14 So in the big picture of the rule. This
15 discussion, the reason we are having the meeting
16 really, is due to the industry's exemption from
17 RCRA. I kind of came into this business as a
18 RCRA-regulated party. Our broad challenge is to
19 protect the environment and the proposed rule has
20 some changes, for example setbacks, that leave me
21 uneasy. I will give you one reason for a setback.

22 There's a setback requirement of 200 feet
23 for a pit from a tributary of a named watercourse.
24 I have been out and seen many little canyons that
25 were not tributaries to a named watercourse but

1 nonetheless were sharp and steep. My feeling would
2 be putting a pit right up close to those will
3 ultimately result in an erosion of the pit.

4 Why would I feel this way? One case I was
5 on, the side of the mesa had been bulldozed out, a
6 flat area created where the drill rig could go and a
7 pit could go. It had been left fairly flat but the
8 materials to create this area was simply bulldozed
9 into the adjacent arroyo. So the level of the top
10 ground surface or the level of the platform surface
11 was about equal half-way up to the pine trees that
12 are right next to it. I don't think we want to
13 encourage that kind of thing.

14 As best I could tell, that situation would
15 be pretty close to allowable under the rule because
16 the width of the platform is about 200 feet and it
17 was right up against the arroyo. Sure enough, the
18 waters runs across and eroding out the platform into
19 the arroyo. So it's this kind of personal
20 experience that says we should be cautious with our
21 setbacks. I certainly would get more than that 200
22 feet.

23 Many of our producing areas are grassland
24 and scrub. I have heard people say to me that I am
25 trying to protect the desert wasteland, but even the

1 death of overgrazed grass and scrub leads to the
2 desertification, dust bowl kinds of things. And our
3 question is: Can pits do this? The answer is
4 probably yes, if you have many, many burial units.
5 It's not one that worries me at all. It's having
6 them out there scattered around the landscape
7 potentially having an unmarked burial every few
8 hundred yards or so.

9 I have used this slide previously. If you
10 did have 40-acre spacing and if you had a pit with
11 each well, you would have about -- you could get
12 about 311 yards from a pit. You couldn't get
13 farther from a pit. This does degrade the value of
14 the land for whatever purpose it may have, even just
15 future existence as a landscape. So I think we
16 should be very cautious about burying waste in a
17 widespread fashion.

18 This again is a table of the closure
19 criteria for soils if you pick up the contents of a
20 pit and you test the soils, and the limit there for
21 that test is 20,000 milligrams per kilogram of
22 chloride. I asked myself, what does that mean? I'm
23 just trying to put the rule in context so we can all
24 deal with it and understand. I work the problem
25 backwards. I took the typical -- I think 50

1 percent; I have to look back -- volumetric porosity
2 in the soil, and I said what fluid just leaking into
3 that and driving the head downward could generate a
4 20,000 when you just stop the flow?

5 It comes out to be about 60,000 milligrams
6 per liter. In other words, it's a fairly high
7 chloride fluid. It's not the extreme that we use in
8 the southeast, but it tells me that conforming to
9 the rule, an operator lifts up his liner and he
10 says, "I have only 19,000 milligrams on the soil. I
11 don't need to do anything about it." In fact, what
12 he has is what we might have called a release in the
13 past. But he is okay now. Up above, we had with a
14 short distance to groundwater 5,000 milligrams per
15 kilogram. That's an interesting correlation.

16 If I take 15,000 milligrams per liter, the
17 definition of low chloride water, and use the 50
18 percent porosity described by Dr. Buchanan, you find
19 the two liters of soil will hold one liter of water.
20 Well, the soil density can vary, but one round
21 number is like one and a half kilograms per liter or
22 two liters raise three kilograms. That is, I would
23 have 15,000 milligrams of chloride in three
24 kilograms of soil. If it you divide that out, you
25 find out isn't it amazing that that's just equal to

1 5,000 milligrams per kilogram in the soil? In other
2 words, the low chloride limit for drilling fluid
3 just happens to equal this standard in a typical
4 soil if you leaked it into the soil.

5 Now, to me there is an association in
6 saying that this soil limit is permissive of letting
7 that kind of drilling fluid seep into the soil,
8 because you pick up the liner, you take some
9 samples, you find that chloride concentration in the
10 soil and you say, "I'm done, I'm clear." In fact,
11 you might have had a release. You haven't looked
12 very far. You haven't gone down to see what
13 happened. That's where I started this discussion.
14 When you see a high chloride, that's a signal you
15 need to look at what happened and how did it get
16 there.

17 If we look at the burial of waste left in
18 place, what do the 2500 milligrams or 5,000
19 milligrams per liter mean in kind of ordinary terms?
20 Because these are not talking about drilling fluids.
21 This is what remains after you have diluted the
22 waste by three to one with supposedly uncontaminated
23 soil and then diluted that result at 20 to 1 with
24 the leach water. That's the test.

25 Well, what I find when I looked at this is

1 that either standard is unlikely to be exceeded by
2 pit solids that are saturated with brine due to the
3 limited solubility of salt in the water. In other
4 words, the operator doesn't have to worry too much
5 about violating these standards even if his liner is
6 leaking because when he samples the contents -- or
7 he doesn't have to worry about exceeding these
8 limits when he goes to burial. Because when he
9 samples the contents he is not likely to exceed them
10 even if he has had a very high chloride fluid. So
11 there again, what I'm talking about is some caution.

12 Now, I took a little issue with the SPLP
13 test. I know it's the test you use when you're
14 trying in the RCRA situation to flush the very last
15 bit of some terrible, terrible thing out of the
16 soil. But we have standards for cheap and quick
17 chloride tests elsewhere. Maybe if you are going to
18 have this kind of concentrations you need a full
19 leach test, but the 2500 milligrams per liter, I
20 say -- and this is with a low porosity in the
21 soil -- comes out to about 8 or 9 percent salt. We
22 did the calculation and came out with numbers even
23 twice this great of 5,000 milligrams per liter, 17
24 percent salt upwards.

25 In other words, we are unlikely -- this is

1 in the original waste before dilution. We are
2 unlikely to generate by any process those kinds of
3 wastes. So the rule is everything goes. What you
4 do is set a standard that's so high you're not going
5 to exceed it. That's the way I see it.

6 Depth to groundwater in the absence of
7 site-specific data, the proposed rule allows
8 approximate methods. I think we did that before.
9 It leaves me uneasy because it's whose
10 approximation. Approximations are fine at a depth
11 of 100 feet but at 25-foot depths or ten-foot
12 separation for tanks, I am very uneasy with
13 approximations. You can drill a hole and you can
14 look.

15 Everywhere in the rule groundwater was
16 stated, it was stated as confined or unconfined.
17 The word unconfined groundwater was used. I take
18 great issue with that. It raises questions I think
19 we don't want to have. Confinement means there's a
20 low permeability layer above the top surface of the
21 water, but what it really means is what's defined,
22 which is if you poke a hole in it you get a rise in
23 the water. That's how it's defined.

24 You raise the question of rise of water
25 above what? The only way that rise is significant

1 is if you drill another hole right beside it but not
2 quite so deep and it stays dry and the hole that
3 goes in the aquifer, water comes up and gets above
4 the dry hole. Other than that, you don't have an
5 actual functional test of what is confined or what
6 is not confined.

7 So our definition in a practical sense
8 gets us into trouble. Why am I allergic to this?
9 If you go to the literature you will also find a
10 thing called a semi-confined aquifer. If you look
11 at what happens to the liquid level in the pipe you
12 do put in the aquifer, you will often find it going
13 up and down. People measure that and come up with a
14 thing called barometric efficiency of the aquifer.
15 How much is the barometric pressure affecting it?
16 How well does the barometric pressure itself get
17 through the confining layer? If it doesn't get
18 through, then the aquifer, the water in the pipe,
19 has to go up and down exactly according to the
20 barometric pressure and the flow that the
21 permeability allows.

22 So we are getting into complicated
23 situations when we go to confined versus unconfined
24 aquifer. The real problem with that is there is no
25 limit to what you can do if you are above the

1 confined aquifer. You can go right down and bury on
2 the top of it, if you want.

3 Well, a confined aquifer may not be
4 confined tomorrow, as we heard. In my experience
5 that's true. When I was a little boy growing up in
6 southern Colorado, in some places we had 30 feet of
7 head on the artesian aquifer. Even during my
8 childhood time, I remember when the drinking
9 fountains went dry in the schools as the artesian
10 pressure went down. As our society uses more and
11 more water, what is now a confined aquifer can in
12 the future be unconfined. We just shouldn't make
13 that distinction in the rule.

14 I just drew a picture of it because I had
15 concerns with the term throughout the rule of unused
16 spring. I understand there's an agreement to take
17 that term out. But previously you could get as
18 close to an unused spring as you wish and you could
19 get as close with burial to a confined aquifer as
20 you wished.

21 I have a little uneasiness with our
22 statement of reclamation. It says, "Reclamation
23 shall be considered complete when all disturbed
24 areas have been either compacted, covered, paved or
25 otherwise stabilized," and then it goes on to or,

1 and after the "or" is revegetation. I am in
2 complete agreement with Dr. Buchanan that things are
3 much better off if they are revegetated, and he has
4 shown us how he can take a very difficult situation
5 and make vegetation grow.

6 So there was concern that the landowner
7 might want it compacted. Well, following this in
8 the rule there is a paragraph dealing with
9 landowner's considerations and the landowner by
10 contract can get the situation left as he wished,
11 but we should not have a requirement whereby when
12 the operator compacts the soil, that is sufficient,
13 and that's what this says in the terms. "Shall be
14 considered complete when," and then you have the
15 words "compacted, covered or paved."

16 So what's missing, registration in place
17 of permitting. It leaves me uneasy if the field
18 offices had lots of time but it leaves no decision
19 in the process. Many alternatives includes the term
20 "shall approve." I think an approval should not be
21 ordered because it takes judgment and evaluation out
22 of the question.

23 Variances that are issued, as best I can
24 read it, you can go to an exception, get a hearing
25 and get a hearing on a variance, but as best I read

1 this, they are likely to allow only interested
2 persons to comment, and I think that's a restriction
3 because the public goes through at least some
4 participation to establish a rule. When there is
5 controversial exception, the public should have a
6 voice in there.

7 There's no limits on what you can bury if
8 the groundwater is more than 100 feet. This is
9 saying you may contaminate the vadose zone where you
10 want as much as you want. I don't think we should
11 do that.

12 Setbacks are from occupied residences. I
13 would wish that could be stated a little more
14 clearly because an empty building in terms of the
15 drilling inspector has passed an inspection for
16 occupation. So can you call it occupied? I don't
17 know exactly how to do that, but as long as that
18 word "occupied" is in there, it implies that one
19 does not need to take account of the house unless
20 there's a person actually living in it.

21 So to give a sum-up, if we are going to
22 bury things out in the field, and I think it's
23 unwise to do so, I think at least we should put a
24 steel marker there just like we do on a plugged
25 well. I don't regard a plugged well as a dangerous

1 thing if the cement job is any good. But I do
2 regard a buried pit or a buried trench as a
3 dangerous thing. Someday somebody is likely to
4 drill in it, drive over it, poke on it, do something
5 to it. I know it's registered at the County, but
6 how often do we look there when we are going out to
7 do something in our field? So I think it merits
8 certainly a steel post if they are going to bury.

9 Why am I so big on the vegetation? I have
10 heard that it can be revegetated. I believe it can
11 be revegetated. My fear is at some point it will
12 not be revegetated or the vegetation will be
13 removed. If the vegetation is removed, that greatly
14 increases the possibility for the salt to move
15 upward. Once it moves upward, then I think we get
16 the conditions we heard about today or the kinds of
17 pictures we saw in my pictures. Once salt starts
18 coming to the surface it's harder for vegetation to
19 take over. You get less vegetation. With that I
20 conclude my remarks. Thank you. I would like to
21 offer this presentation and this exhibit for
22 acceptance by the Commission.

23 CHAIRPERSON BAILEY: Any objections?

24 MS. FOSTER: No objection.

25 MR. JANTZ: No objection.

1 CHAIRPERSON BAILEY: The exhibit is
2 accepted.

3 MR. NEEPER: Thank you for your patience.

4 MR. SMITH: Let me ask which exhibit are
5 we talking about? We already have his resume
6 entered and admitted. This exhibit is what?

7 MR. NEEPER: Exhibit No. 5, sir.

8 MR. SMITH: Have we had 4 admitted?

9 CHAIRPERSON BAILEY: We can do it again.

10 MR. NEEPER: I think what's confusing you
11 is Exhibits 1, 2 and maybe 3 had to do with
12 Dr. Bartlit's presentation. He has been ill all
13 week and those papers were submitted with
14 prehearing, but there's been no one here to present
15 those.

16 MR. SMITH: What about Exhibit 4?

17 MR. NEEPER: That was accepted earlier
18 today.

19 CHAIRPERSON BAILEY: And Exhibit 6. So
20 would you like to move to have Exhibit 6 admitted?

21 MR. NEEPER: I won't use the word "move"
22 because I may not be qualified, but I would like to
23 offer Exhibit 6 for acceptance by the Commission.

24 CHAIRPERSON BAILEY: Any objection?

25 MS. FOSTER: No objection.

1 MR. HISER: No objection.

2 CHAIRPERSON BAILEY: It is accepted.

3 (Note: Exhibits 4, 5 and 6 admitted.)

4 CHAIRPERSON BAILEY: Cross-examination?

5 CROSS-EXAMINATION

6 BY MR. HISER

7 Q. Thank you Madam Chairman. Good afternoon,
8 Dr. Neeper.

9 A. Good afternoon.

10 Q. It is good to continue our conversation
11 about pits and soils and water movement. I would
12 like to flip through a couple of the issues that you
13 have raised in your slide and it will take me a
14 moment to find the proper one. It's on Page 3 of
15 the prehearing exhibit which looks like that would
16 be Slide 5.

17 A. At the top of your paper?

18 Q. Yes, Page 5.

19 A. It says Page 5.

20 Q. In the top paragraph of this, you state
21 pretty determinatively that if the vadose zone is
22 contaminated the entire environment suffers and
23 eventually the water will also be contaminated. Is
24 that true?

25 A. That's what I feel is true, yes. Why

1 would I say that?

2 Q. I guess my question to you would be: Does
3 the environment, in fact, have some restoration
4 capacity?

5 A. Yes. Restoration implies it's already
6 been damaged.

7 Q. That may be true. So, for example, if you
8 take the example of a septic tank that was discussed
9 earlier in this hearing, the theory behind the
10 septic tank is that leaches materials so we will go
11 through environmental processes to not have
12 permanent environmental harm; is that correct?

13 A. That is a theory. I am greatly at odds
14 with that theory.

15 Q. I understand. Do you deny that those
16 restoration processes happen?

17 A. Oh, no.

18 Q. And in the second paragraph of this, you
19 state that in most cases if no release occurs
20 through the vadose zone, water and the soil are both
21 protected. But it would be equally true if there is
22 never any release then there's never any damage?

23 A. I am seeing that as a trick question and I
24 am trying to see what trouble am I getting into. If
25 you have no release, there is no damage from that

1 release because there was no release.

2 Q. So this would be a statement of truism
3 then; is that true?

4 A. I guess. I can't interpret the nature of
5 the question. I can't see where it's going. If
6 there's no release, yes. All right. So you are
7 saying that is relevant to this paragraph, the
8 middle paragraph, right?

9 Q. Correct. Your observation here appears to
10 be if there is no release to the vadose zone, then
11 there would be no damage. My question is similarly
12 if there was no release to the surface or the
13 groundwater, there would be no damage to them
14 either?

15 A. Not true.

16 Q. So explain to me how we get damage --

17 A. I spent those years of effort at Los
18 Alamos investigating the vadose zone, attempting to
19 find a way either that we could convince people that
20 the wastes are contained or that whatever is in the
21 waste, it would not get to the water. So to say if
22 you have a release, isn't the water protected,
23 that's kind of the term I heard you say.

24 Q. No, I said --

25 A. State the question again.

1 Q. My question was if there is no release to
2 the ground surface, then the ground surface is not
3 injured; similarly, if there was no release to the
4 groundwater, the groundwater would not be injured.

5 A. Yes, but we must be careful what we mean
6 by surface. If you mean the top three millimeters,
7 you can say the top three millimeters aren't injured
8 but the ability of the ground to be productive can
9 be injured by whether it's either 12 inches below or
10 24 inches below. If you call three feet below the
11 surface of the ground to the surface, that's surface
12 maybe as contrasted with 100 feet deep, yes, it's a
13 surface layer.

14 Q. But your answer assumes there was a
15 release. My question was if there was no release.

16 A. Yes. If I see transport out of a pit or a
17 burial unit, I call that a release.

18 Q. So you see a release even if there was no
19 release. But let's drop that. Moving on, I think,
20 to the more serious part of your presentation, and
21 this is where we are at Slide 13, the top of Page 7.
22 This is your example of the pore structure of the
23 soil.

24 A. Is this the page?

25 Q. No, Page 13. In this example that you

1 have shown, none of the particles appear to actually
2 be contacting the other particles. Is that what you
3 intended to represent or is that just a feature of
4 this particular drawing you used?

5 A. It's a feature of the drawing but I would
6 like to expand upon that. One particle can contact
7 another at one point, but you will still have some
8 narrow space between the particles that can hold
9 moisture by capillary action.

10 Q. But you agree that there are places where
11 the particles, in fact, contact each other and
12 that's where we get some of the strength of the soil
13 to stay in place?

14 A. They have to contact each other.

15 Q. Is it your testimony that all soil
16 particles are continuously covered with a thin film
17 of water at all depths?

18 A. Depth doesn't have anything to do with it.
19 The amount of moisture in the soil is what
20 determines whether or not all particles are
21 continuously covered. If you get it drying up, you
22 can break the film so that you no longer get
23 unsaturated transport. Some of the particles will
24 still have some water there somewhere, but it may
25 not be what you think of as liquid water. It's more

1 like an absorbed layer.

2 Q. Okay. How far down would a saturated flow
3 go into a soil, do you know?

4 A. Depends on the volume of your saturated
5 flow.

6 Q. If we were to have a typical rain event
7 here in New Mexico, understanding all the
8 reservations about typical rain which we have had
9 discussions about throughout this hearing, but if we
10 had, say, a two-inch rain, which would be a pretty
11 significant one, in a loamy soil, how far might that
12 go down?

13 A. I won't give you an answer to that one
14 because I haven't either measured it or calculated
15 it. What I have is my opinion and my experience
16 from digging holes in the backyard, but that is not
17 a scientific opinion and I am here as a technical
18 person.

19 Q. I appreciate that. Could we go to the
20 next slide, Page 14. Dr. Neeper, in this chart
21 which represents the moisture potential or the
22 matric suction, as you called it, there is a line
23 that divides the sandy soil from the intermediate
24 zone. Do you see that there on the left side of the
25 chart? It's the squiggly one.

1 A. Let me point. Tell me which way to move.

2 Q. To the left. That one there. Is that the
3 wetting curve or the drying curve or are they the
4 same?

5 A. They aren't the same. Usually there's a
6 hysteresis in there. These authors were trying to
7 show typically what does this look like and not
8 matric for a given particular soil.

9 Q. Do you know if this would be representing
10 wetting or drying?

11 A. It could be either one because soils
12 differ, so what the author did was take and draw a
13 typical shape of a curve on the graph. He might
14 have copied it from an exact measurement or it might
15 be where his artistic hand was. The purpose of the
16 graph is to show you what these things look like,
17 not necessarily to give you numerical values.

18 Now, there is numerical values showing you
19 what the suction means, the value of suction. But
20 you can't say that a sandy soil will have this value
21 of suction at this.

22 Q. So it's meant to be generally represented
23 of a principle?

24 A. Trying to show you the difference
25 characteristically between sand and clay.

1 Q. In the upper part of the chart you see the
2 discussion of the absorption region. Is that the
3 area where the water becomes strongly attached to
4 the soil particle?

5 A. Well, it's the area where you are so dry
6 that it is the water either does not move or moves
7 very slightly, and if you eventually break the water
8 contact between particles it isn't going to move at
9 all. It's a region you worry about because you
10 don't want to get your soils that way, but if you
11 are operating the soil in that condition, I dare say
12 you are not going to transport contaminants by
13 liquid movement of water.

14 Q. Thank you. If we continue on in your
15 example, I believe, and we move back to my Page 11
16 which is your Page 22, the bottom statement you talk
17 about the sodium absorption ratio. Is the
18 recommendation there true for soils other than
19 clays?

20 A. No. In fact, as Dr. Buchanan brought out,
21 when you consider things damaging, it also sort of
22 depends on what liquids you put in there. You can
23 go to higher sodium absorption ratios and use
24 different liquids to put on the soil, so there's a
25 whole area of things that this gets into.

1 Let me try to review what I was getting
2 at. Sodium damages the soil structure, and when we
3 were trying to consider landfills, the objective was
4 generally you need some guidance at the landfill.
5 Probably you shouldn't get over 15. If it's real
6 clay soil maybe it shouldn't be more than five.
7 That doesn't mean that you couldn't grow a plant of
8 some kind in a clay soil with a five.

9 Q. There's a dynamic relationship that goes
10 on among the soil constituents?

11 A. Very much. It depends what you are
12 putting in there. But I have that knowledge from
13 reading. I have not measured SAR in soils versus
14 liquids to which they have been exposed.

15 Q. Let's turn ahead then to your Caprock
16 sampling, which I believe is your Page 25. This pit
17 was built and closed prior to Rule 50?

18 A. I don't know what Rule 50 was adopted.

19 Q. If I were to represent that was around
20 2004/2005?

21 A. I can remember -- approximately 2003 we
22 had the first pit work. And is that what led to
23 Rule 50? Was Rule 50 --

24 Q. For our purposes today, let's assume that
25 was, in fact, what led to Rule 50.

1 A. Anyway, it was completed, as best I could
2 tell from the records, about 1976.

3 Q. So would the closure that is represented
4 here conform to the closure that's currently
5 required by existing Rule 17?

6 A. This is not a closure at all. I don't
7 represent it as such. What I represent out of this
8 is what happens if salt gets away from you.

9 Q. Right.

10 A. The first thing I was trying to do out
11 here in hearing a lot of complaints was I wanted to
12 know was it real chloride damage or what you could
13 measure by chloride that was causing the problem.

14 Q. Right. But you don't know whether this
15 was a case where the pit contents were simply mixed
16 all the way up to the surface or there was a release
17 of produced water on the surface?

18 A. You can't tell that from this.

19 Q. And that would be true of Slide 26 as
20 well; is that true?

21 A. Yes. I hope I acknowledged that. We
22 don't know the history of the process.

23 Q. If we move --

24 A. We sure know what resulted.

25 Q. If we move on to Page 28 of your slides,

1 you are talking about how far, how fast things move,
2 and you talked about the diffusion through pore
3 water is a slow but absolutely certain process. In
4 fact, it's absolutely certain only if there's a
5 continuous connection of water.

6 A. That's right. If you dry up where you're
7 no longer in a capillary region, heaven help us if
8 we get a lot of our soils that way, but you are not
9 going to get diffusion in the water.

10 Q. Then in the next paragraph you talk about
11 the natural motions of pore water, what are the
12 natural motions of pore water. You talked about
13 diffusion, which is more the movement of salt within
14 the water, so what are you talking about here when
15 you say the natural motions of pore water?

16 A. The natural motions of pore water is the
17 unsaturated flow.

18 Q. And tell us what the components of the
19 unsaturated flow are.

20 A. Unsaturated flow will move in the
21 direction of the potential gradient, which may be
22 up, down or sideways.

23 Q. By potential gradient, you mean either the
24 water or the matric potential?

25 A. I mean the matric potential. Now, that

1 can be affected by things. If you get evaporation
2 in one region that will change the matric potential
3 there. If you move some water, now other water will
4 try to flow toward it.

5 Q. Are you including within that matric
6 potential movement that is sometimes known as
7 capillary action?

8 A. Well, matric potential is caused by
9 capillary forces.

10 Q. So in your mind, those are related
11 concepts?

12 A. Yes.

13 Q. Is there any other force that operates in
14 unsaturated flow conditions?

15 A. Yeah, there's diffusion of water vapor.

16 Q. Any others?

17 A. Any other force that operates? Tell me
18 what you want this force to do.

19 Q. Well, you said things that cause the
20 natural motions of the pore water.

21 A. A thing that causes motion of water?

22 Q. Right.

23 A. Let me think on that for a minute.

24 Because I'm so focused on the motion of a
25 contaminant. That can happen even when the water

1 isn't moving. What can move the water? There may
2 be something in some odd circumstance. I can't
3 think of it. Because usually if the water moves, it
4 is moving towards the lower potential. Now, wait
5 just a minute. Earth dyke. Particularly of
6 interest in your confined aquifers. The squishing
7 of the earth by the tidal forces of the moon will
8 cause water level above a confined aquifer in a pipe
9 to fluctuate, and the combination of barometric
10 pressures and earth's diagonal pumping can go down a
11 foot in some places.

12 Q. So those are --

13 A. There can be, in principle, some motion of
14 pore water. That's kind of a small thing.

15 Q. Have we got the major things at this
16 point?

17 A. We have the major ones. That's a very
18 tricky question that makes one think deeply.

19 Q. As we move on to your two slides later,
20 this is where I think in your intervening slides you
21 had the picture of the food color that disbursed,
22 and I want to really talk more about your Slide '30
23 where you are talking about the distance. In the
24 case of salt diffusion, actually this is just in
25 water itself; is that correct?

1 A. Yes.

2 Q. And just so I understand how this works,
3 that one meter in 21 years, I believe you said is
4 the amount of time it takes for two solutions to
5 equalize; is that correct? Or is that the leading
6 edge?

7 A. Yes, characteristic equilibration. I
8 could right down the formula. You will come within
9 one over E of a concentration. When we are thinking
10 in round numbers, this is the equilibration time.

11 Q. Once you get to one over E you start to
12 make lawyers very nervous, so we will leave it at
13 that. E is 2.1 7/8 or something like that, but
14 that's all I remember. If we have a situation where
15 it is less -- where I have other things in the
16 solution, be they soil particles or air particles,
17 would you expect that time to increase, decrease or
18 be unaffected?

19 A. If it's a particle, it's not in solution.
20 Would you care to restate the question?

21 Q. Yes. If there is a break in the
22 continuous part of the water between Point A where I
23 measured my diffusion starting from and Point B,
24 that would either stop the diffusion or potentially
25 would slow it if it had to go through a very

1 circuitous route.

2 A. Tortuosity is the term that's used by soil
3 scientists. It's a kind of a catch-all term because
4 if I hand you a piece of soil in the microscope, you
5 would have a hard time figuring out the tortuosity.
6 So it's really the fudge factor we apply to
7 transport rates in various conditions to account for
8 the fact that the flow has to go through a wiggle.

9 Q. Now, when we are talking about matric
10 potential or capillarity, is there a finite limit to
11 how far water can move under those conditions in an
12 upward direction? Let me be specific.

13 A. I'm trying to answer this by an example
14 because I want to say no. Theoretically, you could
15 say no. But if the potential -- as long as you have
16 a potential gradient, the water will flow towards
17 the gradient until you reach the position where you
18 are in the absorption region. The example I was
19 trying to think of is the depth of groundwater in
20 Nevada which for the last 10,000 has been sucking up
21 salt and causing a so-called chloride bulge, not a
22 high concentration but it's characteristic of water
23 moving upward that far. I can't remember what the
24 depth is.

25 Q. And so there's not a limit based on the

1 radius of the path that it's taking?

2 A. Not a physical limit. Something can
3 happen that would stop it from flowing.

4 Q. When we look through the slide, the
5 pictures of additional drilling that you did, Nos.
6 5 and 8 on Page 33, this is the same issue. We
7 don't really know the full story of the closure here
8 or how this pit was closed; is that correct?

9 A. No, we do not have knowledge of process.

10 Q. How did you -- I was going to ask how you
11 went through the process of going through
12 gravimetric to potential, but I am thinking you
13 would rapidly be over my head.

14 A. I would be pleased to answer it on this
15 basis. I know that most physical scientists operate
16 a lot with mathematics. With the exception of
17 quantum mechanics, I would say any physical
18 scientist who cannot explain what he does to
19 somebody else without speaking the mathematical
20 language probably doesn't understand it himself. So
21 go ahead. I should be able, if I understand it
22 myself, to answer your question.

23 Q. Well, I guess the question that I had --
24 why don't we flip to where you showed your
25 gravimetric moisture percentage. What I am

1 interested in is how you went from the gravimetric
2 moisture to your estimation of moisture potential.
3 So the one is at the bottom of Page 38 and the
4 second is, I believe, the top of Page 39.

5 A. This has moisture potential.

6 Q. The slide we were on. You have
7 gravimetric moisture in the upper left and a
8 moisture potential --

9 A. At the bottom.

10 Q. -- in the lower bottom.

11 A. Yes. What happened is my manner of
12 presentation has misled you. I measured the
13 gravimetric moisture by weighing the sample with an
14 analytical balance, putting it in a commercial
15 drying oven, taking it back out and weighing it
16 again.

17 Q. And that is the standard method of
18 gravimetric --

19 A. Right. I measured the moisture potential
20 directly with an instrument that is intended to do
21 that. What, in fact, it does is look at the
22 condensation temperature of the water vapor right
23 above the soil sample but it reads out in moisture
24 potential.

25 Q. So this is measured values, not --

1 A. That's measured.

2 Q. That's helpful because I thought that you
3 calculated them from your discussion and measurement
4 values were very helpful.

5 A. No, that instrument cost me a bunch of
6 money.

7 Q. I imagine so. I want to turn to your
8 model, and let's start with the conceptual piece
9 that you showed us on Page 43. Now, as I understand
10 it, this is a one-dimensional model and so you
11 basically established a set of cells, as you
12 demonstrated in your Exhibit 6. At a certain depth,
13 which is 50 centimeters below, which you defined as
14 your zero point, you then injected the moisture
15 level that was taken from these observed readings
16 someplace here in New Mexico?

17 A. That's correct.

18 Q. And then --

19 A. I would like to expand on that a little
20 bit.

21 Q. Yes.

22 A. In the physicist terms, that's setting a
23 boundary condition on the problem.

24 Q. Right.

25 A. It is saying this boundary has to meet

1 that condition all the time.

2 Q. Correct. So you have set really two basic
3 boundary conditions, as I understand it. One is a
4 variable boundary condition, which is the volumetric
5 moisture at the top, and the second which was
6 basically an invariable boundary condition, which is
7 the aquifer at the bottom?

8 A. Yes.

9 Q. Then your scientific inquiry, what you
10 were interested in is what's going to be the
11 reaction of the soil column between the two if I had
12 a waste with a certain salt concentration at a
13 designated point?

14 A. And there's an additional reason, two
15 reasons for doing this. I think at the time there
16 was interest in this particular depth to
17 groundwater. But secondly, how are you going to set
18 the initial condition in the soil column? I could
19 have it all dry, very dry, and then it will suck a
20 bunch of moisture out of the top surface. That's an
21 artifice. That's not good modeling, so I set as
22 natural a condition I could. I established your
23 aquifer, your 100 percent volumetric moisture level
24 here and let the problem sit there and dry until it
25 established a natural gradient of moisture in the

1 soil. At least that's a little better than starting
2 absolutely dry or absolutely wet.

3 Q. Now, in the way that the model was set up,
4 was there any withdrawal of moisture that occurred
5 in the distance of the top meter to meter and a half
6 other than the initial setting of your boundary
7 condition?

8 A. Let me rephrase the question and tell me
9 if I'm correct.

10 Q. Okay.

11 A. You used the word withdraw. Does that
12 imply if you look at my arrow, did I impose any
13 withdrawal, any pulling of moisture out of this
14 region between zero and one meter of depth? Is that
15 the question?

16 Q. Close, it was a meter and a half, but
17 other than that, you're correct.

18 A. No. The boundary of the problem is up
19 here and down at the bottom and beyond that it is
20 simulation. Whatever happens is simulated and you
21 hope what nature would do under those circumstances.

22 Q. Okay. To go back to those pesky plants,
23 any water that would have been removed by root
24 action below your boundary condition of zero you
25 ignored for the purposes of this simulation that you

1 ran?

2 A. That's correct. If roots were down here
3 pulling out moisture, that was not represented. But
4 the roots that were up here and taking out moisture,
5 those were represented by the fact that I used the
6 measured value of moisture at this level.

7 Q. Actually, would it not be more correct to
8 see that those roots would be represented if the
9 gauging station which you used had rooted vegetation
10 in that location?

11 A. Yes. I am trying to remember five years
12 back. I believe I saw a picture of the gauging
13 station because it's in my mind. It was, in my
14 mind, grassy covered. It looked like Southeastern
15 New Mexico to me, but I can't absolutely testify
16 that was the condition of the gauging station
17 because I didn't go there and look at it.

18 Q. This simulation that you ran, it doesn't
19 tell us really anything at all about the zero to .5
20 or plus .5 range?

21 A. No, it does not tell you how the moisture
22 got down to the gauging point.

23 Q. And so a number of times you said that
24 salt comes to the surface and one of those things
25 you looked at was this model. Does the model

1 actually show salt going to the surface?

2 A. No, this model shows salt going to the
3 zero point.

4 Q. But it doesn't know what happens above
5 that?

6 A. Right. It doesn't know what happens above
7 that point. To me, that's close enough. I would
8 not prefer that we are bringing chlorides or salts
9 and other waste products up that close to the
10 surface.

11 Q. But there's also not the -- looking at
12 convective flow that might be coming down, except as
13 it may be captured in the moisture percent that you
14 fed into this model?

15 A. If convective flow came down to that
16 instrument, it's reflected in the measurement of the
17 instrument.

18 Q. Is the instrument minute by minute, hour
19 by hour, day by day?

20 A. Again, I'm trying to remember. I'm going
21 to guess that it was half-hourly. Hourly, let me
22 say. I have to go back and look. It's not daily.

23 Q. If we move on to Slide 45, and looking at
24 the example to the right, particularly the 40-year
25 example.

1 A. Okay.

2 Q. In any of the pits that you have sampled
3 or in the examples that were presented by
4 Dr. Buchanan, did you ever see a profile that acted
5 in this way?

6 A. No, I didn't see a profile like this but I
7 did see a profile that could have been like this.
8 Namely, we caught a forward edge. In other words, I
9 didn't get a whole hump.

10 Q. Right. But I guess I'm more interested in
11 how the hump is moved. Because you show the hump
12 both at the ten-year and at the 40-year and we have
13 seen 20 and 30-year, I think, in Dr. Buchanan's
14 work. And that didn't show a change in the upper
15 level; whereas here your model would say we should
16 have seen everything move out of the pit area and
17 move down.

18 A. You're saying that this curve goes to low
19 concentration here but you haven't seen that in his
20 data?

21 Q. We haven't seen it in any of the data
22 that's been presented that I know of.

23 A. Under how many pits have you looked?

24 Q. Well, at least in the available data to
25 this commission as of this hearing.

1 A. The available data to the commission in
2 this hearing is about five. I can't count it but
3 something like that. Yeah, this is an idealized
4 condition. It has the same sort of soil below and
5 above the pit. It has no layers in it. I'm not
6 surprised that we see a difference. If we saw
7 things exactly the same way it would be highly
8 suspicious. And I wouldn't be suspicious of the
9 data, I would be suspicious of the modeling.

10 Q. So it doesn't cause you, as a soil
11 physicist, concern evaluating the efficacy of your
12 simulation that we see a movement and form that
13 hasn't been seen in the experimental data?

14 A. No, because I'm trying to get how far can
15 it go, how fast can it go; not whether I can predict
16 the actual profile that you're going to see.

17 Q. But if you are concerned with how far and
18 how fast but you are not concerned with the actual
19 profile, does that actually tell us much?

20 A. You bet. It tells you you have got the
21 potential to move that far. It doesn't tell you in
22 any given case whether you will move exactly that
23 far or not that far, but it tells you something is
24 moving.

25 In this case, the difference between the

1 yellow curve and the dotted curve told me that it
2 didn't stop moving. It doesn't mean that I could
3 take all of that pit with this type of soil
4 guaranteed in New Mexico and dump almost all of it
5 in the aquifer at 20 meters.

6 Q. Did this model have a mechanism that would
7 allow the salt not to move down?

8 A. A mechanism that would allow the salt not
9 to move down?

10 Q. Or does the model itself require movement?

11 A. No, the model doesn't require movement.

12 Q. Are you sure?

13 A. It has -- let's go into some other kinds
14 of soil. Look at this. You see very little
15 movement downward. Now we are still getting pulses
16 of moisture up at the surface, but you are not
17 seeing much movement down here. They are not
18 getting the water down here to keep moving. In
19 fact, what you are seeing is movement back up
20 towards the surface.

21 Q. And actually, this phrases my next point
22 which is on your Page 50 where you reach the
23 conclusion that perhaps you underestimated the
24 chloride transport because some of the salts or some
25 of the soils may hold more moisture than your looser

1 soils did; is that correct?

2 A. I have got to reread the paragraph.

3 Q. Certainly. Take your time.

4 A. Yeah. I said -- I think talking about the
5 second paragraph?

6 Q. Yes.

7 A. The measurement of 20 effectively in the
8 calculation injection withdrawals water, but they
9 had some deeper measuring points and the behavior of
10 those measuring points suggested to me that the
11 comparison between the deeper data and the data at
12 20 inches suggested to me that the moisture was
13 moving downward pretty well in the soil which they
14 had. That is --

15 Q. Typically --

16 A. I concluded it was a looser soil rather
17 than what I was calling a tighter soil. If I said
18 it was a sandy loam soil or a clay loam soil I would
19 be out of bounds because I didn't characterize the
20 soil. Other people use technical terms. I am
21 looking at soils through these different
22 characteristics. I did not invent the
23 characteristics of these soils, by the way. I took
24 them from that.

25 Q. Let's turn to Slide 54. What is the head

1 that would be present on a closed liner?

2 A. There would probably be very little head
3 on a closed liner. You may have some bubble
4 moisture on the bottom, but we're not proposing
5 burial with closed liners.

6 Q. We are not --

7 A. The purpose of this example I think we
8 should look at is to say what do we mean when we say
9 a hydraulic conductivity of ten to the minus nine,
10 because I always thought that was small.

11 Q. Was not the purpose of your demonstration
12 here to talk about how that was perfected by the
13 head on the liner?

14 A. You have to rephrase the question.

15 Q. As I read this equation, to me it looks
16 like it's dependent in part upon the amount of head,
17 hydraulic head that is upon the liner and that as
18 the head decreases so would the amount of liquid you
19 might expect to pass.

20 A. Yes. If you have no head on something
21 that obeys Darcy's Law, you would not get flow
22 according to Darcy's Law.

23 Q. Let's turn ahead then to Page 62 and 63
24 starting at Page 62. This is just, I believe, the
25 industry's proposed. Now, you expressed a concern

1 about the 5,000 and 20,000 milligrams per kilogram.

2 Under the proposed revisions to the rule could these
3 limits be left at the surface?

4 A. No, these limits have to be buried four
5 feet.

6 Q. That's true for Table 2 as well?

7 A. As well.

8 Q. Thank you.

9 A. My question was more how did you get to
10 these limits for Table 1? How did you manage to
11 experience that much chloride immediately under the
12 surface of the pit? Isn't that an alarm signal?
13 That's what it means to me. That's an alarm signal.
14 They are saying that's permissible.

15 Q. On Slide 68 under Limits, you say there's
16 no limit to the size of the temporary pit. Is that,
17 in fact, true?

18 A. In the rule is there a limit to a size?

19 Q. Yes, in the rule and the proposed
20 revisions pending before this commission is there a
21 limit on the size of temporary pit?

22 A. I will stand corrected then. It was that
23 that limit submitted subsequent to Revision No. 2?

24 Q. If we turn to NMOGA's Exhibit 1, which is
25 Attachment A, and you turn to Page 15 of that

1 exhibit and you look at Paragraph 10, what does it
2 say?

3 A. You are correct. It says ten acre feet.
4 I stand corrected.

5 Q. That's, in fact, an existing limit?

6 A. That's existing. I suspect that was not
7 there in the January version.

8 Q. We didn't propose to change it.

9 A. I just don't know why else I have it
10 noted. Go ahead, please.

11 MR. HISER: That concludes my
12 cross-examination.

13 CHAIRPERSON BAILEY: Ms. Foster, will you
14 have a series of questions?

15 MS. FOSTER: I have five questions.

16 CHAIRPERSON BAILEY: Why don't we take the
17 five questions and then take a break.

18 CROSS-EXAMINATION

19 BY MS. FOSTER

20 Q. Dr. Neeper, good afternoon.

21 A. Good afternoon.

22 Q. These questions have been fed to me so I'm
23 going to ask them as they are written down here and
24 you can answer them and the witness in the room will
25 take notes and hopefully the information will be

1 valuable to him.

2 A. You may also consult with them, as far as
3 I'm concerned.

4 Q. Thank you. I don't think that's
5 necessary. Directing your attention to Slide No.
6 44, Dr. Neeper.

7 A. I'm going by the page number, hopefully,
8 that's at the top of whatever you have.

9 Q. Page No. 44, correct. The question that I
10 have for you is what's the average volumetric
11 pressure used in this model? Sorry, volumetric
12 moisture.

13 A. The question is not making any sense to
14 me. Average volumetric moisture. There were no
15 averages. At the outset of the problem of the
16 simulation we had a profile in which the volumetric
17 moisture changed from 100 percent at the aquifer
18 down to whatever it was at the top of the problem.
19 And thereafter, the volumetric moisture at the upper
20 boundary was what you see graphed in the chart.

21 Q. Okay. And what is the porosity that you
22 used in the native soil?

23 A. Give me one minute and I will try to look
24 that up. I thought that question might come up so I
25 got out a sheet that had it. I put the sheet in the

1 copier, the printer/copier. I made an electronic
2 copy and I left home leaving the sheet in the copier
3 but I have an electronic version in the computer if
4 I can get to it. So I am taking the Commission's
5 time.

6 Q. Dr. Neeper, in the interest of time, you
7 can speak to Mr. Mullins about that on the break.
8 That would be fine.

9 A. I will give him the -- I don't have the
10 physical sheet to give him together with the origin
11 of where the data came from.

12 MR. JANTZ: Excuse me, Madam Chair. In
13 addition to Dr. Neeper speaking with Dr. Mullins,
14 could he submit that piece of paper to the record as
15 well so it is part of the record?

16 CHAIRPERSON BAILEY: I think when we come
17 back from break we can give you adequate time to
18 find it.

19 THE WITNESS: I can find it but how can we
20 print it?

21 UNIDENTIFIED SPEAKER: We can do that.

22 Q. (By Ms. Foster) Moving on to the other
23 questions, going back to Slide 43, you might have
24 answered this question already with Mr. Hiser, but
25 what is the hydraulic conductivity that you used in

1 the native soil on this model?

2 A. Again, that's on that same sheet. I hope
3 everything is on that sheet for each of the soils
4 that we used.

5 Q. Slide No. 49, please. The statement is
6 that the calculated recharge at 67 feet is between
7 1.4 and 3.5 inches per year. Are these your
8 infiltration rates?

9 A. This is what you would infer of the
10 infiltration rate. I was simply looking at the
11 calculation and saying how much moisture entered
12 that bottom layer of the simulation.

13 Q. So this was a simulation. Do you know
14 what source you got that information from?

15 A. Yeah. The output of the computer program.

16 Q. No, you had stated in your direct
17 testimony that you had heard that the recharge was
18 67 feet -- recharge at 67 feet was this rate.

19 A. In that case I made a misstatement.
20 Because what I say here is closer to the truth. The
21 calculated recharge. What came out of the model was
22 between 1.4 and 3.5 inches per year.

23 Q. Okay. And does this infiltration rate
24 compare with the published literature?

25 A. I can't tell you what all the published

1 literature says about Southeastern New Mexico. I
2 have heard various stories of varying from a few
3 millimeters to a few inches but that's hearsay
4 evidence because I haven't looked.

5 Q. That's what I misheard. Okay. So --

6 A. It's possible I misspoke.

7 Q. So there are two questions and I need to
8 have the additional information on the piece of
9 paper that is unavailable at this time that
10 hopefully we will get after break and that's it for
11 my questions.

12 CHAIRPERSON BAILEY: Let's take a
13 15-minute break.

14 (Note: The hearing stood in recess at
15 2:21 to 2:35.)

16 CHAIRPERSON BAILEY: At the break,
17 Dr. Neeper, you were asked to find the information
18 and then to give it to OCD to make some copies. It
19 appears as though they are in the process of making
20 those copies but we will go ahead rather than wait
21 any longer.

22 MR. NEEPER: As far as I know, they are
23 making the copies and I believe Mr. Mullins has seen
24 the page on the screen.

25 MS. FOSTER: Yes, ma'am page. He saw the

1 information and he relayed to me that there would be
2 no further questions from us.

3 CHAIRPERSON BAILEY: All right. And Ms.
4 Gerholt is out of the room. Mr. Jantz?

5 MR. JANTZ: Yes, I have a couple
6 questions.

7 CROSS-EXAMINATION

8 BY MR. JANTZ

9 Q. Dr. Neeper, on my cross-examination of
10 Dr. Buchanan, he talked about equilibrium, a point
11 where the chloride stopped moving up or down. Is
12 that your understanding of equilibrium?

13 A. When I was asking him questions I think I
14 brought up something that sounded like an agreement
15 between us. At least I remember showing some
16 pleasure. I will give my picture of what that
17 equilibrium is. In the near surface, the top two
18 feet, let's say, somewhere there, you can
19 establish -- top four feet. That way we all know
20 what we are talking about. You may establish a
21 chloride profile. In fact, I believe his slide
22 shows some in that region.

23 As he brought out, you might get a little
24 pulse of saturated flow. He showed it being a
25 certain width and getting narrower as it goes down.

1 That can drive the chloride downward because it's
2 saturated. It sucks up the chloride where it is and
3 moves down and it dissipates. Now you have left
4 some chloride moved down. On the other hand, now
5 you go into unsaturated flow and the chloride moves
6 back up, and so this is a dynamic of equilibrium.
7 On any given day, things can be in a different place
8 but it's see-sawing up and down.

9 The question then is going to be to where
10 can it see-saw? Will it always be the same? If you
11 change anything up around the surface, you will
12 change it. If you denude the surface for a while
13 you will get maybe a greater pulse of water going
14 down.

15 Other things can happen so that this is
16 dynamic. I'll bring up the subtle one here that the
17 soil does have at least two kinds of porosity
18 usually. That is, there will be preferential
19 channels for fluid flow and there will be other
20 channels where if the flow isn't too fast, too much,
21 you will leave some fluid behind.

22 So now we have a situation in which we
23 have left behind some chloride and it can move
24 upward. We may not thoroughly flush each time.
25 That situation simply leaves me uneasy that you will

1 always have a perfectly good layer at the top of the
2 ground for supporting life and never have any
3 difficulty with it no matter what's going to happen
4 in the future of the world.

5 A slightly different situation happens
6 down underneath the pit where it's brought out there
7 is less and less pulses of saturated moisture, if
8 any. You have almost purely unsaturated flow. You
9 have an unsaturated condition with a gradient in it.
10 Now, as the soil dries, seasons go on, you can still
11 get some dynamic motion of the water up and down.
12 If you get some dynamic motion leaving some chloride
13 behind, so you don't move the whole profile each
14 time, a dynamic back and forth motion can lead to
15 transport in one direction, and that direction is
16 always down. That's been the thrust of my air flow
17 work. So everything that happens other than a
18 saturated pulse is in the nature of moving chloride
19 in the direction of downgrading it from higher
20 concentration to lower concentration. Anything that
21 moves from low concentration to high concentration
22 in the sense the physicists use it takes work.
23 Somebody has to be putting energy into the system to
24 move from a low concentration to a high
25 concentration.

1 We say water runs downhill. Nature abhors
2 a vacuum. We have all kinds of popular statements
3 to reflect this, but it means the change is always
4 going to be to distribute material rather than to
5 gather it together.

6 Q. Thank you, Dr. Neeper. Second question is
7 in talking about Dr. Buchanan, I asked, I believe,
8 whether some of the shrubs that he suggested were
9 appropriate for revegetation, could eventually their
10 roots eventually breach a liner. And he said it was
11 possible, if I recall correctly. But even if they
12 don't, even if it gets to the liner but doesn't
13 breach the liner but then the shrub dies, does that
14 have any implications?

15 MR. HISER: Is this within the scope of
16 direct?

17 CHAIRPERSON BAILEY: I think it's related
18 to the question based on testimony of Dr. Buchanan
19 as contrasted with Dr. Neeper's.

20 MR. HISER: Dr. Buchanan is not
21 testifying.

22 CHAIRPERSON BAILEY: No, but there is the
23 contrast between the two and this is an avenue to
24 explore.

25 A. This really follows on a question that was

1 earlier this afternoon. Couldn't I have considered
2 roots from plants up above going deeper than that
3 upper boundary of my problem. And I did not
4 consider that. It was not included in the problem.

5 I live in fear of that. Yes, as
6 Dr. Buchanan pointed out, there are some shrubs who
7 will grow that deep and I don't know anything about
8 those shrubs or trees. I have seen drilling
9 activity in the pinon and juniper forest in the
10 Northwest New Mexico and in my own experience in the
11 pits in Los Alamos, the deep waste pits we have, I
12 have seen PJ roots way down deep, 20, 30 feet as
13 they sought the water down there. So I have great
14 fear of tree-like things or shrub-like things
15 growing above or right around a closed pit whether
16 or not it has a liner. Maybe it would be better
17 with a liner but if you get roots in there and the
18 roots die, you now have one of the preferential
19 pathways for flow. Kind of like a well that
20 isn't -- it's abandoned but not cemented and I don't
21 think we want to have that.

22 Q. And just for clarification, what does the
23 preferential pathway do?

24 A. A preferential pathway is a path through
25 the soil where the resistance to flow is less than

1 in parallel paths or nearly parallel paths
2 elsewhere. Bigger spaces perhaps between the
3 particles. So bigger flows tend to go faster
4 through the preferential pathways. Not absolutely
5 every soil will illustrate preferential pathways. A
6 perfectly uniform sand probably would not, but other
7 soils do. Not everything is perfectly uniform.

8 Q. Okay. Thank you, Dr. Neeper. That's all
9 I have.

10 CHAIRPERSON BAILEY: Ms. Gerholt, do you
11 have questions?

12 CROSS-EXAMINATION

13 BY MS. GERHOLT

14 Q. Dr. Neeper, I have two questions for you.
15 The first is: Is it correct that your
16 recommendation to the Commission today is that if
17 they do allow the burial on-site that they should
18 have a requirement that a marker be placed on top of
19 that site?

20 A. That is correct. I do not prefer burial
21 on-site, but if the Commission elects that, I
22 believe we should have a steel marker.

23 Q. Understood. What is your opinion about
24 allowing for permanent structures over a burial
25 site?

1 A. I would like to review something and then
2 give you my opinion.

3 Q. Okay.

4 A. I believe there is a statement in the
5 proposed rule that says there should not be
6 buildings above a burial site. I'm remembering
7 that, but I would have to check.

8 Q. You are correct.

9 A. I am correct. I would not prefer
10 buildings above a burial site because you can have
11 volatile organics buried in there, benzene in
12 particular, at ten milligrams per kilogram. We
13 shouldn't have a building right above that any more
14 than we should have an aquifer immediately under it.
15 The rule proposes to allow a confined aquifer at
16 zero distance essentially under a burial that could
17 have ten milligrams per kilogram of Benzene where
18 the transport mechanism is by vapor. Have I
19 answered your question?

20 Q. Yes, sir, thank you.

21 A. Sometimes I get overwhelmed with my own
22 little horrors.

23 Q. Thank you. No further questions.

24 CHAIRPERSON BAILEY: Mr. Dangler?

25 CROSS-EXAMINATION

1 BY MR. DANGLER

2 Q. I'm afraid I wasn't here for the first Pit
3 Rule hearing so I'm trying to catch up. Maybe I
4 represent a lot of people that aren't quite as
5 caught up. I have heard some ideas and I wanted to
6 ask you about at least one of these. One of the
7 ideas I heard was from the representative from San
8 Juan County who talked about because they use
9 freshwater that essentially their drilling waste
10 might be safer up in San Juan County than parts of
11 the state where I guess you use oil-based drilling
12 fluids. Do you have any opinion about that? Do you
13 have any knowledge about that?

14 A. I will answer as best I can. It's not
15 within my expertise to say which drilling fluid is
16 used where. By common knowledge, as we have all
17 discussed, particularly in surface waste work group
18 or the pit work group, characteristically I
19 understand that drilling fluids in the northwest are
20 characteristically lower chloride than in the
21 southeast where you often have to drill through salt
22 layers and you have to use saturated brine. Now,
23 that said, it doesn't mean that the fluid you would
24 be using in the northeast, although it may qualify
25 as low chloride, would be what you call freshwater.

1 Low chloride is defined in the proposed
2 rule as 15,000 milligrams per liter. Sea water is
3 19,000 milligrams per liter. My own back of the
4 envelope calculation indicates if you were to slowly
5 leak this 15,000 milligrams per liter low chloride
6 water from a pit, you could be within the standards
7 for abandoning the soil on the ground. That is, it
8 wouldn't be a signal that you had what is called a
9 release that you would have to go after and find the
10 bottom of. And that deeply concerns me.

11 Now, I do not believe we can characterize
12 everything drilled in the northeast as freshwater.
13 What we think of freshwater is something we can
14 drink.

15 Q. Excuse me, you mean the northwest?

16 A. Northwest, yeah.

17 Q. So another idea that was put forth in
18 expert testimony was that there should be a
19 distinction, a regulatory distinction, between low
20 chloride and very concentrated brines. That basic
21 concept that you have two very different animals out
22 there, that using a risk-based regulatory scheme you
23 might want to call them different things. And I
24 think that's where the idea was talked about. I'm
25 sorry this is a long question.

1 A. I'm with you.

2 Q. But I want to compare these ideas. So
3 there's that concept, which seems to make a lot of
4 sense from a regulatory point of view, and then you
5 said something that also made sense to me from a
6 regulatory point of view. That was you talked about
7 how you are basically turning off the alarm by
8 having, I guess, a 15,000 chloride standard because
9 that should be an alarm that there might be a
10 problem there. Did I understand that first of all
11 correctly?

12 A. You are close. Not quite. I'm with you
13 enough that I will still be able to answer.

14 Q. Okay. So assuming that that current
15 number is useful as an alarm, that your concern is
16 it's being turned off by making it be permissible,
17 is there a way to save that concept of lower salt
18 definition? Would there be a level in which it
19 would not have set off an alarm for you? Do you
20 understand the question?

21 A. I understand the question. I think I can
22 answer it.

23 Q. Okay.

24 A. But I'm answering it out of my concern
25 with the environment as opposed to giving you a

1 numerical value for something. There are two things
2 going on in the question. One is low chloride
3 drilling fluid or other drilling fluid. The second
4 one was the soil burial standard. The soil burial
5 standard is the alarm. What I'm concerned with is
6 that we are perhaps close to or considering allowing
7 burial at limits that could represent a slow but
8 long-term leak from a lined pit, enough to give you
9 a deep penetration, something we should call a
10 release, but yet it's within the limits of the
11 fluid, it's within the soil study.

12 Now, how does that relate to 15 milligrams
13 per liter? Fifteen milligrams per liter will fit
14 within a certain soil study if you were leaking. So
15 would much higher chlorides fit within that 20,000
16 milligrams per kilogram soil standard, so I am
17 alarmed at that. I am not alarmed at using a
18 concept of a low chloride fluid versus a high
19 chloride fluid, particularly in terms of setback
20 from groundwater. In my opinion, we are setting too
21 close to groundwater, so I would be much more
22 conservative in that, but it is reasonable to say
23 you could be closer to groundwater with a low
24 chloride fluid than with a high chloride fluid
25 management. The concepts of a surface spill are

1 different. That doesn't in my sense say there
2 should be cases where there is no setback required
3 from some things like boundaries to steep arroyos.

4 Q. As you are a soil physicist --

5 A. I was.

6 Q. Okay.

7 A. Until two weeks ago.

8 Q. Okay. There was a colloquy on
9 cross-examination but it related to your direct, and
10 I admit that I got a little bit lost. But what I
11 think was being asked about was when the water
12 around the molecules is broken, then there's no
13 longer any movement of the chlorides if I understood
14 the line of questioning and your answers.

15 A. I understand where you are.

16 Q. Okay. But I also heard you say something
17 that made me a little worried so I wanted to ask you
18 about it. You said heaven help us if we get a lot
19 of our soils that way. Is there some sort of like
20 deadness implied by that breakage in the chain of
21 water vapor or am I completely wrong in what I was
22 guessing?

23 A. Well, the break is in the chain of liquid
24 water that coats the soil particles.

25 Q. Right.

1 A. When you get dry enough, you break that
2 continuous film, and that is usually a very, very
3 dry condition. In my terms, maybe I'm thinking
4 Sahara desert or something. Yes, it certainly
5 happens in sands and things. These are not
6 life-supporting conditions at all.

7 Q. So that was kind of where I was going with
8 this.

9 A. Yeah. When I said heaven help us that we
10 don't get there, I was thinking about concerns with
11 global climate change if all our soils in New Mexico
12 became like that. Not just for a two-milliliter
13 layer surface when the sun is shining on it but
14 characteristically at root depth for grasses and
15 plants and things. That would be very bad. That
16 would be the Sahara desert.

17 Q. My question is: Are there areas in New
18 Mexico that are like that now that you are aware of
19 or not?

20 A. Aware of is the key term. I would think I
21 would know where to look. Some sand dunes on a hot
22 day maybe, but I can't say there's an area in New
23 Mexico I'm aware of. Now, let me put one more thing
24 in there. Are there any areas in New Mexico where
25 the moisture potential might be like that whether or

1 not the matric potential is at that point? And I
2 would say yes. Pit wastes.

3 Q. But no large regions? You wouldn't say
4 the southeast region is like that kind of dryness?

5 A. No, it grows grass and mesquite.

6 Q. Finally, you educated me about the angle
7 of repose but you did it rather quickly and I was
8 confused enough about that before that I want to
9 make sure that I understood what you said. It
10 sounds like you said that the angle of repose is if
11 you add some more to it and it starts moving, you
12 got right to the edge of movement. Would you expand
13 on that just a little bit because I don't know about
14 the angle of repose idea.

15 A. I will try to answer by example. Let's
16 suppose we are pouring sand out of a bottle on the
17 table. It will form a nice little conical pile.
18 That pile will be sitting at the angle of repose.
19 That's about as much as it can take. If I drop a
20 little more sand at some point it will slide down.
21 That's what's usually meant as the angle of repose.

22 Q. Thanks. No further questions.

23 CHAIRPERSON BAILEY: Commissioner Balch?

24 COMMISSIONER BALCH: Actually, I want to
25 follow up on your question on the angle of repose.

1 I think in the proposed changes by NMOGA and IPANM
2 that they have put in angle of repose or perforated
3 engineering standards, whatever that means, instead
4 of a two to one fixed ratio that was in the existing
5 Rule 17.

6 THE WITNESS: Right.

7 COMMISSIONER BALCH: So is it necessarily
8 true that a two to one incline would be below the
9 angle of repose for all material?

10 THE WITNESS: It's not necessarily true in
11 my just common experience. I haven't seen things
12 sloughing and sliding at a two to one, and I think
13 that number goes way back, so I haven't dealt with
14 it. I can express my concern in two ways. Number
15 one, as soon as we give an absolute number, we are
16 pre-engineering something and cutting out all
17 innovation and discouraging smart work. But as soon
18 as we take off all restriction, you can have some
19 guy, like I thought I was, doing perfectly good
20 engineering on a vertical rock face even where there
21 are indentations that we plastered them before we
22 put in the double liner system and we tore out a
23 liner within weeks to a couple months. I can't
24 remember how long. So we thought we knew what we
25 were doing and we weren't. What I'm looking for is

1 some happy medium.

2 So you notice I didn't say I want a 2.3 to
3 one or some number like that. I'm saying be careful
4 about leaving it unlimited because I know there are
5 existing vertical wall pits out there. I heard
6 people discussing them and maybe sometimes that's
7 fine, particularly in rock. But my experience in
8 solid rock was it wasn't fine. So I think we should
9 be cautious about just taking off all the rules and
10 saying do what engineering you think is best.

11 COMMISSIONER BALCH: Thank you. First of
12 all, good afternoon.

13 THE WITNESS: Good afternoon to you.

14 COMMISSIONER BALCH: I didn't want to
15 forget that. I didn't want to forget my immediate
16 follow-up question. My brain is fairly full right
17 now.

18 THE WITNESS: So is mine.

19 COMMISSIONER BALCH: It will take me a
20 little while for some of it to process through. I
21 do have a few questions. Early on in your testimony
22 you presented an example of some -- I think they
23 were ponderosa pine in Los Alamos or were they a
24 different tree?

25 THE WITNESS: No, it was ponderosa.

1 COMMISSIONER BALCH: So the same kind of
2 tree that Dr. Buchanan said yesterday could stand
3 higher electrical conductivity?

4 THE WITNESS: Yes. I believe even the
5 publication of that study shows up as an exhibit in
6 one of our prior hearings. It exists, anyway.

7 COMMISSIONER BALCH: And you determined or
8 your group determined that the sodium was the
9 problem because there was a higher concentration
10 than normal in the needles?

11 THE WITNESS: Yes. The fellow did it not
12 just for our group. We stimulated him and he took
13 this on as a thing and did it as a good science
14 project.

15 COMMISSIONER BALCH: Did he go back to a
16 lab or anything else and check to make sure that the
17 salt from on the road might make a vector for sodium
18 into the needles?

19 THE WITNESS: Yes, because he sampled --
20 what was concerning us was finding a string of
21 browning trees along every storm sewer coming off
22 the street. I can take you up there and show you
23 that there now, too. So he sampled unaffected
24 trees, affected trees, and he sampled trees affected
25 on one side and not the other. The correlation was

1 very tight with the sodium in the needles. And just
2 for fun how did he detect the sodium in the needles?
3 At that time the reactor was running and he did it
4 with neutron activation analysis of the sodium.

5 At that time, working off-hours scientists
6 could do jobs like that. You would get permission
7 and it was pretty simple to do public interest jobs.

8 COMMISSIONER BALCH: We will talk physics
9 in a little bit. You also testified that for common
10 plants death zone is around 10,000 milligrams per
11 milliliter of chloride, salt?

12 THE WITNESS: This was the 1.5 megapascal
13 osmotic pressure point. So it gives you an
14 indication of where osmotic pressures may not just
15 be generating trouble but may be generating death,
16 let alone the chemical effect.

17 COMMISSIONER BALCH: Right. And the death
18 point comes from literature.

19 THE WITNESS: Yes.

20 COMMISSIONER BALCH: Studies across the
21 country, across the world?

22 THE WITNESS: Yes. This is strictly from
23 the literature.

24 COMMISSIONER BALCH: This is just a point
25 of curiosity for me. In New Mexico we are in a

1 desert and you tend to have sandy soils. Are native
2 New Mexico plants typically more salt-resistant than
3 an average sample of plants in the U.S.? I know it
4 may be beyond your expertise.

5 THE WITNESS: I could answer that but it's
6 outside my expertise.

7 COMMISSIONER BALCH: Go ahead and answer
8 if you would like.

9 THE WITNESS: I would expect some of the
10 native New Mexico plants to be a little more
11 salt-tolerant because they are more tolerant to
12 dryness, and to the extent that the salt raises the
13 osmotic pressure and, therefore, raises the suction
14 as seen by the plant. Some of them may have evolved
15 to be chemically more salt-tolerant as well, but
16 that's pretty well out of my area of expertise.

17 COMMISSIONER BALCH: Fair enough. So I'm
18 a geophysicist so we started out in the same
19 direction, I think. We have a bachelor's degree
20 where there was a focus on physics and math and
21 things like that. Then you went on to study
22 thermodynamics and eventually went into soil. I
23 went on to earthquakes and waves and things like
24 that. So we may have a little bit of a common basis
25 for some things, but our knowledge paths will divert

1 at some point.

2 THE WITNESS: There's a joke in this in
3 that I started in liquid helium and the only
4 professional organization to which I still belong is
5 the American Geophysical Union and I have never done
6 any geophysics.

7 COMMISSIONER BALCH: That's the only one I
8 have ever been a member of. All right. With that
9 kind of in mind, I'm going to maybe have some
10 questions that might be construed as simple and
11 perhaps it's just my full brain. But when I looked
12 at your example of diffusion in water you had dye
13 in -- I think it was a saline solution and you
14 injected the bottom of the cup. Just dye?

15 THE WITNESS: Just tap water.

16 COMMISSIONER BALCH: I immediately thought
17 of that second-year physics experiment for Brownian
18 motion rather than necessarily diffusion, unless
19 Brownian motion is a mechanism for diffusion in a
20 pure liquid?

21 THE WITNESS: They come from the same
22 origin.

23 COMMISSIONER BALCH: If you then take that
24 cup and you fill it full of sand and water, you
25 certainly remove at some level that effect.

1 THE WITNESS: It's filled with sand and
2 water so we will assume the sand is saturated. You
3 will reduce the flux a little due to the tortuosity.
4 That may be a factor of two. But the flux per unit
5 water is going to be in the same order of magnitude.
6 So your rate of progression of the diffusion front
7 will not be reduced other than by the tortuosity.
8 That is, there is less water there for it to diffuse
9 into so the concentration will come up. Even though
10 you are diffusing less flux, fewer grams of salt per
11 minute, but there's less water for it to go into.

12 COMMISSIONER BALCH: So through your
13 process of diffusion there, would ultimately -- if
14 it was salt you put in and not a colored dye, would
15 the saturated ultimately become uniform across or
16 would it be stratified?

17 THE WITNESS: I'm going to rephrase the
18 question and see if I'm right. You are saying
19 suppose I started with a glass of water and some
20 small bottom layer is saltwater and the rest is
21 freshwater, would it eventually come to a uniform
22 concentration throughout the glass? Is that the
23 question?

24 COMMISSIONER BALCH: By eventually, I
25 don't mean a million years.

1 THE WITNESS: No, but at some time.

2 COMMISSIONER BALCH: Right. Without other
3 forces like thermal --

4 THE WITNESS: Yeah, without wind blowing
5 over, the dog shaking the table and all that kind of
6 thing.

7 COMMISSIONER BALCH: Right.

8 THE WITNESS: The answer is yes, and it's
9 very calculable. It brought to mind another perfect
10 picture of this in terms of diffusion. What was it?
11 I just had it. A perfect picture I wanted to give
12 you. Oh. It's kind of beside the point. That's
13 what we were doing with that salt pond with the
14 vertical walls. We had a saturated layer at the
15 bottom. We had a gradient and we had the freshwater
16 layer at the top and the problem was to try to keep
17 it that way instead of all becoming uniform.

18 COMMISSIONER BALCH: All right. Thanks
19 for the refresher course. Earlier on in your
20 presentation and later on also you discussed the
21 thermal effects, but I'm not sure they really made
22 it into your models at the end, when you mentioned
23 that a daily heat cycle would impact down to about
24 20 inches.

25 THE WITNESS: That was not in the

1 calculation. The characteristic thought for soils
2 is that the daily temperature cycle is 15, 20
3 inches. It isn't a sharp cutoff. It dies off
4 exponentially.

5 COMMISSIONER BALCH: What sort of flux
6 would you expect at the middle range and the bottom
7 of the daily range? How much temperature are you
8 changing?

9 THE WITNESS: How much temperature swing?

10 COMMISSIONER BALCH: Yeah.

11 THE WITNESS: I have known the answer and
12 I can't give it to you so I will have to do it just
13 qualitatively because I can't remember. I have seen
14 the numbers. I may have measured them at times but
15 I can't remember. But you have probably stepped out
16 on some warm soil in bare feet and that gives you an
17 idea. You can swing certainly 30 degrees Fahrenheit
18 and more.

19 COMMISSIONER BALCH: I have also gone --
20 if we want to stay in the realm of analogies -- I
21 have also gone to White Sands and stood at the top
22 of the sand dune and buried my feet and felt cold
23 sand. Surely that sand may have been affected by
24 temperature, but it wasn't to the degree at the near
25 surface.

1 THE WITNESS: Yes. The characteristic
2 E-folding length for a sinusoidal, a daily
3 sinusoidal temperature wave going down the soil is
4 something like 15 to 20 inches. Where I got into
5 this was in the solar work.

6 COMMISSIONER BALCH: The reason it stuck
7 in my mind is I think I was quoted last year, four
8 to six feet burial for geothermal heat pump system
9 and that's where they would get down where they
10 didn't think there was any change from season to
11 season. Then you also mentioned a 18-inch footer
12 required by the Uniform Building Code.

13 THE WITNESS: I don't know about the
14 Uniform Code, but I think my county now requires a
15 three-foot.

16 COMMISSIONER BALCH: Most of the New
17 Mexico takes the Uniform Building Code.

18 THE WITNESS: Yeah.

19 COMMISSIONER BALCH: On Page 39 you may
20 remember there was a great deal of interest in
21 Dr. Buchanan's profile, salt profile.

22 THE WITNESS: Yeah. I think that was a
23 great thing.

24 COMMISSIONER BALCH: What really struck me
25 was that that salt bulge, even with the buried

1 material, kind of got to a place where it was
2 hitting the same equilibrium as the natural salt
3 bulge in an offset location. Dr. Buchanan, I don't
4 think, could claim that that would be the ultimate
5 level of it, but I did notice on your background
6 hole --

7 THE WITNESS: Yes, the upper right.

8 COMMISSIONER BALCH: Sampling was only
9 done down to 15 feet.

10 THE WITNESS: We must be in the Burch
11 Keely. No, this is Loco Hills. Yeah, that's the
12 Burch Keely Unit. Let me back up just one slide.
13 Yeah. Why did we drill only to 15 feet? We got
14 auger refusal. We got that far and hit something
15 and it wouldn't go further and the driller said,
16 "Should I back up and do it again," and I said, "No,
17 we proved what we were looking for."

18 COMMISSIONER BALCH: You hit a boulder or
19 something?

20 THE WITNESS: Yes, everybody was getting
21 tired. It was late in the day. It's strange, why
22 was everybody asking me to run the show because it
23 was Marbob's show.

24 COMMISSIONER BALCH: All right. I think I
25 had a question on Slide 30 as well, stepping

1 backwards. This goes back to my question of whether
2 you have a pure liquid or if you have a rock with a
3 liquid in it. Is the calculation of 21 years per
4 meter, is that assuming full saturation?

5 THE WITNESS: That's a meter of a column.
6 Whether the column is a little thin imaginary column
7 in soil unsaturated or whether it's a tube of liquid
8 water that you can look at and drink out of. This
9 is the characteristic time. This isn't the time in
10 an ideal circumstance where you get perfect
11 equilibrium; that is, nothing changing anymore.
12 Literally, that's an infinite time, right?

13 COMMISSIONER BALCH: Right.

14 THE WITNESS: This is the one over
15 E-folding time. If I weren't on the stand and could
16 think I could sit down and write you the equation
17 for it, but it's diffusivity, distance and time go
18 together and you can get a dimensionless expression
19 and get the characteristic time by diffusivity
20 divided by the volume capacity. Something like
21 that.

22 COMMISSIONER BALCH: So as long as there's
23 some connection to fluid --

24 THE WITNESS: Yeah, uniform connection to
25 fluid. If you have a constraint, a constriction in

1 the fluid, obviously it can't diffuse very fast
2 through that.

3 COMMISSIONER BALCH: Or if you dry it to
4 the point where you lose the connection.

5 THE WITNESS: It's just characteristic
6 times for diffusion, what is diffusion like, the
7 feeling for diffusion.

8 COMMISSIONER BALCH: Page 40. I was
9 wondering -- I was thinking of Dr. Buchanan's trench
10 and his cross-section form for ConocoPhillips
11 brought in where he had the natural section, the
12 salt bulge and then it climbs back down to some
13 background level. And then in the material that was
14 below the waste, you saw elevated levels, and then
15 the last probably quarter of that curve matched the
16 background bulge. The salt bulge? Is that the
17 correct term? Okay.

18 So I was looking at pore water chloride,
19 and granted the scales on your first two images are
20 not the same. One is the 30,000 and one is the
21 90,000 so it can be a little difficult --

22 THE WITNESS: Yeah, those are two
23 different holes in the ground.

24 COMMISSIONER BALCH: Oh, they are two
25 different holes?

1 THE WITNESS: Yeah, one is Hole 321 A and
2 the other is 49 A.

3 COMMISSIONER BALCH: All right. But --

4 THE WITNESS: Two different pits.

5 COMMISSIONER BALCH: -- you do see at the
6 lower end of both of the curves, say at around 22
7 feet or so, that they start to match fairly closely.

8 THE WITNESS: Yeah. You could say aren't
9 these held up at the same depth?

10 COMMISSIONER BALCH: Right.

11 THE WITNESS: Doesn't that indicate
12 there's a break right there that stops them?

13 COMMISSIONER BALCH: Something that
14 controls the flow.

15 THE WITNESS: You could say that because I
16 have heard it said in testimony.

17 COMMISSIONER BALCH: I think Dr. Buchanan
18 said that.

19 THE WITNESS: He indicated it can go so
20 far and then will tend to slow down very much.

21 COMMISSIONER BALCH: Based, I think, on
22 the infiltration rate.

23 THE WITNESS: Based on infiltration, yes.

24 COMMISSIONER BALCH: I wanted to make sure
25 that your slide was showing what I thought it was.

1 THE WITNESS: It's a similar shape. You
2 have a cleaner curve in the left-hand 49 A plot.

3 COMMISSIONER BALCH: Okay. So numerical
4 simulation and modeling. I'm a bit of a simulator,
5 more from a practical side. I don't write
6 simulation code, although I have had students who do
7 so.

8 THE WITNESS: Neither do I. At least not
9 anymore.

10 COMMISSIONER BALCH: Well, you're lucky.
11 It's a mess. I do teach every other year a graduate
12 course on geo-modeling and simulation, and the very
13 first thing I like to throw up on the PowerPoint on
14 the first day of class is a definition of
15 simulation, dictionary definition. There's things
16 you might expect to see in there, but if you get
17 down in the two and the three and the four in the
18 definition, you start to run into things like:
19 Simulating with intent to deceive.

20 I actually pulled one up on the internet
21 here. "Imitation or enactment as in testing."
22 Might be something you would think of in numerical
23 modeling. "Act or process of pretending, fainting;
24 assumption or imitation of a particular appearance,
25 counterfeit, sham; presentation of a behavior or

1 characteristics for one system for use of another."
2 Back again to numerical modeling. Some of these are
3 not very friendly definitions.

4 My point to the students, and I'm
5 certainly not putting you in with them, is the
6 people that you deceive with the simulation is most
7 commonly yourself. And I want them to think about
8 what goes into their model and constraints. So my
9 next series of questions is going to be about your
10 model, and I'm going to ask the questions that I say
11 to my students when I want to sound smart. Maybe I
12 will get lucky on that count.

13 THE WITNESS: Let's see if I pass the
14 course.

15 COMMISSIONER BALCH: Let's see if you pass
16 the course. The first thing you always ask when you
17 see a simulation study is what's the boundary
18 condition? I think some people have asked questions
19 about the upper boundary condition. But I'm a
20 little bit curious about the bottom boundary
21 condition. In reservoir modeling, normally when you
22 have an aquifer at the bottom you use that as a
23 driver to provide energy to the reservoir as you
24 remove the material. It gives a push. So you chose
25 a steady-state boundary at the bottom. I wonder if

1 you would inform me as to why you chose that
2 boundary condition.

3 THE WITNESS: There are two parts to that
4 question. One might have to do with the depth with
5 which I chose it, but I take it that's not the
6 question.

7 COMMISSIONER BALCH: No, not the depth.
8 You can have open boundaries, closed boundaries.
9 You can have steady state.

10 THE WITNESS: Yeah. What I chose was a
11 saturated boundary. I set the soil there as
12 saturation because that's what you would have if
13 there were an aquifer at that point. And then I
14 started, let us say, with soil that was dry. I
15 don't remember how I started. Doesn't matter. And
16 I just turned it on and let it run until it reached
17 a profile, a natural profile in the soil.

18 Then I said that will be my starting
19 profile for the real problem when I run with
20 variable moisture at the top boundary and some
21 buried waste. I needed to have some reasonable,
22 defensible profile of moisture in the soil, which
23 would be different for different soils. I ran three
24 different soils.

25 COMMISSIONER BALCH: Are there data in the

1 literature where you might be able to get saturation
2 information for a soil profile across 30 feet? I
3 don't know. I'm curious.

4 THE WITNESS: I calculated it. I ran the
5 model until it gave me the profile. Whether that's
6 the right profile, you can argue, but given that
7 soil with those characteristics, that's what you
8 would expect. And the results are not sensitive to
9 that.

10 COMMISSIONER BALCH: Okay.

11 THE WITNESS: That's another thing you
12 check. You try to destroy what you are doing by
13 changing other things that are in there and see if
14 it makes any real difference.

15 COMMISSIONER BALCH: That was my next
16 question is did you perform a sensitivity study?

17 THE WITNESS: Yes. That's about 75
18 percent of my work is destructive efforts, trying to
19 destroy what I think I just modeled. There's one on
20 the screen that just shows you. It was just all of
21 the moisture potential data plotted on the same plot
22 with an osmotic pressure curve. When I saw that no
23 matter where I was, what soils, what hole, as we got
24 high in moisture potential the shape of that was
25 fairly parallel to the osmotic curve. It should be

1 if I am blaming it on the chloride content. You
2 spend all your effort trying to destroy your own
3 work. It's crazy.

4 COMMISSIONER BALCH: Now, in any of the
5 models that you attempted did you include any sort
6 of flow barriers? Did you stratify the material in
7 any way whatsoever?

8 THE WITNESS: No.

9 COMMISSIONER BALCH: I think you said it
10 was uniform.

11 THE WITNESS: Only as shown; that is that
12 the wastes were different. I could make it a soil
13 of one type and a waste in a presumably different
14 kind of soil, but other than that it was uniform
15 soil and uniform within the waste.

16 COMMISSIONER BALCH: Nothing with an
17 impermeable or partially impermeable barrier or clay
18 or anything like that?

19 THE WITNESS: No. Certainly you can do
20 that. Now you are making up your mind about what a
21 particular soil will look like.

22 COMMISSIONER BALCH: Sure.

23 THE WITNESS: I'm trying to ask the
24 broadest possible questions.

25 COMMISSIONER BALCH: Now, you had some

1 data that you measured that you were matching, I
2 presume, to calibrate your model?

3 THE WITNESS: No.

4 COMMISSIONER BALCH: So it's a purely
5 forward model?

6 THE WITNESS: This is not calculated
7 against the field because you will not find that
8 calibration of soil waste, soil type and what not
9 anywhere. I am asking the -- what I am really
10 asking the simulation is how far can this stuff go,
11 how fast can it go under about as wide a variety of
12 conditions as I can think of.

13 COMMISSIONER BALCH: So really the point
14 of the simulation is the sensitivity analysis?

15 THE WITNESS: Yes.

16 COMMISSIONER BALCH: Where you look at the
17 broad range of what's possible?

18 THE WITNESS: Yes. I chose three
19 conditions --

20 COMMISSIONER BALCH: Under a variety of
21 criteria.

22 THE WITNESS: -- and I said what can
23 happen? I didn't know what would happen. I didn't
24 have a clue.

25 COMMISSIONER BALCH: So that makes it

1 pretty dependent upon the model. You said you used
2 the Yucca Mountain model?

3 THE WITNESS: If you say that's dependent
4 on the code, the model is my concept. The model is
5 this soil column, imaginary soil column. The code,
6 there are any number of soil hydro codes out there.
7 This one is probably one of the most sophisticated
8 because of what it was being developed for. That
9 doesn't necessarily mean it's the most right. It
10 just means it was never turned into a user code,
11 something you could write a manual for and have
12 anybody come in and turn it on and use it. It's
13 buyer beware. You sit there, you check out
14 everything you are doing in it. It is never
15 finished. It's under development every day.

16 COMMISSIONER BALCH: Is it the same
17 software core that's used for reactive transfer
18 modeling like at Pacific Northwest Labs for CQC
19 sequestration?

20 THE WITNESS: I don't know if they used
21 the same core because everything that was in there I
22 think was written at Los Alamos.

23 COMMISSIONER BALCH: No, that's not the
24 one that came from Los Alamos.

25 THE WITNESS: It does do reactive

1 transport. Okay. It may be. I don't know what PNL
2 uses.

3 COMMISSIONER BALCH: I'm thinking Tuff.

4 THE WITNESS: I didn't think Tuff had its
5 origin in Los Alamos FEHM but it might have. I
6 started out to use Tuff at one point and there was
7 no way it could handle my boundary conditions when I
8 was doing air flow modeling so I had to use FEHM.

9 COMMISSIONER BALCH: Your model was A 1D
10 in that you were looking at transport.

11 THE WITNESS: This was a 1D calculation.

12 COMMISSIONER BALCH: Did you also do one
13 and 2D and 3D calculations?

14 THE WITNESS: Not for this purpose. There
15 was no purpose in it. You can do that, but the
16 answers I was trying to get in the time I had
17 available, there would be no purpose to do it. I
18 could show the sideways spread and that would be
19 fine. That would be neat to know and fun to watch,
20 but there goes another three or four months of my
21 life.

22 COMMISSIONER BALCH: Right. I'm very
23 interested in plume modeling so, of course, we do
24 everything in 3D. You pretty much have to.

25 THE WITNESS: As do the people who sat at

1 desks near me in Los Alamos.

2 COMMISSIONER BALCH: There's often a very
3 large difference between horizontal and vertical
4 flow because there's different mechanisms that are
5 --

6 THE WITNESS: The permeabilities are
7 different.

8 COMMISSIONER BALCH: The permeabilities
9 are different and you may have stratification from
10 your layers. Your root blocks are usually larger
11 aerially than they are vertically. You have gravity
12 and pressure and other things that act vertically in
13 a lot different fashion than horizontally. So I
14 guess my question is how comfortable are you with
15 extending your 1D results to 2 and 3D?

16 THE WITNESS: I wouldn't be uncomfortable
17 at all. I just don't want to spend the rest of my
18 life doing it. You can do it. The code will do
19 that. You have to be really careful about your
20 setup. You want to check out your time step and
21 space step, the zoning.

22 COMMISSIONER BALCH: You have very small
23 time steps for calling that array of partial
24 differential equations.

25 THE WITNESS: You have to check it. You

1 can do all kinds of arithmetic ahead of time saying
2 well, if it moves this fast and what not. You can
3 give a guess as to what you think the time steps
4 should be, but you have separate time steps in the
5 code. There's time steps for hydro and time steps
6 for material transport, concentration equilibration,
7 and you better be really careful how you do the
8 setup.

9 COMMISSIONER BALCH: I may skip around a
10 little bit here. This is partially your own fault.
11 You gave a lot of data-rich slides so I can ask a
12 lot of questions.

13 THE WITNESS: Think what it would look
14 like if I did a complete study. I was just trying
15 to get some answers so we could understand the
16 problem. My personal time, of course. I hope
17 that's clear.

18 COMMISSIONER BALCH: Right.

19 THE WITNESS: None of this was done as
20 part Los Alamos national Laboratory. Every
21 computation was done on my computer, every
22 measurement in my home laboratory except for those I
23 sent off to a standard lab.

24 COMMISSIONER BALCH: So simulating a
25 year's worth of low model data and 3D might take a

1 year.

2 THE WITNESS: I don't know. 1D, I was
3 remembering 20 hours or 24 hours or something. But
4 I made so many runs and some of the gas runs were
5 like that. But yeah, it takes time and you find out
6 something. You should learn something every run.
7 But the process chews up the calendar.

8 COMMISSIONER BALCH: Go to 54. This is
9 what protection is offered by liners.

10 THE WITNESS: Yes.

11 COMMISSIONER BALCH: You did a Darcy flow
12 calculation.

13 THE WITNESS: Just a Darcy flow.

14 COMMISSIONER BALCH: I think when you
15 start to get the very, very, very low
16 permeabilities, at least in the oil industry the
17 term they use is non-Darcy flow and there's a
18 different set of relationships that apply. But
19 assuming that you were to get a Darcy flow through a
20 30 or 60-mil membrane of fluid, two to four feet in
21 a year for a 10-foot pit, I think if I translate
22 that correctly, would for a multi-well pit where you
23 had two liners and a leak detection system, that
24 would definitely be observed in over a year even if
25 it was a slow process.

1 Are you familiar with any cases where
2 this -- I'm going to guess the Darcy flow is not
3 dominating the situation. Someone would have
4 observed this already.

5 THE WITNESS: I think another explanation
6 is needed and I tried to say this, that I didn't
7 mean all liners did this. I meant to say look at
8 your standard.

9 COMMISSIONER BALCH: Right.

10 THE WITNESS: You put it in black and
11 white at ten to minus nine and this is what you
12 said.

13 COMMISSIONER BALCH: Well, I think that's
14 part of what the debate has been really about all
15 week is really the value of engineering judgment
16 versus a fixed number.

17 THE WITNESS: Know what your standard
18 means, and yeah, flow out of liners is supposedly
19 usually micropinholes here and there and not
20 characterized by Darcy flow. But if the average was
21 anything like this, that's quite a bit of flow.

22 COMMISSIONER BALCH: Two or four feet
23 would be --

24 THE WITNESS: And that's what we are
25 saying in our regulation. I'm not coming up at this

1 moment with a better way of saying it, but we don't
2 want to think that just because we have a liner,
3 everything is fine. That leads me to the other
4 point of saying then when we make a soil standard
5 that says we consider this clean enough and it's
6 something like 5,000 milligrams per kilogram, I
7 don't feel good. I'm saying, to me that's either a
8 release or an indicator of a release and we should
9 follow up and go look at it.

10 COMMISSIONER BALCH: Thank you for your
11 testimony. I give you at least a B plus.

12 THE WITNESS: You take what you can get.

13 CHAIRPERSON BAILEY: Commissioner Bloom?

14 COMMISSIONER BLOOM: Good afternoon, Dr.
15 Neeper.

16 THE WITNESS: Good afternoon, sir.

17 COMMISSIONER BLOOM: To clarify a few
18 things that we were looking at, if you could pull up
19 Page 26, please. In this picture and other ones, I
20 was wondering what the black substance is we were
21 looking at in the photo.

22 THE WITNESS: Liner material.

23 COMMISSIONER BLOOM: Go to the next page,
24 please, 27. On Page 34 of your exhibit. When you
25 were sampling at Caprock and some of the other

1 places, I think Loco Hills there was a background
2 hole. Was there a background hole for Caprock?

3 THE WITNESS: Let me think for just a
4 minute because it isn't shown here. No. It would
5 be scientifically nice to do that, but I had one day
6 with a drill rig and I was trying to get as many
7 holes, and the first two we didn't even hit what we
8 thought was going through the bottom of the pit. We
9 hit what we thought was the berm and drilled another
10 hole. Finally we got one with cuttings.

11 COMMISSIONER BLOOM: If you go to Page 35
12 where it shows the chloride. Did you suggest during
13 your testimony that where you get down to depth 13,
14 15 feet and the line curves back towards the
15 arrow -- I guess I am looking at the bottom left.

16 THE WITNESS: Right here?

17 COMMISSIONER BLOOM: Yes. Do you think
18 that's getting towards background?

19 THE WITNESS: Oh, I understand your
20 question. What is background in pore water chloride
21 in this soil.

22 COMMISSIONER BLOOM: Probably the more
23 important, right up above in terms of soil chloride.

24 THE WITNESS: What is background here at
25 this depth. I can't rule that out because I didn't

1 have a background hole.

2 COMMISSIONER BLOOM: Let's go to Loco
3 Hills on 39. So looking at the bottom right corner,
4 chloride and background hole is less than 200
5 milligrams per kilogram.

6 THE WITNESS: Here we are on a chart with
7 moisture potential and for whatever reason I just
8 chose to give you -- I obviously could have given
9 you a graph but I didn't.

10 COMMISSIONER BLOOM: Okay.

11 THE WITNESS: Less than 200 milligrams per
12 kilogram. The graph would have had to have been on
13 a totally different scale than these other graphs.

14 COMMISSIONER BLOOM: Okay. So then having
15 that background there, you are pretty confident what
16 we are looking at is a salt bulge in the other
17 graph?

18 THE WITNESS: Okay. We will choose this.
19 Here is dry soil chloride. It's coming down. Here
20 is 2,000 and we see the points. They say Js.
21 That's because the translation of graphics across
22 different softwares, unfortunately, but it's coming
23 right down in here and probably to some number more
24 like 200, but it wouldn't matter if it's zero or 200
25 on the scale of the graph.

1 COMMISSIONER BLOOM: So that's the answer
2 of yes, we are seeing a salt bulge and we are
3 turning back towards background?

4 THE WITNESS: Yes. I am nervous with the
5 term salt bulge.

6 COMMISSIONER BLOOM: Don't let me put
7 words in your mouth. What words would you use?

8 THE WITNESS: Chloride bulge is just the
9 characteristic thing used for this welling up of
10 chloride from a deep groundwater and forming a
11 natural profile, but we see a peak in the one curve,
12 and the strange thing is that in this one curve we
13 see a double peak. We see the same double peak and
14 potential. I haven't, to myself, thoroughly ironed
15 out the how-come for that. You can draw scenarios
16 but I can't see a way to get a scenario, one
17 scenario backwards out of that. I just know that
18 it's there. It's below the pit.

19 COMMISSIONER BLOOM: I answered my own
20 question on the next question. Let's go to lastly I
21 want to look at some things on Page 68 about what's
22 missing in the proposed rule. On limits, I think
23 Mr. Hiser cleared up that there is a temporary pit
24 limit of 200 feet.

25 THE WITNESS: Yes. Flat-out error.

1 COMMISSIONER BLOOM: Might you have been
2 thinking about the multi-well fluid management pit?

3 THE WITNESS: At this point I can't tell
4 you, because I had to do this, prepare these slides
5 in January under duress from some returned page
6 proofs of two technical articles.

7 COMMISSIONER BLOOM: When you introduced
8 yourself and talked about your technical background,
9 you talked about your work at -- I think it's Area G
10 and Area L at Los Alamos. You worked on hydrology;
11 is that correct?

12 THE WITNESS: You will have to rephrase
13 the question.

14 COMMISSIONER BLOOM: Did you work on
15 hydrology at those sites?

16 THE WITNESS: Did I work on hydrology?
17 The measurements that we took to investigate the
18 sites -- let's say it this way. You are given a
19 site, given some background on it, whatever
20 investigations have been done previously, and the
21 broad question is what's the situation and how can
22 you work or work towards a proposed remedy for
23 this -- whatever mess it is. How big is the mess
24 and if so, how do we remediate it?

25 So did we work on hydrology? Yes. At

1 first we were just looking at the distribution of
2 contaminants in the ground. We were drilling holes.
3 Finally we wake up and we start taking soil moisture
4 potential in addition to just gravimetric moisture.
5 And so at that point I think you could say we
6 started getting interested in hydrology. And we had
7 gotten into some really interesting stuff. I will
8 mention just one. Below the site is a very thick
9 layer of basalt. It came from different directions.
10 The site is in Bandelier tuff. It comes from one
11 volcano. Just the background word was the basalt is
12 very massive, solid, nothing can go through. We
13 don't have to worry about the groundwater.

14 Well, being stupid we didn't really know
15 that it couldn't go through the basalt. We wanted
16 to see if we could so we drilled into the basalt.
17 Guess what we found? The basalt was riddled with
18 porosity, vesicular basalt, fractures, every other
19 kind of thing. It was breathing to the atmosphere
20 far better than the soil immediately above it.
21 That's all air study but it's hydrology because it's
22 related to where can water go.

23 COMMISSIONER BLOOM: Did you do risk
24 analysis during that time? I think at some point in
25 your testimony you mentioned risk analysis. Perhaps

1 it was during the questioning earlier. I can't
2 recall.

3 THE WITNESS: We did not do risk analysis
4 on those sites because -- and this got me unpopular.
5 I had control of the money and I didn't fund some
6 people to do risk analysis and that later came back
7 to bite me very hard because we didn't know enough
8 about it to give you what's the source term. Is
9 this a person in the middle of the street with the
10 bus coming at them? We didn't know what was there.
11 What are you going to do risk on if we don't know
12 what's there?

13 So risk analysis was not funded during my
14 tenure as being in charge. It wasn't faulted later,
15 it's that the people who didn't get funded later
16 happened to climb the political ladder. This is
17 after I retired, but nevermind.

18 COMMISSIONER BLOOM: I think I will leave
19 it at that. Dr. Neeper, thank you for your
20 testimony.

21 CHAIRPERSON BAILEY: Yesterday
22 Dr. Buchanan indicated that he advocated no top
23 liner if a pit is allowed to be buried and no course
24 material on top of any surface there. What is your
25 position on both of those potential reasons to break

1 capillary motion?

2 THE WITNESS: The course material is
3 called capillary barrier characteristically. I had
4 never thought of taking a position on that because I
5 have always been in the position of we shouldn't
6 bury that stuff. And then when we did have membrane
7 laid on the top, I thought well, that's better than
8 nothing. So if you leave it open, yes, then it can
9 ventilate. If you leave it closed with your
10 membrane, there is probably less opportunity for
11 unsaturated flow of salt upward. It will collect
12 moisture only if you have a good intact liner as in
13 a trench burial that is still intact at the time of
14 consideration. If it's a buried pit, the liner has
15 probably been ripped during the mixing of the soils,
16 the three to one mix that goes in there.

17 So should you leave the trench burial
18 uncovered or the pit uncovered? All I have is a gut
19 level guess. I would have to go really do some
20 calculations. I can give you a gut level guess but
21 I will acknowledge it's that, all right?

22 CHAIRPERSON BAILEY: Okay.

23 THE WITNESS: I would tend to cover it.
24 Because I would tend to try to do what I could to
25 retard the unsaturated flow out of there. Even if

1 the thing is nearly saturated at the time I close
2 it, if more doesn't get in there or the more I can
3 keep it out it won't get so saturated again and I
4 will at least provide it some impediment.

5 What do I mean by a impediment? It's like
6 the two inches of salt cake that we found on top of
7 the pit. Something was an impediment to transport
8 the salt. Must have been. How else could that cake
9 have gotten there? So that's a gut-level response
10 but that's not based on calculation or thought or
11 looking for other experiments.

12 CHAIRPERSON BAILEY: With or without the
13 top liner, would a capillary break at the surface of
14 the pit have an impact on retarding the downward
15 migration of chlorides and other contaminants in a
16 downward way?

17 THE WITNESS: Again, it's a guess, but my
18 guess would be it would not inhibit the downward
19 migration. It's not going to change the saturated
20 flow if any of it gets in there. The unsaturated
21 flow that comes in may come in through the sides.
22 Soil may fill in the capillary barrier. It might
23 slow down what you see beneath the pit 100 years
24 from now in some form, but I wouldn't think it would
25 be a dominant change. I would like to spend some

1 time with Dr. Buchanan on that, but I would sure
2 listen to his views before I took a firm position of
3 the opposite.

4 CHAIRPERSON BAILEY: One of the areas that
5 we are asked to make a decision on is the siting
6 distances from certain facilities. We have not
7 touched on the lateral flow or diffusion
8 horizontally out of any buried pit. Do you have any
9 opinions on that?

10 THE WITNESS: I don't have again a
11 quantitative opinion because I haven't done the
12 study but I can give you a little hint. Where I
13 just look at the characteristic time for diffusion,
14 and whatever happens is likely to be faster than
15 just pure chemical diffusion. Of all of the
16 processes going on, that's the slowest and there are
17 multiple processes. So I threw up a slide that said
18 one meter in 20 years. That doesn't mean a meter in
19 the soil; it's just an idealized column. Two meters
20 in 80 years.

21 That's not like the distances of setback,
22 so you are probably not forming your setback just on
23 horizontal transport. It's, in my view, the fear of
24 erosion, subsequent disruptions that can happen,
25 getting a thing that is potentially toxic farther

1 away from facilities.

2 Again, I have to say, you know, my
3 position, if I have any, is that we shouldn't be
4 burying these things around the landscape. That's
5 different from the setback of just the pit that's
6 going to be used as a pit. Its time of threat is
7 during its use.

8 CHAIRPERSON BAILEY: Your slide on Page 9,
9 was the pH taken for any of these pits so we can
10 determine how acidic or basic any of the pits have
11 been?

12 THE WITNESS: Do you have a page number?

13 CHAIRPERSON BAILEY: Page 9.

14 THE WITNESS: My memory is I didn't see a
15 pH industry standard. I could be wrong. Some of
16 them I saw a pH and I can't remember which ones. I
17 was surprised at how basic some were. That's as
18 much as I remember. The data exists. We can find
19 it. And I remember my surprise saying what's in
20 there and I thought maybe it's sodium hydroxide or
21 something.

22 CHAIRPERSON BAILEY: Would the acidity of
23 pit contents have any impact on its transport of
24 contaminants?

25 THE WITNESS: It's going to depend on the

1 soil chemistry, and that is beyond my expertise.

2 Just flat-out.

3 CHAIRPERSON BAILEY: Page 20 indicates
4 that an EC of four relates to 1516 -- is that
5 milligrams per liter?

6 THE WITNESS: Milligrams of chloride per
7 liter.

8 CHAIRPERSON BAILEY: Okay. But yet on
9 Page 23 in the paragraph below the chart it says EC
10 four is equivalent to 600 milligrams per kilogram.

11 THE WITNESS: Of soil, of dry soil.

12 CHAIRPERSON BAILEY: So for the limits
13 that are proposed in the table above, whatever limit
14 is set, you are recommending no more than 600
15 milligrams per kilogram of chloride within the top
16 four feet of the surface?

17 THE WITNESS: That's what I would
18 recommend. If you made it 700 it would be fine for
19 the surface waste facilities. I think they put up
20 to 1,000 at one point. I think that's pushing it,
21 but that's the region in which I would put it. That
22 600 might really be 700 for the equivalent of EC
23 four.

24 CHAIRPERSON BAILEY: Let's look at Page
25 39. Throughout all of these graphs that we have

1 been shown of the bulges that occur, it seems as
2 though the bulge usually occurs above 20 feet depth
3 and somewhere in the 20-foot depth range, 20 to 25
4 feet, no matter how concentrated the chloride
5 concentration is in the soils. Is that a fair
6 observation?

7 THE WITNESS: I'm not following you very
8 well. Let me explain why. We are looking at this
9 particular page, and soil chloride concentration per
10 unit dry soil is shown in these two graphs. In this
11 one the peak is between 10 and 15. I tentatively
12 identified that as being associated with the pit. I
13 could be wrong, because I could not identify with
14 whatever expertise I don't have at looking at cores.
15 I could not identify exactly where the pit started
16 and stopped.

17 CHAIRPERSON BAILEY: But they seem to be
18 both on this page and on the subsequent pages that
19 although the concentration of chloride may be as
20 much as 90,000 as in Page 40 for the unlined pit --
21 321 is the lined pit -- so the concentration of
22 chlorides is heading on towards 90,000.

23 THE WITNESS: Yes.

24 CHAIRPERSON BAILEY: As compared to the
25 lined pit, which is --

1 THE WITNESS: Unlined.

2 CHAIRPERSON BAILEY: Unlined, which was
3 30,000. So even though the concentration of the
4 chlorides was so much higher in the pits, the bulges
5 still seem to be focusing in the 10 to 20-foot
6 depth.

7 THE WITNESS: Well, I will do what I can
8 with these two graphs. The 49A graph is smooth
9 enough that I tend to think the 10 to 15 bulge has
10 something to do possibly with the original location
11 of the pit or the pit contents. I tend to feel that
12 might be somewhere around the shallower depth, but I
13 can't be sure of that in the 321A.

14 I can't give a good cause to the double
15 peak here. We can invent scenarios. We know this
16 was one that had an intact liner at least apparently
17 on the top and a big cake of salt on top. What has
18 gone on down below, I can't say.

19 Now, I understand your feeling that there
20 seems to be a peak here at 20 feet, and maybe we can
21 identify that through all of the data if we back up
22 to the previous page. This is the same pit. I
23 can't make a story that there's definitely a
24 chloride bulge at 20 feet in this pit as there is
25 over here.

1 CHAIRPERSON BAILEY: But I'm looking for
2 the story on the concentration of chlorides. It
3 doesn't seem to be much of a factor in the depths of
4 the bulge.

5 THE WITNESS: It wouldn't be for the
6 contents of the pit because that's going to depend
7 on what was in the pit and how much got moved off.
8 But I will take your -- I will kind of interpret
9 your question one step further to say well, if the
10 concentration were going to have a big effect,
11 shouldn't we see some difference in where the bottom
12 of the leading edge is?

13 CHAIRPERSON BAILEY: Yes.

14 THE WITNESS: The bottom of the leading
15 edge is going to depend more on the transport
16 process than the concentration. That's particularly
17 true of diffusion front. It will build up higher
18 behind it but it doesn't go faster in the diffusion
19 front just because you have a higher concentration.
20 The speed of progress isn't faster. What happens is
21 bigger. Some of these processes in a way mimic
22 diffusion; namely, that the flux is proportional to
23 the gradient of the concentration. That means it
24 looks like you are solving the diffusion equation
25 again. You aren't. You are actually bottling the

1 physical processes.

2 CHAIRPERSON BAILEY: You have not made any
3 comment on the other constituents that are listed in
4 the proposed tables such as you have on Pages 62 and
5 63. Do you have other comments concerning the other
6 constituents?

7 THE WITNESS: I had just the one comment.
8 It would be a lot of work to try to infer how
9 answers to how do we relate to 50 milligrams of
10 BTEX. I might have done some of that for the
11 earlier hearings. I had no time to do that now so I
12 just had no comment on it. I did make one comment
13 on the ten milligrams of Benzene because it does
14 have a high vapor pressure and I got some uneasiness
15 burying Benzene that's also slightly soluble,
16 burying Benzene down there in aquifer. You're
17 allowed to bury it at 25 feet above an unconfined
18 aquifer here and there is no necessary setback from
19 a confined aquifer, and that particular one just
20 left me uneasy because it has a high vapor pressure.

21 CHAIRPERSON BAILEY: Those are all the
22 questions I have. Do you have any redirect for
23 yourself?

24 MR. NEEPER: This is the point at which a
25 man should know it's best to shut up. Thank you for

1 your attention. I do have a request, however. I
2 would request that the Commission accept our Clean
3 Air and Water Exhibit No. 5.

4 CHAIRPERSON BAILEY: Any objections?

5 MR. JANTZ: None.

6 MS. FOSTER: No.

7 CHAIRPERSON BAILEY: It is accepted and
8 you may be excused.

9 MR. NEEPER: Thank you very much.

10 CHAIRPERSON BAILEY: It's 4:00 o'clock and
11 I have had a request for quitting today at least by
12 4:30 and we do have maybe a few people who have
13 signed up for public comment. Shall we check that
14 first? How long do you think your opening statement
15 will be for IPANM?

16 MS. FOSTER: Not very long at all. It's
17 gotten shortened significantly. However, I would
18 prefer to do my opening statement in the early
19 morning hours of June 20th so everything flows more
20 easily.

21 CHAIRPERSON BAILEY: Kim Sorvig.

22 MR. SORVIG: I would like to ask that the
23 written version of my notes be accepted as an
24 exhibit or part of the record since I wasn't aware
25 of the five-minute limit. In 2007 there wasn't such

1 a limit.

2 CHAIRPERSON BAILEY: Yes, we will accept
3 your comments.

4 KIM SORVIG

5 after having been first duly sworn under oath,
6 was questioned and testified as follows:

7 CHAIRPERSON BAILEY: State your name and
8 place of residence K-I-M S-O-R-V-I-G.

9 MR. SORVIG: My name is Kim Sorvig. I
10 live in the vicinity of Cerillos, New Mexico in land
11 that I own. I am a research professor at UNM and my
12 expertise is sustainable land use, loosely called
13 green building, and land use policy.

14 I published a standard reference book on
15 those topics and I speak and consult on those issues
16 internationally. I returned this Monday from a
17 one-week trip across West Virginia and Pennsylvania
18 to research the land impacts of the Marcellus Shale
19 gas boom there and the effects on the economy. I
20 believe what I learned is extremely timely and
21 relevant to the hearing.

22 There's little dispute inside or outside
23 of Pennsylvania that that state has almost no
24 regulation of the oil and gas industry as it's
25 currently stands. And the result has been a real

1 gold rush mentality. I don't just mean among the
2 drillers. Many of the landowners are also caught up
3 on this. I drove nearly 1400 miles through rural
4 landscapes that were being cleared and drilled to
5 access the Marcellus and I also flew over three
6 counties in a small plane. Even in as wet a
7 landscape as Pennsylvania, which we clearly don't
8 have here, the vegetation loss of pads and pipelines
9 is apparently going to be permanent.

10 We saw flares that were burning off gas
11 considered too dirty to market. Why we would want
12 to burn that into the atmosphere I'm not quite
13 clear, but those were visible for seven or eight
14 miles, accords to the pilot's estimate, and one of
15 them was directly above the outdoor running track of
16 a high school, which I'm convinced is not good for
17 student health.

18 I passed through towns where water wells
19 had exploded with enough force to lift a house off
20 its foundations, where tap water from wells that had
21 been good, clean producers for decades were
22 discolored or even became flammable after gas
23 drilling nearby. I know the industry hotly contests
24 whether this is their fault or not, but I think it's
25 a bit much to accept that it's pure coincidence.

1 And I saw pits. That's how we describe
2 them but they are really lagoons, many of them
3 covering over five acres in size. They were day
4 glow orange and other unexpected colors and they
5 were within 100 feet of homes and schools. One of
6 the largest was located on a bluff overlooking the
7 Monongahela River held back by an earth damn. I
8 would bet good money that damn had been exempted
9 from engineering review of the ordinary kind.

10 I'm not just trying to paint the usual
11 horror picture, because the thing most interesting
12 to me was that in Pennsylvania, in this free-for-all
13 environment, every single pit that I saw was
14 completely lined. I was also in West Virginia where
15 land application of pit waste is legal along with
16 direct burial. I visited a site where the U.S.
17 Forest Service has been doing carefully controlled
18 timber management research for over 60 years, and
19 yet a drilling company insisted on placing their
20 rigs in the midst of the controlled patches of
21 forest basically destroying the research.

22 They also took their legal opportunity to
23 spray fracking fluid on a couple of acres. This is
24 what's called land application. These were flowback
25 wastes. Within three weeks all of the vegetation

1 was dead. This is published research, incidentally,
2 and not mine. And what has grown back has been very
3 limited. The leaching that you would expect of
4 those salts out of the soil has been slower than
5 expected, and yet from the direct burial of the pit
6 itself the salt concentrations are high enough to
7 attract wildlife that are leaching out of what is
8 supposedly a contained and burden pit.

9 These are the extremes to which other
10 states have gone for the convenience of drillers in
11 complete deregulation. I believe New Mexico's
12 existing rule on waste disposal strikes a very
13 reasonable balance between the needs and rights of
14 drillers and those of citizens and landowners such
15 as myself who potentially will be living near
16 drilling sites in the foreseeable future.

17 I think that what we can learn from
18 Pennsylvania and from the Marcellus Shale is that we
19 do not want to take any steps backwards, and in my
20 opinion the proposed changes to the existing pit
21 rule are, in fact, exactly that. Steps backwards;
22 in fact, beyond what is permitted in states that
23 have no regulation at all. Thank you.

24 CHAIRPERSON BAILEY: As a sworn witness,
25 you are subject to cross-examination.

1 THE WITNESS: I understand.

2 CHAIRPERSON BAILEY: Are there any
3 questions of this commenter?

4 MR. HISER: No.

5 MS. GERHOLT: No questions.

6 COMMISSIONER BLOOM: No.

7 CHAIRPERSON BAILEY: Thank you very much.
8 We will continue this case to June 20th at 9:00
9 o'clock here in Porter Hall.

10 MR. JANTZ: Madam Chair, before we adjourn
11 I have a quick question. I have been asked whether
12 the record for written comments is still open or the
13 opportunity to submit written comments is still
14 available and whether it will be until -- whether
15 that opportunity will remain available up until the
16 time when we reconvene in June.

17 CHAIRPERSON BAILEY: Let's ask commission
18 counsel.

19 MR. SMITH: By rule, I hate to say this,
20 but I was wrong earlier. By the rule, written
21 comment period ceases five days before the hearing.
22 That can be extended by the Chair or the Commission.

23 MR. JANTZ: That being the case, I would
24 request that the Chair and the Commission -- and/or
25 the Commission -- extend the written comment period.

1 COMMISSIONER BALCH: I have no problem
2 extending.

3 COMMISSIONER BLOOM: I agree with that.

4 CHAIRPERSON BAILEY: Five days before the
5 June 20th hearing would be -- June 15th would be the
6 new deadline for submission of written comments.

7 MR. JANTZ: Thank you Madam Chair,
8 Commissioners.

9 CHAIRPERSON BAILEY: This Commission will
10 sit next week to hear other cases. All right. Is
11 there any other business before the Commission?

12 (Note: A discussion was held off the
13 record).

14 CHAIRPERSON BAILEY: We are in recess.

15 (Note: The hearing stood adjourned for
16 the day at 4:10).

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, JAN GIBSON, Certified Court Reporter for the State of New Mexico, do hereby certify that I reported the foregoing proceedings in stenographic shorthand and that the foregoing pages are a true and correct transcript of those proceedings and was reduced to printed form under my direct supervision.

I FURTHER CERTIFY that I am neither employed by nor related to any of the parties or attorneys in this case and that I have no interest in the final disposition of this case.



JAN GIBSON, CCR-RPR-CRR
New Mexico CCR No. 194
License Expires: 12/31/12