

STATE OF NEW MEXICO  
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

ORIGINAL

APPLICATION OF THE NEW MEXICO OIL AND GAS  
ASSOCIATION FOR AMENDMENT OF CERTAIN PROVISIONS OF  
TITLE 19, CHAPTER 15 OF THE NEW MEXICO  
ADMINISTRATIVE CODE CONCERNING PITS, CLOSED-LOOP  
SYSTEMS, BELOW-GRADE TANKS AND SUMPS AND OTHER  
ALTERNATIVE METHODS RELATED TO THE FOREGOING  
MATTERS, STATE-WIDE.

CASE NOS. 14784 AND 14785

TRANSCRIPT OF PROCEEDINGS

VOLUME 16

COMMISSION MEETING  
October 1, 2012  
Santa Fe, New Mexico

RECEIVED OOD  
2012 OCT 11 PM 3:28

THE COMMISSION:  
JAMI BAILEY, Chairperson

GREG BLOOM, Commissioner  
DR. ROBERT BALCH, Commissioner  
MARK A. SMITH, Esq.

FLORENE DAVIDSON, Commission Clerk  
THERESA DURAN-SANCHEZ

REPORTED BY: PAUL BACA, CCR #112  
PAUL BACA COURT REPORTERS  
500 4th Street, NW, Suite 105

1 CHAIRPERSON BAILEY: It's 9:00 Monday,  
2 October 1st, 2012. We are in Porter Hall in  
3 Santa Fe, New Mexico.

4 This is a meeting of the Oil Conservation  
5 Commission for the purpose of deliberating the  
6 proposals made in the Consolidated Cases 14784 and  
7 14785.

8 All three commissioners are here, so there  
9 is a quorum.

10 Commissioners, over the weekend I looked  
11 at the latest version that we have developed, and I  
12 found a lot of formatting editing omissions, things  
13 that were not incorporated that we had discussed.

14 So if you would indulge me, I would like  
15 to go through the draft as we have it and make some  
16 of these corrections.

17 I'm assuming that both of you also have  
18 some that maybe you have looked at.

19 So if we could just start at the top and  
20 go to the bottom. And then after we are done with  
21 that we can start addressing those areas that we  
22 have not yet talked about.

23 COMMISSIONER BLOOM: Very good. We will  
24 ease into it today a little bit.

25 CHAIRPERSON BAILEY: Right.

1                   On page 2 of the docket -- of the  
2     document, the definition for multi-well fluid  
3     management pit, I compared the very last sentence:  
4     "Any fresh water containment structure such as a  
5     pond, pit, or other impoundment is not included in  
6     this definition," with the last sentence of  
7     temporary pit, which is on the following page.

8                   And the very last sentence on the  
9     temporary pit says: "Any containment structure that  
10    holds only fresh water, such as a pond, pit, or  
11    other impoundment, is not a temporary pit."

12                  I think we should be consistent in our  
13    language, and I would suggest that we use that last  
14    sentence from temporary pit as the one that we use  
15    for consistency, rather than what we use currently  
16    on the end of the multi-well management pit  
17    definition.

18                  COMMISSIONER BLOOM: Should it go from  
19    "any fresh water containment structure, such as a  
20    pond, pit, or impoundment, is not included in this  
21    definition," to "any containment structure that  
22    holds only fresh water, such as a pond, pit, or  
23    impoundment, is not a temporary pit"?

24                  CHAIRPERSON BAILEY: I think the --

25                  COMMISSIONER BLOOM: I would agree with

1     that.

2                   CHAIRPERSON BAILEY:   You would agree?

3                   COMMISSIONER BALCH:   Yeah, I would agree  
4     as well.

5                   CHAIRPERSON BAILEY:   All right.

6                   "Any containment structure that holds only  
7     fresh water, such as a pond, pit, or other  
8     impoundment, is not a temporary pit."

9                   CHAIRPERSON BAILEY:   We still have the  
10    definition for "restore."   And I found that word  
11    used only on page 39, which is in the reclamation  
12    area, so we can come back to that.

13                  COMMISSIONER BLOOM:   Madam Chair, do we  
14    need a definition in the definition section if the  
15    only other place it appears is in a section devoted  
16    to that where it might be elaborated on?

17                  CHAIRPERSON BAILEY:   It's not elaborated  
18    on in that section.   That is the problem.

19                  COMMISSIONER BLOOM:   Okay.

20                  CHAIRPERSON BAILEY:   Under Section 8 on  
21    page 4 I questioned the last sentence of subsection  
22    A that said:   "After June 16th, 2008, an unlined  
23    permanent pit is prohibited."

24                  I'm not sure about including that date.

25    But definitely, "permanent pit" needs to be expanded



1 to an unlined permanent pit, temporary pit, or  
2 multi-well fluid management pit, because all three  
3 of those are lined.

4 COMMISSIONER BLOOM: Do you -- it might  
5 have been simpler just to say "unlined pits."

6 CHAIRPERSON BAILEY: We could, yes. So we  
7 would just delete the word "permanent" in both  
8 places, also the next-to-the-last word.

9 COMMISSIONER BLOOM: I think we could just  
10 leave that singular, right?

11 CHAIRPERSON BAILEY: Uh-huh. Do you both  
12 agree with that change?

13 COMMISSIONER BLOOM: I would agree with  
14 that, yes.

15 COMMISSIONER BALCH: That's the intent.

16 CHAIRPERSON BAILEY: Okay.

17 Then we will go to the next page, Section  
18 9, "Permit Application and Registration."

19 In B (d) there's a reference to the  
20 environmental bureau. And we have deleted that in  
21 every other place we came across it.

22 In paragraph (2) down below there, I have  
23 an issue with the very second sentence. This is  
24 talking about permit applications, and the permit  
25 application includes detailed plans.

1           So the first sentence: "The plan for a  
2   temporary pit shall follow applicable liner,"  
3   doesn't make sense. It's "the plan for design and  
4   construction of a temporary pit shall follow  
5   applicable liner manufacturers."

6           COMMISSIONER BLOOM: So you would like to  
7   add "design and construction"?

8           CHAIRPERSON BAILEY: Yes. After the word  
9   "for" insert the words "design and construction of"  
10   in the line below where it says: "The plan shall  
11   include operating and maintenance," that's not  
12   correct. It's the permit application shall also  
13   include.

14          Are you both all right with those changes?

15          COMMISSIONER BLOOM: Yes. That makes  
16   sense.

17          COMMISSIONER BALCH: Yes.

18          CHAIRPERSON BAILEY: On the next page we  
19   talk about standardized plans in subsection (2).

20          COMMISSIONER BLOOM: Madam Chair, could we  
21   just scroll back up again? I think I just caught  
22   something.

23          No, nevermind. That is okay.

24          CHAIRPERSON BAILEY: I read that, and I  
25   wasn't sure if the public would ever be able to

1 access those standardized plans. So I thought maybe  
2 we should add a sentence in there that would say a  
3 copy of the approved standardized plans shall be  
4 included in the OCD electronic well files for each  
5 associated well.

6 That would ensure that it is a  
7 standardized plan that's still easily available for  
8 the public to access.

9 COMMISSIONER BLOOM: That seems to...

10 COMMISSIONER BALCH: I believe so.

11 CHAIRPERSON BAILEY: So at the end of the  
12 yellow highlighted area you can add the sentence:  
13 "A copy of the approved standardized plan shall be  
14 included in the OCD electronic well files for each  
15 associated well."

16 Now, I realize you may have to spell out  
17 OCD.

18 MR. SMITH: It probably should be  
19 division, shouldn't it? Isn't that what's used  
20 throughout?

21 CHAIRPERSON BAILEY: Okay. In the  
22 division's electronic --

23 MR. SMITH: "Well file" probably should be  
24 singular.

25 CHAIRPERSON BAILEY: Okay.

1           That same sentence should also be included  
2     at the end of the paragraph, or the last  
3     paragraph -- the last paragraph of (3), just below  
4     that, because we are talking about standardized  
5     plans for below-grade tanks. And I just want to  
6     ensure that the public has that information if they  
7     choose to read it.

8           COMMISSIONER BLOOM: Madam Chair, on  
9     operators, then, would that just require them to  
10    electronically attach -- they could do it as an  
11    attachment to the file?

12          CHAIRPERSON BAILEY: Right.

13          COMMISSIONER BLOOM: It would be a pretty  
14    easy process for them.

15          CHAIRPERSON BAILEY: Yes. It's just a  
16    matter of xeroxing or cut and paste.

17          COMMISSIONER BLOOM: Okay.

18          CHAIRPERSON BAILEY: Number (4), on  
19    "multi-well fluid management pits," once again we  
20    have the language that says a plan shall follow  
21    applicable liner -- that doesn't make sense there  
22    either.

23                 So insert the words -- after "the,"  
24    "design and construction."

25                 And at the beginning of the next sentence,

1     instead of saying "the plan shall include," it's  
2     "the permit application shall include -- shall also  
3     include."

4             Are both of you approving the changes that  
5     have been made so far?

6             COMMISSIONER BALCH:   I am.

7             COMMISSIONER BLOOM:   Madam Chair, does  
8     that follow the same language we have above, "the  
9     design and construction plan for"?

10            CHAIRPERSON BAILEY:   Yes.

11            COMMISSIONER BLOOM:   I wasn't sure we had  
12     the design and construction of multi-well.

13            CHAIRPERSON BAILEY:   We have the design  
14     and construction plan.

15            COMMISSIONER BLOOM:   For a temporary pit  
16     also?

17            CHAIRPERSON BAILEY:   Yes.

18            COMMISSIONER BLOOM:   All right.   Very  
19     good.

20            CHAIRPERSON BAILEY:   Okay.

21            Scrolling on down to -- C discusses  
22     closure plans, but it only discusses closure plans  
23     for a multi-well fluid management pit.   This seems,  
24     to me, to be a very out-of-place section; that it  
25     really belongs in Section 13, where we talk about

1 closure and reclamation of all types of facilities.

2 I would suggest that we remove this  
3 portion, the entire portion of C and, instead, put  
4 it in Section 13, page 26.

5 COMMISSIONER BLOOM: I would ask only  
6 that -- is it not perhaps included here because the  
7 permit application requires that closure plans be  
8 addressed in this section?

9 CHAIRPERSON BAILEY: It does. But 13  
10 addresses those closure plans for every other  
11 facility, not just multi-well fluid management pits.

12 COMMISSIONER BLOOM: I believe the  
13 original language, where we did the deleting, goes  
14 into temporary pits and permanent pits.

15 COMMISSIONER BALCH: I guess my reading of  
16 it was that C sort of applied to everything we have  
17 talked about in permit application and  
18 registrations. That would be temporary pits,  
19 permanent pits, and multi-well fluid management  
20 pits, as well as below-grade tanks, all of which  
21 require closure.

22 CHAIRPERSON BAILEY: Well, they do, except  
23 C (1) only says multi-well management pit --  
24 multi-well fluid management pit.

25 We have closure requirements that will

1 need to be included in the closure plan throughout  
2 Section 13.

3 COMMISSIONER BLOOM: Madam Chair, it might  
4 make sense to move it down. Because if we look at  
5 the original language, it just refers everything to  
6 Section 13 anyway.

7 CHAIRPERSON BAILEY: Yes. So all of C  
8 could be inserted right after the title of 13, and  
9 then we can deal with it later this afternoon.

10 Then we'll go back to what used to be C on  
11 page 6. And "Filing of permit application" becomes  
12 C.

13 There's also in C (1) a reference to the  
14 environmental bureau. And in D (2), I object to the  
15 language: "To request approval to use or construct  
16 a temporary pit."

17 Why not just strike all the way through  
18 "multi-well fluid management pit," put a period, and  
19 then begin with a capital: "An operator shall file  
20 an application on Form C-144 and all required  
21 attachments."

22 COMMISSIONER BLOOM: So adding "and all  
23 required attachments" after "C-144"?

24 CHAIRPERSON BAILEY: Yes. That reflects  
25 the same language as used up above in the preceding

1 paragraph in C (1), because C-144 has required  
2 attachments.

3 COMMISSIONER BLOOM: Madam Chair, in most  
4 cases we are treating multi-well fluid management  
5 pits as -- in many ways -- as permanent pits.

6 CHAIRPERSON BAILEY: In many ways.

7 COMMISSIONER BLOOM: Would that better be  
8 treated in (1) above, rather than (2), temporary  
9 pits?

10 CHAIRPERSON BAILEY: Well, because (2) has  
11 to do with the division district office, and (1) has  
12 to do with the Santa Fe office.

13 COMMISSIONER BLOOM: Correct.

14 COMMISSIONER BALCH: I think this goes  
15 back to the argument that we heard a number of times  
16 about the division district offices having more of  
17 the appropriate information that would be useful for  
18 siting and permitting a pit.

19 We did apply the exception standard of  
20 permanent pits to multi-well management pits, but  
21 they are a hybrid of a temporary and permanent --  
22 well, more, maybe, of a per- -- of a temporary or  
23 permanent pit.

24 I think with the construction standards  
25 that are there we still have the protection that you



1     need for the two to four years they would be in  
2     operation.

3                 COMMISSIONER BLOOM:   Okay.

4                 COMMISSIONER BALCH:   And it might be  
5     better for the district office to look at those  
6     applications.  If they had questions, I guess they  
7     would be able to pass them forward to Santa Fe?

8                 CHAIRPERSON BAILEY:   Of course.

9                 COMMISSIONER BLOOM:   Very good.

10                The -- one last question.  The second line  
11     for temporary multi-well fluid management mentions  
12     the proposed pit location given on Form C-102.  We  
13     don't have any similar language in (1) above.  I'm  
14     wondering if that should be added.

15                COMMISSIONER BALCH:   What's a C-102?

16                CHAIRPERSON BAILEY:   It's simply a plat  
17     indicating what acreage is dedicated to a well.  So  
18     it's not really appropriate to have it for a  
19     permanent pit, because we're not dedicating acreage.

20                COMMISSIONER BALCH:   So C-102 has to do  
21     with acreage that's dedicated to a particular well,  
22     as in a permit that may not have a particular well;  
23     it's just storage.

24                COMMISSIONER BLOOM:   Okay.  That makes  
25     sense.

1 MR. SMITH: I think that you can strike  
2 the comma after the word "application" in the third  
3 line down.

4 COMMISSIONER BLOOM: Yes. I would be fine  
5 if we change the language below to like language  
6 above.

7 CHAIRPERSON BAILEY: Okay. So go ahead  
8 and delete that highlighted area and make that a  
9 capital a.

10 Are you both happy with the changes in  
11 Section 9?

12 COMMISSIONER BALCH: Do we need to say  
13 "and include required attachments"?

14 CHAIRPERSON BAILEY: "Shall file an  
15 application and required attachments."

16 COMMISSIONER BALCH: "On Form C-144 and  
17 required attachments."

18 CHAIRPERSON BAILEY: And include -- yes.  
19 And we can make that same change up above in  
20 paragraph (4).

21 MR. SMITH: I think, grammatically, you  
22 might now want to put a comma after "144" and change  
23 "and include" to "including," and then a comma after  
24 "attachments."

25 CHAIRPERSON BAILEY: Okay.

1 MR. SMITH: And then the same change under  
2 the next one.

3 CHAIRPERSON BAILEY: Okay.

4 COMMISSIONER BLOOM: The first one reads:  
5 "An operator shall file an application, Form C-144."

6 CHAIRPERSON BAILEY: So then that comma  
7 should be deleted.

8 COMMISSIONER BLOOM: It would be "on Form  
9 144."

10 MR. SMITH: No, I don't think you want to  
11 delete the comma now, because you are setting  
12 "including required attachments" off.

13 CHAIRPERSON BAILEY: No, up above. The  
14 very first line, the comma after "application." 7

15 MR. SMITH: Oh, yes.

16 COMMISSIONER BLOOM: Put in the word "on."

17 COMMISSIONER BALCH: Or maybe just change  
18 the language to reflect that in Section (2). Move  
19 that to the middle of the sentence.

20 CHAIRPERSON BAILEY: Do you approve those  
21 changes?

22 COMMISSIONER BLOOM: Yes.

23 COMMISSIONER BALCH: Yes.

24 CHAIRPERSON BAILEY: Then let's go on to  
25 the next section, 10, "Siting Requirements." The

1 format that was used in (d), where we have the  
2 romanettes -- is that what you called them? Roman 1  
3 and 2?

4 MR. SMITH: Yes.

5 CHAIRPERSON BAILEY: That made it very  
6 clear what was going on.

7 If we use that same format in (b), I think  
8 that we will find some problems that have been  
9 incorporated.

10 So in (b) we could say within a hundred --  
11 okay.

12 "Where only low chloride fluids are used,"  
13 romanette 1. That will go at the beginning of the  
14 sentence.

15 Then we have that funny little squiggle  
16 and the little I, the same as we used down below in  
17 (d).

18 Then we have that "within 100 feet of any  
19 continuously flowing watercourse."

20 And now, we have reached the problem where  
21 higher chloride fluids are within 300 feet -- or  
22 200 feet.

23 What do we do for low chloride fluids for  
24 significant watercourse or lakebed, sinkhole, or  
25 playa lake?

1           See the problem that's been presented?  
2   When we see it as broken down into romanette 1, and  
3   romanette 2 will be coming up, we have continuously  
4   flowing watercourses protected at 100 feet for low  
5   chlorides, but significant watercourses are  
6   200 feet. Or we don't know. I mean, it's not  
7   designated what happens with low chloride fluids as  
8   a distance to watercourses, lakebeds, sinkholes, or  
9   playa lakes.

10           So I suggest that we make that decision  
11   of -- if it's 100 feet to a continuously flowing  
12   watercourse, does that also include significant  
13   watercourse, lakebed, sinkhole, or playa lake? Or  
14   are we reserving a different distance for those for  
15   low chloride fluids?

16           COMMISSIONER BALCH: You know, when we  
17   were having a discussion about the piles of dirt --

18           CHAIRPERSON BAILEY: Uh-huh.

19           COMMISSIONER BALCH: -- we ended up with a  
20   problem -- with the same exact problem.

21           CHAIRPERSON BAILEY: Exactly.

22           COMMISSIONER BALCH: And because nobody  
23   had requested a change we were advised that we  
24   couldn't really make that change, if I recall  
25   correctly. Or we couldn't, at least, delete

1 categories.

2 We ended up leaving it. I think we  
3 combined the two kinds of watercourses and then we  
4 had a separate 200-foot designation for the lakes  
5 and bodies of water.

6 CHAIRPERSON BAILEY: So your suggestion is  
7 to have it read "within 100 feet of any continuously  
8 flowing watercourse or any other significant  
9 watercourse"?

10 COMMISSIONER BALCH: Is that what we did  
11 for the dirt?

12 CHAIRPERSON BAILEY: Yes, it is.

13 COMMISSIONER BALCH: I think we need to be  
14 consistent. I think I argued on Thursday that we  
15 ought to make it 100-foot for all of those things,  
16 but we were not really allowed to do so, since that  
17 change was not requested.

18 But to be consistent, I think we ought to  
19 make that distinction. I think that continuously  
20 flowing watercourses and significant watercourses  
21 should be treated the same.

22 CHAIRPERSON BAILEY: I agree with you.

23 COMMISSIONER BALCH: And if there is going  
24 to be a distinction, it should be between flowing  
25 watercourses of any sort and the lakebed, sinkholes,

1 or playas. And perhaps the original intent was that  
2 those enclosed bodies of water needed a little more  
3 protection than something that would flow or wash  
4 away. So there may be some justification for that  
5 distinction.

6 CHAIRPERSON BAILEY: So, Theresa, if you  
7 would include "any other significant watercourse"  
8 after "continuously flowing." Put an "or" before  
9 that.

10 Then we would delete "within 300 feet" --  
11 no. No, no. Because here we have romanette number  
12 2 after the word "otherwise."

13 Does that read the way it should now?

14 COMMISSIONER BALCH: Do we need another --

15 COMMISSIONER BLOOM: So if there's a  
16 lakebed out there and low chloride fluids are being  
17 used the low chloride pit would be at 200 feet?

18 CHAIRPERSON BAILEY: That's the way it  
19 reads.

20 COMMISSIONER BALCH: The way it reads is  
21 the only decrease in the setback is for flowing  
22 water, some sort of watercourse.

23 COMMISSIONER BLOOM: That's the way I read  
24 that too.

25 MR. SMITH: I find the language to be a

1 little confusing yet.

2 The low chloride clause at the beginning  
3 applies to the 100 feet for the flowing watercourse  
4 or significant watercourse.

5 The 300 feet of a continuously flowing  
6 watercourse is for fluids that are not low chloride?

7 CHAIRPERSON BAILEY: Yes.

8 COMMISSIONER BALCH: Well, it might be  
9 repetitive, and it might be more clear if we also  
10 put the 200 feet of a lakebed, sinkhole, or playa in  
11 the first definition.

12 COMMISSIONER BLOOM: One thought. And I  
13 wasn't supportive of the addition of the low  
14 chloride fluids. But it does seem to be reading  
15 that an operator shall not locate a temporary pit  
16 where only low chloride fluids are used. That reads  
17 a little -- that reads a little funny.

18 CHAIRPERSON BAILEY: Oh, that's a good  
19 catch.

20 COMMISSIONER BLOOM: Would it be easier to  
21 have different sections for low chloride fluids and  
22 not, and then the rest?

23 COMMISSIONER BALCH: Well, we tried that  
24 yesterday -- or Wednesday, I think.

25 MR. SMITH: I think this might be clear if



1 you put a period after the second instance of  
2 "watercourse" in that second line and make  
3 "otherwise" a new sentence.

4 CHAIRPERSON BAILEY: Let's try that.

5 COMMISSIONER BALCH: That's what we did in  
6 (d) below.

7 COMMISSIONER BLOOM: You can almost read  
8 that to say an operator can't locate a temporary pit  
9 where only low chloride fluids are used within 100  
10 feet of a continuously flowing watercourse. So if  
11 you had a river and you had --

12 CHAIRPERSON BAILEY: Or we could put a  
13 colon after "used" if that would be better.

14 MR. SMITH: Well, I mean in (d), romanette  
15 1 and romanette 2 both apply to low chloride fluids.  
16 Is that right?

17 CHAIRPERSON BAILEY: Yes.

18 MR. SMITH: Okay. But in (b), the  
19 sentence beginning with "otherwise" does not apply  
20 to low chloride fluids.

21 CHAIRPERSON BAILEY: So we can remove the  
22 romanettes --

23 MR. SMITH: Yes.

24 CHAIRPERSON BAILEY: -- both of them.  
25 It's simply a way that helped (b) understand that we

1 had issues with "significant" and "continuously  
2 flowing."

3 What about putting the colon after "used"  
4 in the very first line?

5 MR. SMITH: I think that would be -- I  
6 think that would be confusing. Because if you put a  
7 colon there you're looking for series.

8 CHAIRPERSON BAILEY: Okay.

9 COMMISSIONER BLOOM: What if low chloride  
10 fluids would be -- "An operator shall not locate a  
11 temporary pit within 100 feet of any continuously  
12 flowing watercourse or any other significant  
13 watercourse where only low chloride fluids are  
14 used"?

15 CHAIRPERSON BAILEY: It works. I will  
16 agree with that.

17 COMMISSIONER BALCH: Well, move it, and  
18 we'll see what it looks like. That seems like a  
19 good solution.

20 MR. SMITH: You know, I think you can put  
21 a comma after the first -- after "watercourse" in  
22 the second line.

23 COMMISSIONER BALCH: The only thing I can  
24 think of that might make this more clear, but it  
25 would be at the cost of using more words, would be

1 to structure (b) exactly like (d), where you  
2 specifically state the limits for low chloride and  
3 then otherwise, even though some of the limits will  
4 be the same.

5 CHAIRPERSON BAILEY: Well, we don't have a  
6 series for low chloride. We only have one instance  
7 for low chloride in (b).

8 COMMISSIONER BALCH: Then let me make  
9 another possible suggestion.

10 What if we insert a new paragraph between  
11 (b) and (c) and have (b) only deal with the low  
12 chloride situation of the watercourses and then have  
13 the new (c) deal with the otherwise case? Because  
14 that would apply to everything, not just low  
15 chloride.

16 Would that make it more clear?

17 MR. SMITH: If you do that for (b) you  
18 might want to do it for (d).

19 COMMISSIONER BLOOM: Maybe we could change  
20 "where only" to "when" or something like that. "The  
21 operator shall not locate a temporary pit within 100  
22 feet of any continuously flowing watercourse or any  
23 other significant watercourse where low chloride  
24 fluids are used."

25 COMMISSIONER BALCH: Well, I'm not sure

1 it's important. My only point is that the  
2 "otherwise" case applies to everything, low chloride  
3 and regular. So that should be more of a broad  
4 definition, or broad description.

5 MR. SMITH: I think you are better off  
6 changing "where" to "when" and putting it back at  
7 the beginning of the sentence, and then a comma  
8 after "used."

9 COMMISSIONER BLOOM: That seems clear now.

10 CHAIRPERSON BAILEY: Okay.

11 MR. SMITH: You might want to change  
12 "where" to "when" in (d).

13 CHAIRPERSON BAILEY: I almost agree with  
14 you, of repeating the 200 feet phrase both in the  
15 first sentence and the second -- the last sentence,  
16 so that it's clear that low chloride fluids have to  
17 be 200 feet from a lakebed, sinkhole, or playa lake.

18 Because otherwise, we have the high  
19 chloride dominating the distance for lakebed,  
20 sinkhole, or playa lake, but we don't know the  
21 distance for low chloride.

22 So we would -- the whole part of that,  
23 that whole phrase there beginning with "200 feet."

24 Put that after "watercourse" on the end.

25 COMMISSIONER BLOOM: Comma after

1 "watercourse."

2 COMMISSIONER BALCH: Now, do we need our  
3 romanettes again? My concern was that every time I  
4 read (d) -- well, I read (d) several times, and it  
5 took me that many times to figure out the intent,  
6 which I think means it's confusing.

7 CHAIRPERSON BAILEY: Uh-huh. We would  
8 have to delete "significant watercourse" in the line  
9 below where the cursor is.

10 No. The line below, yes.

11 COMMISSIONER BALCH: I think if you want  
12 to keep -- if you don't want to separate into two  
13 categories, then you might want to go back with  
14 romanettes in (b) similar to what is in (d).

15 CHAIRPERSON BAILEY: Because we do now  
16 have a series.

17 MR. SMITH: I think you can take out the  
18 word "other."

19 Now, I think you do need the romanettes  
20 again.

21 CHAIRPERSON BAILEY: Okay. Romanette  
22 number 1 after -- on the very first line before the  
23 word "100 feet."

24 MR. SMITH: No, no, under (b). Back one,  
25 after the word "within."

1 CHAIRPERSON BAILEY: And then after the  
2 word "or," before 200.

3 MR. SMITH: And then you can take off the  
4 comma after "watercourse."

5 COMMISSIONER BALCH: The second romanette  
6 needs another I. I know it's a little bit  
7 repetitive, but I think it's more clear.

8 CHAIRPERSON BAILEY: I agree with you that  
9 it's very clear what applies where.

10 COMMISSIONER BLOOM: In (d) below, do you  
11 want to put the first romanette after the word  
12 "within," so it's the same top and bottom?

13 COMMISSIONER BALCH: We lost a "within" in  
14 (b).

15 CHAIRPERSON BAILEY: After the second  
16 romanette in (b)? Is that what you said?

17 COMMISSIONER BALCH: Well, we have a  
18 "within" within the first romanette, so maybe it  
19 would be "or within," in the second romanette.

20 CHAIRPERSON BAILEY: Okay. That reads  
21 pretty good in (b).

22 I'm looking at (d). So actually, the  
23 "within" in (d) needs to be deleted rather than in  
24 (b).

25 COMMISSIONER BLOOM: The second one,

1 correct, after romanette 2.

2 CHAIRPERSON BAILEY: Yes.

3 MR. SMITH: So in (b), it's 200 feet from  
4 any lakebed, sinkhole, or playa lake regardless of  
5 whether it's low chloride or not.

6 COMMISSIONER BALCH: Yes. That is the  
7 case.

8 MR. SMITH: Okay.

9 COMMISSIONER BALCH: We are just  
10 explicitly making -- even though we are stating it  
11 twice, it's for clarity -- putting all of the low  
12 chloride definitions together, even though some of  
13 them are the same.

14 MR. SMITH: Okay.

15 CHAIRPERSON BAILEY: Because that's  
16 consistent with the way we handled it for the dirt.

17 In (d), we were going to move the word  
18 "spring" before "private," so that we don't require  
19 springs to be used by less than five households, and  
20 then put the word "or" after "spring." "Spring or  
21 private."

22 Yes.

23 And then remove the "or" after "well," on  
24 that same line.

25 Dr. Neeper was very clear to justify that.

1 COMMISSIONER BALCH: And rightfully so.

2 Is this substantially the same language we  
3 used for -- there's another section where we have  
4 the same language.

5 CHAIRPERSON BAILEY: Yes. Further on  
6 down, when we talk about below-grade tanks.

7 COMMISSIONER BALCH: Okay. Great.

8 CHAIRPERSON BAILEY: Yes.

9 Scrolling on down to --

10 COMMISSIONER BLOOM: Madam Chair, the --  
11 if we go down further in (d), we have "spring"  
12 again.

13 CHAIRPERSON BAILEY: Okay. That needs to  
14 be moved to before "private."

15 COMMISSIONER BALCH: And the comma after  
16 "private" needs to be deleted.

17 CHAIRPERSON BAILEY: Okay.

18 Scrolling down to (j), we copied that  
19 language from somewhere else. "Operators must  
20 obtain an exception to locate a temporary pit inside  
21 setbacks indicated for low chloride fluids."

22 But we don't indicate how an operator  
23 would obtain a setback different for high chloride  
24 fluids.

25 COMMISSIONER BLOOM: Correct.



1           CHAIRPERSON BAILEY: Is that an exception  
2 or is that a variance?

3           COMMISSIONER BALCH: I think we wanted  
4 the -- with exceptions, we wanted to point out only  
5 things that were an exception level.

6           Since we had already reduced the setbacks  
7 for low chloride fluids, we felt it appropriate that  
8 those would be looked at more closely. I think  
9 everything else is a variance.

10          COMMISSIONER BLOOM: This does open the  
11 case, though, where a high chloride fluid could be  
12 sited inside of distances for low chloride fluids  
13 with just a variation.

14          COMMISSIONER BALCH: Well...

15          CHAIRPERSON BAILEY: I think it would be  
16 very difficult for a district office.

17          COMMISSIONER BALCH: I imagine they would  
18 pass that decision on.

19          CHAIRPERSON BAILEY: There can be slight  
20 variations because of topography, roads, houses. I  
21 can see where that could be a district decision for  
22 very minor or very slight changes in that.

23          But as far as bringing a high chloride  
24 into the same area where we have contemplated low  
25 chlorides, I would rely on district supervisors to

1 either deny that or to check with Santa Fe.

2 COMMISSIONER BLOOM: That -- you know, (j)  
3 doesn't even -- we need to fix the language or make  
4 it maybe a (2) or something like that. Because it  
5 starts off by saying: "An operator shall not locate  
6 a temporary pit, colon, operators must obtain an  
7 exception to locate a temporary pit." Yes.

8 CHAIRPERSON BAILEY: So it doesn't  
9 rightfully belong as (j). It rightfully belongs as  
10 B.

11 COMMISSIONER BALCH: B.

12 CHAIRPERSON BAILEY: Or -- no.

13 COMMISSIONER BLOOM: (2)?

14 COMMISSIONER BALCH: (2).

15 CHAIRPERSON BAILEY: (2).

16 COMMISSIONER BALCH: We could say "an  
17 operator," to be consistent with the language we  
18 used in (1).

19 MR. SMITH: Singular operator. I think  
20 that this should be clear on the record.

21 As you have it now, a change in setbacks  
22 for low chloride fluids is an exception, right?

23 CHAIRPERSON BAILEY: Yes.

24 MR. SMITH: And a change in setbacks for  
25 non low chloride fluids is a variance, right?

1           CHAIRPERSON BAILEY: That is what we are  
2 discussing.

3           MR. SMITH: Okay. And the reasoning  
4 behind that is that you are allowing closer setbacks  
5 for low chloride fluids, correct?

6           COMMISSIONER BALCH: Yes.

7           CHAIRPERSON BAILEY: Yes.

8           MR. SMITH: It is, nonetheless, open for  
9 an operator to seek a variance to put non low  
10 chloride fluids closer to a water source than low  
11 chloride fluids by simply seeking a variance. That  
12 is --

13          COMMISSIONER BALCH: Well, I think it's  
14 theoretically possible, but I don't think it's very  
15 likely. And that person that made that variance  
16 would probably have to answer to somebody if they  
17 did that.

18          COMMISSIONER BLOOM: You could also read  
19 it to imply that if it was a non low chloride fluid  
20 temporary pit an exception would still need to be  
21 sought.

22          CHAIRPERSON BAILEY: So we need to add a  
23 sentence having to do with variance of changes from  
24 the setbacks for the non low chloride fluids. Would  
25 we call it higher chloride fluids?

1           MR. SMITH: Well, I think that -- all I'm  
2     thinking here is that you -- you may not want to  
3     rely on the notion that -- someone in a division  
4     office seeking a variance -- you can count on  
5     them -- or granting a variance, that you can count  
6     on them not to put the higher chloride even closer  
7     to a water source.

8           I think you might want to handle that,  
9     even though it may be cumbersome, some way or  
10    another in the regulation.

11          COMMISSIONER BALCH: Well, I think in the  
12    definition of variance -- and I didn't print out a  
13    copy of what we came up with for that language. But  
14    I think that the intent is that a variance is a  
15    relatively minor change. And going from a 300-foot  
16    setback to a 50-foot setback would not be a  
17    relatively minor change.

18          COMMISSIONER BLOOM: I think it could be  
19    defined down below, and then --

20          COMMISSIONER BALCH: I mean, I think that  
21    if you were to argue it fanatically, any variance  
22    could be abused.

23          CHAIRPERSON BAILEY: "And an operator must  
24    demonstrate that the requested variance provides  
25    equal or better protection of fresh water, public

1 health, and the environment."

2 COMMISSIONER BALCH: That would be a  
3 pretty high bar.

4 COMMISSIONER BLOOM: You could clarify --

5 MR. SMITH: You could add a sentence that  
6 says that an operator seeking to set a pit when --  
7 using higher chloride fluids or non low chloride  
8 fluids, seeking to set a pit within low chloride  
9 setbacks must get an exception.

10 COMMISSIONER BALCH: Okay.

11 CHAIRPERSON BAILEY: Okay.

12 COMMISSIONER BALCH: I think if we were to  
13 go back there to that section we might have to have  
14 a (2) (a) and a (2) (b).

15 CHAIRPERSON BAILEY: All right.

16 COMMISSIONER BALCH: Or could we get it  
17 all in the same sentence?

18 CHAIRPERSON BAILEY: Or we could have  
19 separate sentences.

20 An operator must obtain an exception to  
21 locate a --

22 COMMISSIONER BALCH: I think it already  
23 says that. It doesn't say low chloride fluids, but  
24 it says a temporary pit.

25 MR. SMITH: Well, you're right.

1 COMMISSIONER BALCH: An operator that  
2 wants to locate a temporary pit inside any of the  
3 setbacks for low chloride fluids would be an  
4 exception. It's already there.

5 CHAIRPERSON BAILEY: But this is saying  
6 that higher chloride pits have to have an exception.

7 COMMISSIONER BALCH: We're broadly putting  
8 all temporary pits into the definition of (2): "An  
9 operator must obtain an exception to locate a  
10 temporary pit."

11 It doesn't say high chloride or low  
12 chloride inside setbacks -- indicated for low  
13 chlorides.

14 CHAIRPERSON BAILEY: But where we have  
15 designated certain footages for high chloride  
16 fluids, to make any kind of a minor change from  
17 300 feet, say, to 290 feet for a high chloride pit  
18 would require an exception.

19 COMMISSIONER BALCH: I see what you are  
20 saying.

21 MR. SMITH: You could say for number  
22 (2) -- begin with where an operator is using low  
23 chloride fluids, the operator must obtain an  
24 exception.

25 No, I'm talking about at the very

1 beginning.

2 Where an operator is using low chloride  
3 fluids, the operator must -- and then you could have  
4 another sentence that says --

5 COMMISSIONER BALCH: Otherwise, within  
6 those low chloride setbacks you want an exception as  
7 well.

8 COMMISSIONER BLOOM: I like the original  
9 language. But we would change "a temporary pit" to  
10 "any temporary pit." That means we are trying to  
11 put any temporary pit, no matter what it has in it,  
12 inside -- this is established for low chloride fluid  
13 pits, which triggers an exception.

14 If somebody wants to put a non low  
15 chloride fluid pit 50 feet from a watercourse it  
16 would trigger an exception.

17 COMMISSIONER BALCH: I agree with that  
18 intent. I don't know how we get there with the  
19 language.

20 MR. SMITH: You could put a second  
21 sentence here. Let me see. How about this?

22 Where an operator is using -- and don't  
23 make these changes until they are happy with them.

24 The first -- that very first sentence  
25 could read: "Where an operator is using either low

1 chloride fluids or non low chloride fluids," and  
2 then continue there.

3 And then you could say: "Otherwise, an  
4 operator seeking to place a temporary -- or a pit  
5 within the setback distances, or whatever, must seek  
6 a variance."

7 So what you would have is, in the first  
8 sentence, low chloride, high chloride, makes no  
9 difference. If it's going to be within the setbacks  
10 for low chloride it's an exception.

11 Second sentence is, otherwise, if you want  
12 to change the setbacks, it's a variance.

13 CHAIRPERSON BAILEY: I see what you are  
14 saying.

15 COMMISSIONER BLOOM: I agree with that.

16 COMMISSIONER BALCH: Yeah. I mean, we  
17 have tried to broadly just make exceptions for the  
18 word "exception." But I think in this case, for  
19 clarity, we have to probably use the word "variance"  
20 as well.

21 CHAIRPERSON BAILEY: So it would say:  
22 "Where an operator is using either high or non  
23 chloride" -- scratch the "or."

24 MR. SMITH: "Either low chloride fluids or  
25 non low chloride fluids."



1 CHAIRPERSON BAILEY: "Or non low chloride  
2 fluids" --

3 MR. SMITH: Right.

4 CHAIRPERSON BAILEY: -- "to locate a  
5 temporary pit inside setbacks indicated for low  
6 chloride fluids."

7 MR. SMITH: And then your second sentence  
8 could read: "Otherwise, an operator must obtain a  
9 variance to locate a temporary pit inside setbacks  
10 set forth in the subpart," and then cite it or  
11 whatever.

12 COMMISSIONER BALCH: It would be  
13 19.15.17.10.A (1).

14 MR. SMITH: "Provided in."

15 COMMISSIONER BALCH: You can just copy it  
16 from the line above. We don't need the (a), (b),  
17 (d), (f). So just down to A (1).

18 This seems pretty clear.

19 CHAIRPERSON BAILEY: I can understand that  
20 one pretty well.

21 COMMISSIONER BLOOM: Yes.

22 MR. SMITH: After the word "fluids" in  
23 that first sentence do we need something?

24 Go down to your second page. "Indicated  
25 for," in the first line of the second page,

1 "indicated for low chloride fluids and."

2 CHAIRPERSON BAILEY: Then we can scroll  
3 down to -- okay. (2) actually becomes (3), then,  
4 doesn't it?

5 COMMISSIONER BALCH: Yeah. She got that  
6 one already.

7 CHAIRPERSON BAILEY: Okay. So in (3),  
8 where we're talking about permanent pit or  
9 multi-well fluid management pits, (b), there is  
10 language about environmental bureau.

11 In (g) we also have language about the  
12 environmental bureau.

13 And in the last line of (g), if we scratch  
14 "permanent pit's," then it also becomes applicable  
15 to multi-well fluid management pit that we have in  
16 the title.

17 COMMISSIONER BALCH: Well, I think we  
18 borrowed all this language, so that's probably an  
19 oversight.

20 CHAIRPERSON BAILEY: And also in (h) we  
21 can delete the word "permanent," to ensure that the  
22 pit's integrity is not compromised.

23 And down below, the word "permanent" is  
24 misspelled, in red.

25 COMMISSIONER BLOOM: We may want to do

1 something with (j). I don't know whether that would  
2 be (4) at this point.

3 CHAIRPERSON BAILEY: Yes, that would  
4 become (4).

5 COMMISSIONER BLOOM: I'm sorry, Theresa.  
6 (j) becomes (4). You might want to pull that out a  
7 little bit.

8 CHAIRPERSON BAILEY: And (4) becomes (5).  
9 And that is where we talked about the  
10 dirt. And those numbers --

11 COMMISSIONER BLOOM: I'm sorry. And then  
12 (4), I believe at the end of 19.15.17.10 A, I  
13 believe that would be A (3).

14 COMMISSIONER BALCH: Right.

15 Now, while we did spend a little bit of  
16 time debating the 100-year floodplain, you're not  
17 going to have a pit in a 100-year floodplain, so it  
18 doesn't matter if it's there or not, the definition.

19 COMMISSIONER BLOOM: True.

20 COMMISSIONER BALCH: I suppose you could  
21 be right next to a 100-year floodplain and put your  
22 dirt right over the line.

23 CHAIRPERSON BAILEY: If we scroll on down  
24 to -- okay. (4) becomes (6), to C, where we are in  
25 yellow and it says: "An operator shall not

1 implement an on-site closure."

2 Okay. Scrolling on down to (6), down  
3 below there -- yes. "Within incorporated," we had  
4 changed that language so that we did not start  
5 messing with the municipal definitions of fresh  
6 water well field. We had agreed to use the words --  
7 use "fresh water well field" and delete the words  
8 "head protection area, as defined." We are keeping  
9 "field," but deleting the underlined part in gray.

10 And that would become consistent with our  
11 language we used in A (1) (e) under Section 10.

12 COMMISSIONER BLOOM: Madam Chair, my  
13 memory is not clear of whether or not we dealt with  
14 Section C here, because it relates to closure.

15 Did we work through that?

16 CHAIRPERSON BAILEY: We really hadn't.

17 COMMISSIONER BALCH: No, we hadn't. We  
18 had stopped at that point.

19 CHAIRPERSON BAILEY: Yes. I was just  
20 looking for that consistency.

21 COMMISSIONER BLOOM: Right. That's fine.

22 CHAIRPERSON BAILEY: And we can talk about  
23 closures later on.

24 COMMISSIONER BLOOM: Okay.

25 CHAIRPERSON BAILEY: Okay. Scrolling on

1 down to Section 11.

2 First off for 10, are we all in agreement  
3 that those editorial changes that we made today were  
4 necessary and re-correcting them?

5 COMMISSIONER BLOOM: Agreed.

6 COMMISSIONER BALCH: Agreed.

7 Madam Chair, we will go through it at  
8 least one more time.

9 CHAIRPERSON BAILEY: Oh, at least.

10 Scrolling on down to Section 11 F (4),  
11 where we talk about construction for temporary pits.

12 This has to do with the design and  
13 construction specifications for temporary pits.

14 I was great in geometry, but there are a  
15 lot of people, who are not going to be great in  
16 geometry, that are going to be working with how to  
17 lay out the liner seams.

18 Even I had to read the third sentence  
19 about four times to understand what they were  
20 talking about, because there was -- seemed to be a  
21 contradiction.

22 If we put a period after "4 to 6 inches"  
23 and delete the rest of that sentence, I believe it's  
24 clear without adding so much information that it  
25 becomes confusing.

1 COMMISSIONER BLOOM: Say that one more  
2 time.

3 CHAIRPERSON BAILEY: The first sentence  
4 reads "minimize the seams and orient them up and  
5 down, not across the slope."

6 COMMISSIONER BALCH: Which is essentially  
7 the same thing repeated.

8 CHAIRPERSON BAILEY: Only the more  
9 technical words that maybe would get lost or create  
10 confusion.

11 COMMISSIONER BLOOM: That's tough, because  
12 it seems like there is going to be a slope on all  
13 four sides, correct?

14 CHAIRPERSON BAILEY: Uh-huh. So if you do  
15 it up and down...

16 COMMISSIONER BALCH: Well, regardless, you  
17 are going to have two directions in a square pit  
18 where they are not in compliance.

19 COMMISSIONER BLOOM: That was my point.

20 COMMISSIONER BALCH: Yeah.

21 CHAIRPERSON BAILEY: But parallel to the  
22 line of maximum slope. So it's going to be --

23 COMMISSIONER BLOOM: Yes.

24 CHAIRPERSON BAILEY: -- lost by a lot of  
25 folks.

1 COMMISSIONER BLOOM: Yes.

2 CHAIRPERSON BAILEY: So do you agree to  
3 delete --

4 COMMISSIONER BALCH: I think the intent is  
5 you don't want to have your seams going across the  
6 slope if you can help it.

7 CHAIRPERSON BAILEY: And the first --

8 COMMISSIONER BALCH: And it says  
9 "minimize." You are trying to minimize it. So your  
10 design would be such that you had the least number  
11 of seams that were not running up and down.

12 COMMISSIONER BLOOM: Okay.

13 CHAIRPERSON BAILEY: So let's go ahead and  
14 delete that.

15 Now, the last two sentences could be  
16 contradictory. "Qualified personnel shall perform  
17 field seaming. The operator shall weld field liner  
18 seams."

19 Sometimes operators are qualified. If we  
20 delete the last sentence, then it leaves it open to  
21 "qualified personnel shall perform field seams."

22 COMMISSIONER BALCH: It becomes an  
23 operational issue.

24 CHAIRPERSON BAILEY: Do you agree that we  
25 could delete that last sentence to prevent that

1 confusion over an operator who is not qualified?

2 COMMISSIONER BLOOM: Perhaps we should  
3 make it "qualified personnel shall weld the seams,"  
4 or "shall perform the welding of field seams"?

5 CHAIRPERSON BAILEY: Well, the second  
6 sentence says "shall use factory welded seams where  
7 possible. Prior to field seaming, the operator  
8 shall overlap 4 to 6 inches."

9 I mean, this is a step-by-step description  
10 of how to put a leakproof liner down.

11 COMMISSIONER BLOOM: I think what the  
12 second sentence is trying to say is that the field  
13 seams shall be welded --

14 COMMISSIONER BALCH: Yes.

15 COMMISSIONER BLOOM: -- versus sewn.

16 COMMISSIONER BALCH: So if you incorporate  
17 the welding into the prior sentence, then you can  
18 eliminate the second one.

19 CHAIRPERSON BAILEY: It works for me.  
20 Instead of "perform," use the word "weld"?

21 COMMISSIONER BALCH: "Shall weld field  
22 liner seams," I think would be fine.

23 CHAIRPERSON BAILEY: The very last --

24 COMMISSIONER BALCH: So actually, if you  
25 just delete everything from (4) in the second-to-



1 the-last sentence through "shall," in the last  
2 sentence.

3 CHAIRPERSON BAILEY: So at least the --

4 COMMISSIONER BLOOM: Leave "shall."

5 CHAIRPERSON BAILEY: Okay. Does that  
6 work?

7 COMMISSIONER BLOOM: Shall weld field  
8 liner seams? Is it field weld? Field weld liner  
9 seams there.

10 COMMISSIONER BALCH: Well, I mean, there's  
11 factory -- factory seams and then there's field  
12 seams. Field seams are welded in the field.

13 COMMISSIONER BLOOM: Yes.

14 CHAIRPERSON BAILEY: Okay. So I agree  
15 with you. Shall field -- shall weld -- "shall field  
16 weld liner seams."

17 And that indicates seams that they put  
18 together have to be welded there in the field.

19 Good?

20 COMMISSIONER BLOOM: Could we just say  
21 that they have to field weld all the liner seams,  
22 including the ones that are factory welded?

23 CHAIRPERSON BAILEY: Okay.

24 Scrolling on down to G (3), "permanent  
25 pits." There's a reference to the environmental

1 bureau.

2           Scrolling on down in that paragraph the  
3 last sentence. Okay. The sentence that begins:  
4 "The geomembrane liner shall have a hydraulic  
5 conduct-" -- okay.

6           "The geomembrane liner shall be composed  
7 of an impervious synthetic material that is  
8 resistant to" -- if we put "ultraviolet light" in  
9 there then we can delete the last two sentences.

10           COMMISSIONER BLOOM: So that EPA SW-846  
11 method 9090A is all about ultraviolet lighting?

12           CHAIRPERSON BAILEY: I don't know. But I  
13 do know that we have told them that they have to  
14 comply with manufacturer's specs. And if it's  
15 ultraviolet light resistant it would comply with the  
16 manufacturer's specs.

17           COMMISSIONER BALCH: My concern about -- I  
18 can see where your concern might be.

19           But if you leave in that specific  
20 regulation, something else may come along and  
21 supersede that. It would be better just to allow  
22 that to be taken care of operationally. There might  
23 be an EPA SW-847 next year, and our regulation says  
24 846.

25           MR. SMITH: Let me ask you. Was there any

1 testimony about EPA SW-846?

2 CHAIRPERSON BAILEY: There was no  
3 testimony about these details.

4 MR. SMITH: I would suggest to you that  
5 you not delete a reference with -- if you don't have  
6 testimony about it and are not sure what it  
7 provides.

8 But to take care of Commissioner Balch's  
9 concern you could have it read "liner compatibility  
10 shall comply with the regulation method 9090A" --

11 No, no, no, I'm just talking now. I'm  
12 sorry.

13 -- "with EPA SW-846 method 9090A, or  
14 subsequent controlling federal regulation," or "as  
15 amended," or something there to take care of  
16 Commissioner Balch's concern.

17 CHAIRPERSON BAILEY: Okay. "Or  
18 subsequent" --

19 MR. SMITH: -- "controlling federal  
20 regulation."

21 COMMISSIONER BALCH: And we have the same  
22 language I think, basically, in the management.

23 I think we can, however, delete the  
24 second-to-the-last line, which is the ultraviolet  
25 light, and move that up to the previous sentence.

1                   CHAIRPERSON BAILEY: Okay. The  
2   next-to-the-last sentence that begins: "The liner  
3   material shall be consistent," that can be deleted  
4   because we put it up above.

5                   COMMISSIONER BALCH: Now, if you copy  
6   everything from the first -- from "ultraviolet  
7   light" down, I think we have to move that language  
8   to the section on multi-well pit management.

9                   CHAIRPERSON BAILEY: We're getting there.

10                  COMMISSIONER BALCH: Well, I was saying  
11   Theresa may want to copy that whole area, so all the  
12   way down to the end.

13                  CHAIRPERSON BAILEY: Okay. If we scroll  
14   on down to paragraph (4) just below this, there's  
15   the reference to environmental bureau in two  
16   different places in that first line.

17                  Then if we look at paragraph (5), the  
18   unnecessary detail of how to field test liner seams.  
19   If they're constrained to using factory specs, then  
20   we really don't need to tell people how they're  
21   going to test.

22                  COMMISSIONER BALCH: I believe we modified  
23   this language in the multi-well section. Didn't we  
24   have this discussion already?

25                  CHAIRPERSON BAILEY: Yes, we did.

1 COMMISSIONER BALCH: So maybe we should go  
2 back and look at that language.

3 I think that while nobody said anything in  
4 particular about the testing of seams using air  
5 pressure between 33 and 37 psi, there was broad  
6 testimony about the difficulty in interpreting and  
7 applying some of these standards.

8 MR. SMITH: I'm sorry. Would you say that  
9 again? I was looking for something.

10 COMMISSIONER BALCH: Well, we're modifying  
11 some existing language. I think we did it already  
12 for multi-well fluid management pits. Or did we  
13 just look at it?

14 MR. SMITH: There was no suggestion that  
15 this be altered?

16 CHAIRPERSON BAILEY: What?

17 MR. SMITH: Was there a suggestion that  
18 this be edited?

19 CHAIRPERSON BAILEY: No, but in the  
20 interest of streamling and making the regulation  
21 more understandable.

22 COMMISSIONER BALCH: And there was broad  
23 testimony about the rule was too specific about  
24 certain things. We're not -- about a lot of things.

25 Can we go to (4)?

1 MR. SMITH: And this is also going to make  
2 it consistent with changes that you have previously  
3 made.

4 CHAIRPERSON BAILEY: Yes.

5 COMMISSIONER BALCH: We made for the  
6 multi-well fluid management.

7 COMMISSIONER BLOOM: I mean, I guess the  
8 only problem I have with removing that language is  
9 perhaps there's other ways of testing the liner, but  
10 they're not as good as -- maybe this was put in for  
11 some reason that we don't know.

12 COMMISSIONER BALCH: Where is --

13 CHAIRPERSON BAILEY: Do you want to see  
14 what it says in multi-well?

15 COMMISSIONER BALCH: Yes.

16 CHAIRPERSON BAILEY: Okay. Let's scroll  
17 all the way down to J (6) on page 19.

18 COMMISSIONER BALCH: Basically, we came up  
19 with a new section for multi-well fluid management  
20 pits, and now we're trying to make the language  
21 consistent in the permanent fluid section.

22 CHAIRPERSON BAILEY: Because construction  
23 specs are the same as far as multi-well fluid  
24 management pits and permanent pits.

25 MR. SMITH: If -- if that's the case and

1 no testimony was given about changing this language  
2 on permanent, maybe you should incorporate that into  
3 the multi-well as opposed to doing it the other way  
4 around.

5 CHAIRPERSON BAILEY: The detail -- the  
6 unnecessary step-by-step language, the constraint,  
7 instead of finding new and better ways of doing  
8 field testing.

9 COMMISSIONER BALCH: There was -- there  
10 was ample testimony about how the existing rule did  
11 not allow, in many cases, the use of best practices.

12 And there was an emphasis in testimony  
13 from both NMOGA and IPANM that best practices should  
14 dominate decisions that are made.

15 MR. SMITH: But no requests were made to  
16 change this?

17 COMMISSIONER BALCH: They requested that  
18 we add multi-well fluid management pits.

19 MR. SMITH: Right. But no --

20 COMMISSIONER BALCH: They requested we add  
21 them as temporary pits.

22 MR. SMITH: But no requests were made to  
23 change this section of the permanent pits, right?

24 CHAIRPERSON BAILEY: Not specifically.  
25 But we do want consistency between the requirements

1 for multi-well fluid management pits and  
2 construction installation requirements for permanent  
3 pits.

4 And the instructions, as given for  
5 permanent pits, are too specific and too  
6 constraining when we require them to use best  
7 management practices or to comply with  
8 manufacturer's specs.

9 COMMISSIONER BALCH: We have a  
10 specification of this -- if you bubble it, you check  
11 the pressure of the bubble inside the -- between the  
12 two field wells.

13 And if somebody comes up with a new and  
14 better liner that has a different way of testing it,  
15 that test no longer applies. You can't pass that  
16 test ever.

17 This allows use of a newer better  
18 management practice.

19 There was testimony that the existing  
20 rule, the way the language is written, broadly  
21 disallows best management practices. It specifies  
22 exact practices.

23 And they did cite a number of places where  
24 those things were repaired directly.

25 And I think what Commissioner Bailey is



1 saying, that to be consistent, it would be helpful  
2 if we also repair some of the broad but not  
3 specifically pointed out features that would cause  
4 conflict between sections of the new rule.

5 MR. SMITH: Well, it doesn't really  
6 conflict, right? It's just because one applies to  
7 multi-well, the other applies to permanent, correct?

8 CHAIRPERSON BAILEY: Yes.

9 MR. SMITH: I would not recommend changing  
10 this if there hadn't been language changes  
11 suggested.

12 I mean, it's one thing for you to make  
13 changes that logically flow from changes that have  
14 been requested.

15 It's another thing to change a section  
16 where no request was made and that don't flow from  
17 changes you have made previously.

18 Now, I -- I understand the notion that --  
19 or the argument that this is a logical extension of  
20 changes that you made with respect to the multi-well  
21 fluid management pits, but they are two different  
22 kinds of pits. And you determined earlier that you  
23 wanted the multi-well pits to be similar to the  
24 permanent pits because of your view that risks to  
25 the environment were -- needed particular treatment

1 for those two kinds of pits.

2 But I don't know that changing the  
3 language in this paragraph logically flows from that  
4 decision.

5 While I understand your desire to make  
6 this consistent with what you've done with  
7 multi-well fluid management pits, I don't know that  
8 I would say it logically flows from that. And if no  
9 one has requested it, I would recommend against  
10 changing this even though I understand why you want  
11 to.

12 COMMISSIONER BALCH: I'd say we leave that  
13 section alone.

14 CHAIRPERSON BAILEY: Let's leave it alone.  
15 We can go back to page 15.

16 COMMISSIONER BLOOM: On the temporary  
17 liner, if we're down there --

18 COMMISSIONER BALCH: This is multi-well.

19 COMMISSIONER BLOOM: I'm sorry,  
20 multi-well.

21 We took out the language that we thought  
22 about putting down for permanent pits and left in  
23 for permanent pits.

24 Does it require any testing of the seam  
25 here? I don't see that it does. We might want to

1 do that.

2 COMMISSIONER BALCH: "Qualified personnel  
3 shall perform field seaming and testing," there at  
4 the end.

5 COMMISSIONER BLOOM: Oh, we're adding  
6 testing? Okay.

7 COMMISSIONER BALCH: Yes. The same  
8 question came up.

9 CHAIRPERSON BAILEY: But while we are  
10 there we can make this paragraph reflect the changes  
11 that we made for deleting the rest of the sentence  
12 after the words "4 to 6 inches," in about the middle  
13 of the paragraph.

14 No, leave that. But after "inches" we had  
15 deleted the rest of that sentence because it created  
16 confusion.

17 COMMISSIONER BALCH: It was already  
18 covered by the first sentence. That's the same  
19 change we made for temporary pits.

20 CHAIRPERSON BAILEY: Right.

21 Okay. Back to page 15, paragraph (7).  
22 There is an entire paragraph there -- oh, at the end  
23 of paragraph (7) we can delete "environmental  
24 bureau."

25 That entire section has to do with a leak

1 detection system. Now for multi-well fluid  
2 management pits, I believe that we reached the  
3 agreement that the leak detection system for  
4 multi-well fluid management pits would be the same  
5 as what a permanent pit has.

6 COMMISSIONER BLOOM: Did we -- or did we  
7 just say that it shall have a detection system and  
8 left it a little more general than this?

9 COMMISSIONER BALCH: I think we were  
10 allowing for best practices.

11 COMMISSIONER BLOOM: Yes.

12 COMMISSIONER BALCH: The intent is that  
13 you have something to monitor leaks and that it's  
14 effective. It's not that you do a particular thing.  
15 As long as it has two liners. I think we specified  
16 that.

17 COMMISSIONER BLOOM: Shall we scroll down  
18 and see what we have there?

19 CHAIRPERSON BAILEY: Yes. On page 20 is  
20 the language we have for the leak detection system  
21 in multi-well pits.

22 Page 20, number (8), paragraph number (8).

23 COMMISSIONER BLOOM: Yes.

24 CHAIRPERSON BAILEY: There we go.

25 Now if you compare that paragraph, it does

1 not say in the same detail as -- the permanent  
2 paragraphs talked about the need for piping designed  
3 to withstand chemical attack, structural loading  
4 stresses, and disturbances, the permeability of the  
5 material between the pipes and the laterals to  
6 ensure that the -- any leak would be conducted to a  
7 monitoring system.

8 It doesn't talk about the size of the pits  
9 necessary for the leak detection system or sealing  
10 the solid sidewall riser pipe to convey collected  
11 fluids to a collection, observation, and disposal  
12 system.

13 Let's say we take a 10-minute break and we  
14 can look at the comparison between the permanent pit  
15 specifications for a leak detection system and the  
16 multi-well fluid management pit leak detection  
17 system. And let's come back in 10 minutes.

18 (A recess was taken from 10:28 a.m. to  
19 10:46 a.m.)

20 CHAIRPERSON BAILEY: Commissioners, we  
21 have had a chance to compare the two paragraphs  
22 concerning leak detection systems.

23 Do you want to insert the leak detection  
24 system paragraph that we have currently for  
25 permanent pits and use it the same for multi-well

1 fluid management pits?

2 COMMISSIONER BALCH: We spent quite a bit  
3 of time taking the paragraph for permanent pits and  
4 turning it into this paragraph for multi-well fluid  
5 management. And as long as it captures the intent  
6 and specifies a double liner system, I'm not sure we  
7 really need to. Particularly, as you identified,  
8 there may be, additional, two specific criteria in  
9 some of the regulation that we are not addressing  
10 today.

11 CHAIRPERSON BAILEY: That is correct.  
12 Commissioner Bloom, did you agree with  
13 that?

14 COMMISSIONER BLOOM: I believe this  
15 language would be sufficient to generate a detection  
16 system that will work for the temporary -- I'm  
17 sorry -- the multi-well fluid management pit.

18 CHAIRPERSON BAILEY: Okay. We are good.  
19 Before we go too much farther down the  
20 road, Mr. Smith pointed out that the EPA reference  
21 that we had earlier referenced any subsequent  
22 federal regulations. It should actually be a  
23 publication that is being referenced.

24 MR. SMITH: The SW-846 reference.

25 COMMISSIONER BLOOM: I looked up that EPA

1 regulation, and it's the compatibility test for  
2 waste liners.

3 MR. SMITH: And it should read -- and  
4 there must be another cite to this, because this has  
5 already been changed. This -- this hasn't been  
6 changed, but we did make a change elsewhere. It  
7 should be: "Liner compatibility shall comply with  
8 blah, blah method 9090A, or subsequent relevant EPA  
9 publication."

10 CHAIRPERSON BAILEY: But we can go back to  
11 page 15, where we had our other reference having to  
12 do with permanent pits. So G (3)?

13 MR. SMITH: Yes. It should be "subsequent  
14 relevant publication."

15 CHAIRPERSON BAILEY: Okay.

16 Scrolling down to paragraph (8), there's a  
17 reference to environmental bureau.

18 In paragraph (9), that requirement that  
19 the pit shall be constructed in a way to prevent  
20 overtopping due to wave action or rainfall is not a  
21 part of the requirement for multi-well fluid waste  
22 management requirements on page 25.

23 COMMISSIONER BLOOM: Do we want to add  
24 that?

25 CHAIRPERSON BAILEY: That's what I'm

1 asking. Do you want to add a requirement that the  
2 construction is in a manner that prevents  
3 overtopping due to wave action?

4 COMMISSIONER BLOOM: Yes, I believe that  
5 would be important.

6 COMMISSIONER BALCH: Are they primarily  
7 using the 3-foot freeboard to prevent overtopping or  
8 are they putting in booms and things to segregate  
9 the water into existing smaller surface areas that  
10 are causing waste?

11 CHAIRPERSON BAILEY: I believe they are  
12 using the 3-foot freeboard. But for that -- a  
13 permanent pit is limited to 10 acre feet, and a  
14 multi-well permanent fluid management pit is not  
15 limited to 10 acre feet, and it could have a much  
16 longer length where the wave action could become  
17 significant.

18 COMMISSIONER BALCH: Right.

19 CHAIRPERSON BAILEY: So if we go to  
20 page 25, which is -- has to do with multi-well  
21 management pits.

22 COMMISSIONER BALCH: I think we should  
23 just modify (3) to reflect the same language.

24 CHAIRPERSON BAILEY: Exactly. We can copy  
25 that same sentence there and insert it there for



1 (3). Or if it's easier for you, Theresa, you can  
2 say: "The operator shall construct a multi-well  
3 fluid management pit in a manner that prevents  
4 overtopping due to wave action or rainfall, and  
5 shall" --

6 COMMISSIONER BLOOM: Are we in the  
7 operating section of this rather than the design?

8 CHAIRPERSON BAILEY: We're in Section 12.  
9 Section 12 is where we are ensuring that we have  
10 this consistent language.

11 COMMISSIONER BLOOM: We have this in  
12 Section 11, correct, "Design Construction"?

13 Now, we're in operating.

14 CHAIRPERSON BAILEY: It could go in (j).  
15 I was adding it to language that was already there.

16 COMMISSIONER BLOOM: Okay.

17 CHAIRPERSON BAILEY: But it could go in  
18 (j), if you think it's more appropriate.

19 COMMISSIONER BALCH: Well, we are talking  
20 about construction. The only thing we had here  
21 before was they must maintain at least a 3-foot  
22 freeboard.

23 CHAIRPERSON BAILEY: Uh-huh.

24 COMMISSIONER BALCH: And that's an  
25 operational constraint.

1           The construction would be where you have a  
2   design that would prevent overtopping.

3           CHAIRPERSON BAILEY: Okay. So instead of  
4   the changes that you just made we can go back to  
5   where we were and put it in on page 18, (j).

6           Those are design and construction, and it  
7   could become number (2) instead of number -- or put  
8   it at the end of (1)?

9           COMMISSIONER BLOOM: At the end of (1).

10          CHAIRPERSON BAILEY: At the end of (1) may  
11   be an appropriate place.

12          COMMISSIONER BALCH: Do we want to  
13   specifically talk about 3 feet of freeboard here,  
14   since it's specified in operational constraints?

15          CHAIRPERSON BAILEY: We don't need to  
16   because we already have it in operation.

17          COMMISSIONER BLOOM: That's right.

18          COMMISSIONER BALCH: So we can just talk  
19   about "prevents overtopping due to wave action or  
20   rainfall," and then a period there?

21          CHAIRPERSON BAILEY: Yes. Okay.

22          COMMISSIONER BLOOM: Could we delete the  
23   second sentence, everything before "prevents," just  
24   put in "and"? It would read: "The operator shall  
25   design and construct a pit to ensure the confinement

1 of liquids to prevent unauthorized releases and  
2 prevents overtopping due to wave action or  
3 rainfall."

4 COMMISSIONER BALCH: I think that's the  
5 better way to do it.

6 CHAIRPERSON BAILEY: Much better, yes.

7 COMMISSIONER BALCH: So from the  
8 "releases," take that period out and go all the way  
9 down to --

10 COMMISSIONER BLOOM: "That."

11 COMMISSIONER BALCH: -- "that," yes, and  
12 "that prevents."

13 CHAIRPERSON BAILEY: Okay. You can scroll  
14 on down past to "Below-grade tanks," in I.

15 And go to I (4) (a) on page 17.

16 And here, we do have -- we have already  
17 fixed the "or subsequent EPA publication."

18 But once again, if we insert "ultraviolet  
19 light" in that sentence before last, then we can  
20 remove the following sentence for "the liner  
21 material shall be resistant to ultraviolet light."

22 Yes, we can delete that.

23 COMMISSIONER BALCH: "Resistant to  
24 ultraviolet light, petroleum hydrocarbons, salts  
25 and..."

1 CHAIRPERSON BAILEY: Uh-huh.

2 Okay. Continuing to scroll down to J,  
3 where we were talking about multi-well fluid  
4 management pits.

5 J (4) has a reference to environmental  
6 bureau in that third line.

7 COMMISSIONER BALCH: Then you might want  
8 to put a "that" in front of the "the."

9 CHAIRPERSON BAILEY: And scrolling on down  
10 to the last line of that paragraph.

11 We once again need to have "or subsequent  
12 federal publication."

13 COMMISSIONER BALCH: And we can move the  
14 ultraviolet light line up into the previous  
15 sentence.

16 CHAIRPERSON BAILEY: Exactly.

17 COMMISSIONER BALCH: Actually, I think you  
18 can just delete these last two sentences. We can  
19 probably copy it from somewhere else in full.

20 CHAIRPERSON BAILEY: No, because the  
21 methods are different.

22 COMMISSIONER BALCH: Okay.

23 CHAIRPERSON BAILEY: So after "a" we can  
24 put in that same language "or subsequent."

25 COMMISSIONER BALCH: "Publication."

1 MR. SMITH: "Subsequent relevant  
2 publication."

3 CHAIRPERSON BAILEY: Okay. Remove the  
4 sentence that's before that and insert "ultraviolet  
5 light" in the line above, before "petroleum  
6 hydrocarbons."

7 COMMISSIONER BALCH: All right.

8 CHAIRPERSON BAILEY: Okay.

9 And scroll down to paragraph (6). And we  
10 have already fixed that one.

11 Those are all the changes I have in --  
12 well, until we start talking about closing.

13 So that's all the changes I have for  
14 Section 11 for design and construction  
15 specifications.

16 Commissioners, do you agree with all the  
17 changes we have made today?

18 COMMISSIONER BALCH: Yes.

19 COMMISSIONER BLOOM: Yes.

20 CHAIRPERSON BAILEY: Okay.

21 We can scroll down to 12, "Operational  
22 Requirements."

23 A (5), there's a comma after "pit." We  
24 don't need to have that.

25 There's a comma after "below-grade tank"

1 here that's unnecessary.

2 And then we scroll down to B (2). That  
3 paragraph has to do with freeboard and the operator  
4 maintaining freeboard and maintaining the log  
5 describing such circumstances.

6 It would be advisable to extend that last  
7 sentence to say "to make the log available to the  
8 division upon request."

9 COMMISSIONER BALCH: And to make the  
10 log -- you can just add "and to make the log  
11 available to the division upon request."

12 I think that is consistent with language  
13 we have elsewhere for logging.

14 COMMISSIONER BLOOM: I don't think we need  
15 "to" in that last line, correct?

16 "The operator shall maintain a log and  
17 make the log available."

18 CHAIRPERSON BAILEY: Okay. And here's  
19 something that we need to think about.

20 B (4), we do not want this paragraph to  
21 circumvent the surface waste management rules that  
22 are in effect.

23 By not putting a limit on the number of  
24 wells served we could, in effect, allow  
25 circumvention of that surface waste management pit

1 by having fluids, drilling mud, disposed of in a  
2 centralized pit which should not -- cannot be  
3 allowed, given that we do have a surface waste  
4 management pit rule.

5 If we look at page 26, Section 13, that is  
6 into closures, so that's -- I'm just throwing this  
7 out here as something that we need to be aware of  
8 and we need to think about when it comes to closure.

9 COMMISSIONER BALCH: So can we highlight  
10 Section (4) here in yellow?

11 CHAIRPERSON BAILEY: In yellow, yes.

12 COMMISSIONER BALCH: We want to make sure  
13 we have the wording right.

14 CHAIRPERSON BAILEY: The same language  
15 that we added in paragraph (2) above -- oh, sorry.  
16 Nevermind.

17 Going down to C, "Permanent pits." On  
18 page 25 we have some language in F (4) that allows  
19 weekly inspection of the pit.

20 We don't seem to have an inspection  
21 schedule for permanent pits.

22 COMMISSIONER BALCH: Well, nobody asked  
23 for one.

24 MR. SMITH: That's true.

25 COMMISSIONER BALCH: But would this be a

1 reasonable addition, to have -- to have the same  
2 inspection level for -- that we require for a pit  
3 that's there for a lesser duration?

4 We ran into the same thing where we have  
5 siting criteria of 100 feet for flowing watercourses  
6 and 200 for rivers, and nobody asked for that change  
7 for a playa lake --

8 CHAIRPERSON BAILEY: Right.

9 COMMISSIONER BALCH: -- so we were not  
10 able to make that change.

11 CHAIRPERSON BAILEY: But it seems that we  
12 would be abdicating our responsibility if we said  
13 that an operator could build a permanent pit and  
14 then walk away and never have to inspect it again.

15 MR. SMITH: I think that's -- I think  
16 that's probably right.

17 COMMISSIONER BALCH: If we find a serious  
18 flaw in the existing language we can repair it.

19 CHAIRPERSON BAILEY: And I would suggest  
20 that we scroll down to F (4) and take that language  
21 and take it back up to C (3), to make it a (3).

22 COMMISSIONER BLOOM: Is there something --  
23 the end of (2) doesn't look quite right. See how  
24 it's hanging, 19.15.17 NMAC?

25 COMMISSIONER BALCH: Yeah.



1 CHAIRPERSON BAILEY: That should be  
2 deleted.

3 Now, we can decide whether or not we want  
4 to require weekly inspections or if we want monthly  
5 inspections.

6 COMMISSIONER BALCH: This is the same  
7 language we used for -- from temporary or from  
8 multi-well?

9 CHAIRPERSON BAILEY: Multi-well.

10 COMMISSIONER BLOOM: So the suggested  
11 language for the multi-well fluid management pit is  
12 coming from the EPA as weekly.

13 CHAIRPERSON BAILEY: Yes. But nobody made  
14 any comments on permanent pit inspections.

15 COMMISSIONER BALCH: I don't see how you  
16 would -- I mean, what argument would you use to have  
17 it be less than a multi-well management pit? They  
18 have the same design construction standards.

19 CHAIRPERSON BAILEY: The same design and  
20 operation standards.

21 COMMISSIONER BALCH: Yeah. So I would go  
22 with the same exact inspection criteria.

23 CHAIRPERSON BAILEY: Okay. We are all in  
24 agreement that we need to have that language?

25 COMMISSIONER BALCH: The only difference

1 is the permanent -- the difference is the -- the  
 2 use. The multi-well management fluid pit is  
 3 probably going to have operations going on around it  
 4 for almost its entire lifespan; whereas, a permanent  
 5 pit -- I don't know if it's -- maybe it is something  
 6 you would be able to walk away from for substantial  
 7 periods of time.

8           However, if you have a leak detection  
 9 system, don't you have to periodically check the  
 10 status of that --

11           CHAIRPERSON BAILEY: You sure do.

12           COMMISSIONER BALCH: -- some, or whatever?

13           CHAIRPERSON BAILEY: Sure do.

14           COMMISSIONER BALCH: Do we have a time  
 15 period on that?

16           CHAIRPERSON BAILEY: "Inspections will  
 17 include monitoring of the leak detection system," is  
 18 what it says up there, "and maintain a log which is  
 19 available for the division."

20           COMMISSIONER BALCH: I think weekly would  
 21 be reasonable for that.

22           CHAIRPERSON BAILEY: All right.

23           COMMISSIONER BLOOM: I would agree.

24           CHAIRPERSON BAILEY: And that's all I have  
 25 for Section 12.

1           Commissioners, do you approve the  
2   changes -- the editorial changes and the other  
3   changes we have made in Section 12 today?

4           COMMISSIONER BALCH:   Yes.

5           COMMISSIONER BLOOM:   Yes, I do.

6           CHAIRPERSON BAILEY:   And then we come to  
7   closure and site reclamation that we will deal with  
8   later.

9           And how soon does later come?

10          Section 16, "Permit Approvals," page 47.

11          COMMISSIONER BALCH:   So Section 14 we  
12   didn't have any changes?

13          CHAIRPERSON BAILEY:   No.

14          COMMISSIONER BALCH:   And 15.

15          And 16?

16          CHAIRPERSON BAILEY:   We are doing closure  
17   reclamations later.

18          But we are now at Section 16, "Permit  
19   Approvals."

20          Paragraph C is one that I have concerns  
21   over, when we have D and E below.

22          C requires -- talks about conditions  
23   placed on an approval, and E talks about denial.

24          Both of those issues mean that we really  
25   don't need to have paragraph C.

1           Also, if we look on page 45, having to do  
2   with exceptions, page 45, number 6, on how to deal  
3   with exceptions and requesting hearings.

4           I think paragraph C is duplicative and  
5   unnecessary and possibly contradictory.

6           So let's go back to Section 16, page 47,  
7   and see about deleting paragraph C.

8           In addition, I don't think we need to have  
9   certified mail for every denial for every kind of  
10   permit that we have.

11           COMMISSIONER BALCH: Now in the case of a  
12   denial, that's a trigger for the appeal process,  
13   which is where the operator would then request a  
14   hearing.

15           CHAIRPERSON BAILEY: Which is handled in  
16   E, paragraph E, below, if you scroll down and see D  
17   and E, because both of those paragraphs take care of  
18   the problems that I've ever seen.

19           COMMISSIONER BALCH: They do basically say  
20   the same thing.

21           CHAIRPERSON BAILEY: Uh-huh.

22           COMMISSIONER BALCH: The only thing that  
23   is different, in effect, is one requires the  
24   certified mail return receipt requested and the  
25   other just says "in writing."

1 CHAIRPERSON BAILEY: For every single kind  
2 of denial I don't think we need to have that.

3 COMMISSIONER BALCH: Do we run afoul of  
4 the chance of someone claiming they didn't have a  
5 due process if the response is in an e-mail and they  
6 say they never got it; and, therefore, they couldn't  
7 file their appeal in a timely manner?

8 MR. SMITH: Well, you always run a chance  
9 of someone claiming a violation of due process. But  
10 I think as long as you are required to notify them  
11 in writing, I think you can probably use e-mail.

12 COMMISSIONER BALCH: We have had other  
13 cases this year, another case this year, where this  
14 question came up about notification.

15 CHAIRPERSON BAILEY: Right.

16 COMMISSIONER BALCH: And they found out  
17 after the deadline. And that had to come to the  
18 commission to get resolved rather than at the  
19 division level.

20 CHAIRPERSON BAILEY: But that was also a  
21 problem with the operator not following through on  
22 his own responsibility.

23 COMMISSIONER BALCH: I think the language  
24 in E is fine.

25 MR. SMITH: You could -- you can add a

1 section, if you want. I think that it logically  
2 flows from this notion of putting something in  
3 writing that whenever written notification is  
4 required the division or the Santa Fe office can use  
5 an e-mail or an address that is on file with them or  
6 that has been provided to them by the operator.

7 But I think it's all right as it is.

8 COMMISSIONER BALCH: That's fine. That  
9 was my question, was: Do we cause any problems, but  
10 it doesn't sound like we will.

11 CHAIRPERSON BAILEY: So let's delete  
12 paragraph C and renumber subsequent paragraphs.

13 And those are all the changes that I found  
14 with the current draft, not counting some of the  
15 areas where we have agreed to put off to a later  
16 date.

17 If we want to go back to the very  
18 beginning and look at the definition of "restore,"  
19 that is only used within the reclamation area.  
20 Maybe we should wait for that. Okay.

21 The next area to look at was -- we have  
22 9 C in yellow, and it maybe shouldn't be in yellow,  
23 on page 5.

24 COMMISSIONER BALCH: 9 C.

25 CHAIRPERSON BAILEY: Do we still need to

1 have that highlighted, or was that simply a stopping  
2 point for us at that point?

3 COMMISSIONER BLOOM: We did have some  
4 questions, but we may have resolved those.

5 COMMISSIONER BALCH: Well, I think this  
6 goes back to the restore question. The reason we  
7 put off this discussion was because we hadn't talked  
8 about reclamation. And we are talking here about --  
9 well, no, I guess that's not the same issue.

10 We put this off until we had discussed  
11 siting criteria, which we hadn't done.

12 CHAIRPERSON BAILEY: So can we remove the  
13 yellow?

14 COMMISSIONER BALCH: And we had the  
15 language "reasonable" as well.

16 There's a few reasons why we may have put  
17 off this discussion.

18 Standardized plans for construction and  
19 pit closure might be why it was put off, because we  
20 hadn't talked about closure yet.

21 Do you recall why we were putting off --  
22 delaying this? I think it may have had to do with  
23 closure.

24 COMMISSIONER BLOOM: I think that looks  
25 like what we've agreed to.

1 COMMISSIONER BALCH: Well, I mean, we  
2 agreed to.

3 COMMISSIONER BLOOM: Yeah.

4 COMMISSIONER BALCH: I mean, we  
5 highlighted it for some reason.

6 COMMISSIONER BLOOM: We can just take it  
7 off.

8 CHAIRPERSON BAILEY: Okay. Well, it  
9 appears as though everything is being hung up until  
10 we reach decisions on closure. So we could go to --

11 COMMISSIONER BLOOM: Page 26.

12 COMMISSIONER BALCH: -- Attachment A.

13 CHAIRPERSON BAILEY: Okay. We inserted  
14 that language from that other section.

15 COMMISSIONER BALCH: I think this is where  
16 we stopped on Thursday.

17 CHAIRPERSON BAILEY: Uh-huh. A lot of the  
18 decision-making here hinges on acceptance or changes  
19 of Table I and Table II, because Table I is  
20 referenced in 13 A. Table II is referenced in 13 B.  
21 And there's Table I also.

22 So it may be helpful just to have some  
23 decision-making on Tables I and II before we ever  
24 begin those sections.

25 COMMISSIONER BALCH: I can't remember the



1 exact number of constituents that were being tracked  
2 under the existing 17, but it was some very large  
3 number like 3,102 individual components.

4 COMMISSIONER BLOOM: Under the current, I  
5 think the regulations for closure and site  
6 reclamations just look at benzene, BTEX, chlorides,  
7 and TPH.

8 COMMISSIONER BALCH: That's proposal --  
9 that's the proposal.

10 COMMISSIONER BLOOM: And I believe even  
11 the -- a lot of the current language.

12 CHAIRPERSON BAILEY: Throughout 13 B, in  
13 subsequent sections, there are constant references  
14 to sampling for benzene, total BTEX, TPH, GRO, DRO,  
15 and chlorides.

16 COMMISSIONER BALCH: And the proposal  
17 before us is to reduce that to benzene, TPH, and  
18 chlorides.

19 CHAIRPERSON BAILEY: Exactly.

20 COMMISSIONER BLOOM: It's the same as --  
21 BTEX is in there as well.

22 COMMISSIONER BALCH: That is in the table.

23 CHAIRPERSON BAILEY: Uh-huh.

24 COMMISSIONER BLOOM: It might be -- one  
25 thing we might think about doing here is, based on

1     proponents, frustration with trying to read through  
2     the existing language and moving towards the table,  
3     I think we might want to stick with the table no  
4     matter what we do.

5                   CHAIRPERSON BAILEY:  It really --

6                   COMMISSIONER BLOOM:  It certainly cleans  
7     it up, and there's a lot less repeated language, so  
8     we could probably take a couple pages out of the  
9     rule.

10                  And as far as I could tell, the current  
11     rule sets as two categories, and it's when --  
12     groundwater between 50 and 100 feet, and then  
13     groundwater at the depth exceeding 100 feet.

14                  And I don't know if you want to -- there's  
15     no room to really indicate here.  But benzene in  
16     both existing scenarios is 0.2 milligrams per  
17     kilogram.  BTEX actually remains the same, I think  
18     in both the current rule and the proposed rule,  
19     which is 50 milligrams per kilogram.

20                  TPH is 2,500 milligrams if groundwater  
21     currently is between 50 and 100 feet.  It goes above  
22     that.

23                  I'm sorry.  It's the same, 2,500, the same  
24     for GRO and DRO, at 500 milligrams per kilogram.

25                  And chlorides at 50 to 100 are 500

1 milligrams and then go up to 1,000 milligrams per  
2 kilogram in areas where groundwater is in depths  
3 greater than 100 feet.

4 CHAIRPERSON BAILEY: And I think we need  
5 to make a distinction and understand the different  
6 purposes of Table I and Table II.

7 The way I have interpreted it is that  
8 Table I sets limits to determine whether or not  
9 there has been a leak or a large enough leak under a  
10 liner to determine whether or not further  
11 delineation is to be made or if the contents can  
12 simply be -- or if closure happens at that point.

13 COMMISSIONER BALCH: Basically, you are  
14 looking for the triggers for the spill rule.

15 CHAIRPERSON BAILEY: Exactly. That's the  
16 purpose of Table I.

17 Now, Table II has to do with the closure  
18 for waste in place, whether or not to allow on-site  
19 burial. So I think we need to make that distinction  
20 very clear in our minds when we start thinking about  
21 what levels we are talking about. Because my close  
22 reading for reclamation and closure requirements  
23 said that in 13 A (c), if these triggers for the  
24 spill released are not exceeded, then the operator  
25 can simply proceed to backfill with 1 foot of soil,

1     which would leave these limits within 1 foot of the  
2     surface.

3                 COMMISSIONER BLOOM:   I'm not sure -- I  
4     think I read where it said "backfill."   I don't know  
5     if it was limited to a foot.

6                 CHAIRPERSON BAILEY:   Well, it says 13 A  
7     (1) -- no, (3) (c) --

8                 COMMISSIONER BLOOM:   Yes.

9                 CHAIRPERSON BAILEY:   -- says that "the  
10    operator can proceed to backfill the pit, pad, or  
11    excavation."

12                If we look at page 40, having to do with  
13    "soil cover designs" -- number whatever this is --  
14    it's (2) (a):   "The soil cover for closures where  
15    the operator has removed the pit contents or  
16    remediated the contaminated soil shall consist of  
17    the background thickness of topsoil or 1 foot of  
18    suitable material to establish vegetation."

19                COMMISSIONER BALCH:   And the "remediated  
20    to the division's satisfaction" is quantified in  
21    Table I.

22                CHAIRPERSON BAILEY:   Uh-huh.   So I will  
23    admit, when I was looking through this for the 50th  
24    time it struck me that if we allow 20,000 milligrams  
25    per kilogram, if groundwater is less -- is greater

1     than 100 feet, to be present on soil beneath the  
2     lined pit, that we have the lined pit backfilled  
3     with whatever, and only 1 foot of soil cover.

4             COMMISSIONER BALCH: Okay. Now, this is  
5     predicated on not having triggered the spill rule.

6             CHAIRPERSON BAILEY: Right.

7             COMMISSIONER BALCH: So the spills are  
8     going to be smaller volumes, below five barrels.

9             We may have that solved, but it would  
10    be -- salt could be distributed by five barrels or  
11    less of fluid.

12            CHAIRPERSON BAILEY: The problem is, how  
13    do you know what the volume is if you're just  
14    looking at a dark spot in the dirt? You have no  
15    clue.

16            COMMISSIONER BALCH: What does the spill  
17    rule say?

18            CHAIRPERSON BAILEY: The spill rule does  
19    not talk about it.

20            COMMISSIONER BALCH: So it's up to this  
21    rule.

22            CHAIRPERSON BAILEY: It's up to this rule  
23    to determine whether or not we can look at a  
24    discolored soil and determine what volume.

25            COMMISSIONER BALCH: So we're talking

1 about sampling and whatnot?

2 CHAIRPERSON BAILEY: Right. Because you  
3 cannot determine the volume of release by looking at  
4 the color of the dirt.

5 COMMISSIONER BALCH: Well, pretty much the  
6 only way you can determine the volume of a release,  
7 if you don't have additional information, is going  
8 to be excavation --

9 CHAIRPERSON BAILEY: Right.

10 COMMISSIONER BALCH: -- and sampling.

11 CHAIRPERSON BAILEY: So all of these are  
12 factors that we need to have rolling around in our  
13 minds when we start looking at Table I and Table II  
14 and the limits that were incorporated for tests for  
15 leaks in the liners, which is Table I; and Table II,  
16 closure criteria.

17 COMMISSIONER BALCH: I think there was a  
18 lot of discussion of -- on some of the more volatile  
19 components, your TPHs and benzenes, things like that  
20 with regard to Table I, but not a lot of discussion  
21 of chlorides with regards to Table I.

22 Most of the chlorides discussion, really,  
23 and the modeling has to do with Table II.

24 CHAIRPERSON BAILEY: That's correct.

25 COMMISSIONER BALCH: There's not a lot of

1 guidance from testimony on chlorides except for  
2 indirectly, where Dr. Buchanan testified that the  
3 chlorides are unlikely to move up more than about  
4 6 inches if they're buried appropriately.

5 CHAIRPERSON BAILEY: And we have the  
6 criteria for --

7 COMMISSIONER BALCH: And the models --  
8 right.

9 And all the models that were presented  
10 were based on downward transport of chlorides.

11 So it seems to me that if you want -- we  
12 are being asked to make a distinction, perhaps  
13 without guidance, about how much chloride is safe  
14 within a foot of the surface, and that was not  
15 testified to.

16 CHAIRPERSON BAILEY: That's right.

17 COMMISSIONER BALCH: So the easiest thing  
18 to do --

19 CHAIRPERSON BAILEY: But we have plenty of  
20 testimony on chloride levels and revegetation.

21 COMMISSIONER BALCH: Yes.

22 So one approach to take is to require  
23 similar reclamation in the case of an observed  
24 chloride concentration.

25 Basically, if you want to backfill, you

1 may have to remove some soil so that you can  
2 backfill for a foot. That would then put Table I  
3 into the area where we have testimony regarding  
4 reclamation and chloride.

5 CHAIRPERSON BAILEY: So you're saying  
6 remove the soil cover design which allows 1 foot of  
7 suitable material for closure?

8 COMMISSIONER BALCH: I guess what I'm  
9 saying is, if you want to have a Table I that says  
10 below this limit you are safe to remediate or  
11 reclaim, but it's the same reclamation standard,  
12 also.

13 The reclamation standards that were  
14 testified to ought to be applied. And many times  
15 Dr. Buchanan said 4-foot uncompacted soil. And  
16 that's where all the infiltration data that was  
17 presented to us for the studies of Dr. Arthur and  
18 Mr. Mullins also was presented.

19 There -- I don't think there's any  
20 guidance for what to do if there's 20,000 or 5,000  
21 or 1,000 or 500. There's really no guidance given  
22 on any amount of chloride we are going to put,  
23 except for indirectly by Dr. Neeper, where he talked  
24 about pits that had minimal cover and salt at the  
25 surface.



1 CHAIRPERSON BAILEY: That is right.

2 COMMISSIONER BALCH: So we would have to  
3 be trying to interpret that result, which is not  
4 discussed in this context, to apply. And I think  
5 that if you want to have any chlorides left under  
6 your bank or pit, then it could be remediated or  
7 reclaimed to the standard that Dr. Buchanan  
8 testified to.

9 CHAIRPERSON BAILEY: So is it your  
10 suggestion that we should not even have the Table I  
11 and simply use Table II as our standard for  
12 parameters for backfilling the pit?

13 COMMISSIONER BALCH: I think you have two  
14 cases that would occur. If you remove a pit liner  
15 or you see some discoloration you would either have  
16 to remediate it based on the spill rule.

17 CHAIRPERSON BAILEY: No, it can't be based  
18 on the spill rule.

19 COMMISSIONER BALCH: Well, you would have  
20 to either remediate it --

21 CHAIRPERSON BAILEY: Based on this rule.

22 COMMISSIONER BALCH: So if you're  
23 remediating, you're removing all of the chlorides  
24 and material. It doesn't matter what you put on top  
25 of it, you've removed the hazard completely.

1           If you are restoring it or leaving it --  
2   essentially, you are leaving it in place. If you  
3   don't remediate it you are leaving it in place.

4           And I think that there should be one  
5   standard for the waste left in place, and that  
6   should be what was testified to and to which we have  
7   model data that applies to it as well.

8           CHAIRPERSON BAILEY: So I am interpreting  
9   correctly. Do away with Table I and use Table II?

10          COMMISSIONER BALCH: I think that that's  
11   right.

12          If we had more information on Table I,  
13   then I would be able to make another conclusion.  
14   But we were really more presented with what happens  
15   if you ever put a cover over any concentration of  
16   chloride.

17          I mean you can go to Google and look up  
18   benzene and other constituents. But that's -- I  
19   think the chlorides are getting to the surface, or  
20   chlorides getting back into the plants is where you  
21   run into an issue, as you said, 20,000 milligrams  
22   per kilogram you would put on the surface.

23          CHAIRPERSON BAILEY: Uh-huh.

24          COMMISSIONER BALCH: Now, maybe the intent  
25   is -- the question is you don't know where --

1     what -- I'm not sure how this is going to interplay  
2     with the spill rule.

3                 CHAIRPERSON BAILEY: You can't use the  
4     spill rule for discolored dirt.

5                 COMMISSIONER BALCH: Well, except in the  
6     case -- well, I'm not sure. That's what I'm saying.  
7     I'm not sure how it interrelates. But at some point  
8     in the spill rule you trigger remediation. And you  
9     go in there with bulldozers and you remove all the  
10    affected soil.

11                CHAIRPERSON BAILEY: That's also covered  
12    in Rule 17.

13                COMMISSIONER BALCH: Okay.

14                CHAIRPERSON BAILEY: And we can't cover it  
15    here because that's part of the discussion we'll  
16    have for varying.

17                COMMISSIONER BALCH: All right. Well, I  
18    think it -- it would be a mistake to have two  
19    standards, one not being testified to.

20                CHAIRPERSON BAILEY: Commissioner Bloom,  
21    do you have any comments on this?

22                COMMISSIONER BLOOM: I definitely  
23    understand what you are talking about there, and I  
24    share your concerns.

25                Can we go back to soil cover designs?

1 Just scroll down. Okay.

2 My understanding was that there was going  
3 to be a backfilling of the dirt that was removed  
4 when the pit was excavated, correct?

5 COMMISSIONER BALCH: This would be similar  
6 to if you are closing a pad.

7 COMMISSIONER BLOOM: All right. So  
8 then -- okay.

9 COMMISSIONER BALCH: Basically --

10 COMMISSIONER BLOOM: So when you get a pad  
11 and you don't have anything removed you could have,  
12 I guess --

13 COMMISSIONER BALCH: The only thing,  
14 normally, you --

15 COMMISSIONER BLOOM: -- 5,000 milligrams  
16 per kilogram.

17 COMMISSIONER BALCH: -- are going to be  
18 trucking in gravel or --

19 CHAIRPERSON BAILEY: Caliche?

20 COMMISSIONER BALCH: -- caliche or  
21 something like that, you know, when you build a pad  
22 or when you're done with the pad you shovel it all  
23 up and move it, presumably, to the next place you're  
24 going to put a pad.

25 CHAIRPERSON BAILEY: Or the closest

1 existing drying pad.

2 COMMISSIONER BLOOM: And so that is  
3 currently how that would be mitigated or -- or  
4 closed or restored, is that 1 foot of cover be  
5 brought in and put into it?

6 COMMISSIONER BALCH: Or suitable material  
7 to establish vegetation at the site, which I think  
8 is a nice disclaimer, "background thickness of the  
9 topsoil or 1 foot."

10 CHAIRPERSON BAILEY: "Background thickness  
11 of topsoil or 1 foot."

12 Of course background might be zero to --

13 CHAIRPERSON BAILEY: 2 inches, which is  
14 why we have whichever is greater.

15 COMMISSIONER BALCH: Yeah. So  
16 essentially, I think (a) is for the case of where  
17 you do not have to do any remediation.

18 The proposal, I think the way Commissioner  
19 Bailey presented it, was that Table I would have  
20 limits for meeting the standard of either -- is it  
21 (1) or (a)? It's (2) (a).

22 CHAIRPERSON BAILEY: It's hard to tell.

23 COMMISSIONER BALCH: It's either (2) (a)  
24 or (H) (1).

25 And I'll just reiterate that I think if

1 you're going to have on-site disposal, then you have  
2 to treat it all the same.

3 And if it -- to get that 4-foot means you  
4 have to excavate 4 feet, then I guess you're going  
5 to limit some of the hazards.

6 CHAIRPERSON BAILEY: If we look at 13 A  
7 (1) -- no, (3) (b), I think this is the first  
8 reference to Table I that we have under this.

9 COMMISSIONER BLOOM: Where it says: "If  
10 the results exceed any of the parameters listed in  
11 Table I"?

12 CHAIRPERSON BAILEY: Uh-huh. "The  
13 division may require additional delineation" for  
14 limits above what is listed in Table I.

15 (c), the following paragraph, also  
16 references Table I. And it's clear that "the  
17 operator can proceed to backfill the pit, pad, or  
18 excavation associated with the below-grade tank."

19 And in that case --

20 COMMISSIONER BLOOM: Yes, I guess --

21 CHAIRPERSON BAILEY: -- the distance to  
22 20,000 milligrams per kilogram of chloride could be  
23 a foot or 2 feet or 3 feet.

24 COMMISSIONER BALCH: You know, I think the  
25 intent was not to try and leave substantial waste,

1 but I think we have to be careful that the way it's  
2 written does not allow that.

3 CHAIRPERSON BAILEY: That's right. That's  
4 my concern.

5 COMMISSIONER BALCH: And if you will look  
6 at table -- Table I and II for greater than 50 to  
7 100 feet, for example, on chloride, Table I would  
8 allow below -- would allow within a foot 10,000;  
9 whereas, if you were burying it under 4 feet of  
10 cover you would only have 5,000.

11 CHAIRPERSON BAILEY: Uh-huh.

12 COMMISSIONER BALCH: So you have a  
13 different remediation standard.

14 CHAIRPERSON BAILEY: Uh-huh.

15 COMMISSIONER BALCH: You know, we have  
16 gone through other portions of this rule and --  
17 where we have a complex thing, where you are  
18 completely essentially replacing four or five pages  
19 of the original rule with new text and a couple of  
20 tables and determine not the same thing.

21 But we have determined, in the past  
22 deliberations on this issue, that when we get a  
23 section like that, that sometimes it's helpful to  
24 have the broad philosophical discussion first,  
25 determine what we believe the intent of the rule is,

1 and if the intent is administratively feasible and  
2 also protective for fresh water --

3 CHAIRPERSON BAILEY: For public health and  
4 the environment.

5 COMMISSIONER BALCH: -- public health and  
6 the environment.

7 And then, after we've come up with those  
8 determinations, to then look at the text. So that  
9 may be the thing we need to do, is approach it  
10 instead of line-wise, we should approach it by what  
11 we think we should be doing.

12 And we've started that discussion already.

13 CHAIRPERSON BAILEY: Yes, we did.

14 COMMISSIONER BALCH: I just didn't want  
15 you to think we were spending too much time on a  
16 side issue. And I don't think it's really a side  
17 issue.

18 CHAIRPERSON BAILEY: No. Because it is  
19 one of the more critical decisions that this  
20 commission needs to make, one that can have the  
21 greatest impact on industry and on the environment  
22 and fresh water from the public health.

23 COMMISSIONER BALCH: And largely, it's the  
24 largest change that was proposed to Rule 17.

25 CHAIRPERSON BAILEY: Yes, probably so.



1           So maybe if we do have this discussion  
2   right after lunch. It's a quarter to 12:00. If we  
3   break now for lunch then we'll be able to think  
4   clearly or else go to sleep at 1:00.

5           COMMISSIONER BALCH: Do you need a little  
6   more time to consider things?

7           COMMISSIONER BLOOM: Sure.

8           COMMISSIONER BALCH: All right.

9           CHAIRPERSON BAILEY: And that will give us  
10   a chance to really focus on the questions before us  
11   and how we deal with them.

12          COMMISSIONER BALCH: And on reflection, I  
13   mean, there is some testimony about -- about this --  
14   different limits for surface things. And there were  
15   some rather colorful examples of people using this  
16   site as a restroom, for example.

17          CHAIRPERSON BAILEY: Well, why don't we  
18   reconvene at 1:00.

19          (A recess was taken from 11:43 a.m. to  
20   1:00 p.m.)

21          CHAIRPERSON BAILEY: We will go back on  
22   the record.

23          We were about to begin the high-level  
24   discussion on closures, reclamation, Tables I and II  
25   requirements, things of that nature.

1 Commissioner Balch, you seem to have  
2 some -- you were the one who suggested it, so you  
3 get to go first.

4 COMMISSIONER BALCH: Well, I would like to  
5 go back to the intent of what is being proposed.

6 And I think the main -- let me summarize  
7 it very briefly -- would be the existing Rule 17  
8 technically allows pits -- I think it technically  
9 allows burial on the site. But in practice, because  
10 of the way the regulation is written, you cannot  
11 effectively do either of those well.

12 So the proponents were asking for what  
13 they characterized as common sense changes to the  
14 regulation that would make it practicable for them  
15 to use those facts and minimum practices.

16 So the way that -- well, I would like to  
17 stop there.

18 The first question, I guess, is the  
19 apparent -- I don't know if it was intentional.  
20 Maybe you can address this. But was it intentional,  
21 essentially, to disallow, or was it an effect of the  
22 way the regulation was written.

23 CHAIRPERSON BAILEY: I was in opposition  
24 to a great deal of the way the rule was promulgated,  
25 so I can't give you an unbiased opinion.

1 COMMISSIONER BALCH: Okay. Well, I guess  
2 it comes down to, really, our intent, because the  
3 matter is before us.

4 CHAIRPERSON BAILEY: Yes.

5 COMMISSIONER BALCH: Do we intend to allow  
6 producers to dispose on site, essentially, would be  
7 the bottom-line question.

8 CHAIRPERSON BAILEY: If we do, under what  
9 circumstances can it be allowed?

10 COMMISSIONER BALCH: Right.

11 COMMISSIONER BLOOM: And I would agree  
12 that the current rule allows for on-site burial.  
13 How much is used for that, I guess I don't have a  
14 great understanding.

15 But one of the things we are charged with  
16 is if we allow it to happen, to make sure we're  
17 doing so in a way that doesn't hurt fresh water,  
18 public health, and the environment.

19 COMMISSIONER BALCH: So I think, in  
20 effect, one of the reasons they are asking for those  
21 changes is that they're not able to do it, even  
22 though it's technically allowed by the rule.

23 CHAIRPERSON BAILEY: That has been  
24 testified to, yes.

25 COMMISSIONER BALCH: Yes. So that's the

1 question before us, right?

2 I think that there was enough testimony  
3 that it can be safely done in certain circumstances.

4 CHAIRPERSON BAILEY: I will agree with  
5 you. I think that we need to be very cognizant of  
6 the conditions that were put on as far as  
7 reclamation and closure are concerned, because  
8 closure is -- goes hand-in-glove with the  
9 reclamation, as was pointed out by Dr. Buchanan, by  
10 Dr. Neeper --

11 COMMISSIONER BALCH: Mr. Arthur.

12 CHAIRPERSON BAILEY: -- and Mr. Arthur --

13 COMMISSIONER BALCH: And others.

14 CHAIRPERSON BAILEY: -- Mr. Mullins, that  
15 there are extenuating circumstances that are  
16 required in order to have that safe burial under  
17 certain circumstances, depending on the depth to  
18 water; depending on the soil cover; depending on the  
19 revegetation; depending on the chloride content.

20 I think that we need to take all of those  
21 factors into account.

22 COMMISSIONER BALCH: And transport.

23 CHAIRPERSON BAILEY: And transport, yes.

24 COMMISSIONER BALCH: And then the other --  
25 the other thing I would like to say, as kind of a

1 backdrop to this discussion -- and we've -- we have  
2 addressed some of these things in earlier  
3 deliberations in this matter.

4 I think that a lot of the testimony that  
5 was presented against on-site closure at various  
6 chloride levels and depths is based upon designing  
7 scenarios which are worst case. All right?

8 So there's a couple of different ways to  
9 look at risk. One is to completely prevent the  
10 risk, then you imagine the worst-case scenario and  
11 you try prevent it, right?

12 And I think that that goes into how OCD  
13 developed their models for 2007 and 2009.

14 And then the modifications that  
15 Mr. Mullins made in his model were to look at the  
16 problem as more of a -- a normal scenario, not all  
17 the way out on one end of the bell curve.

18 So do we interpret the changes in that  
19 pragmatically and apply the reasonable -- which,  
20 again, is up to each of us individually what is  
21 reasonable.

22 Does it provide a reasonable protection or  
23 do -- and that basically sums it up. Because to one  
24 a reasonable protection -- I think certainly, if you  
25 ask Dr. Neeper, a reasonable thing to do is

1 completely prevent any release at all, right?

2 But there may be other interpretations  
3 from other people. And for the three of us  
4 individually, I think we established in earlier  
5 discussion that that's where reasonable comes in, is  
6 what do we think is reasonable.

7 CHAIRPERSON BAILEY: Which is why I came  
8 up with my analogy of the closed gate. That yes,  
9 you can close the gate, you can put on a padlock, an  
10 electronic lock, electrify the fence, and add barbed  
11 wire.

12 I don't think you need to have the barbed  
13 wire, which is what I would like to see removed from  
14 implementation of a method for disposing of waste  
15 that can be done and still protective of fresh  
16 water, human health -- public health, and the  
17 environment.

18 COMMISSIONER BALCH: So would it be  
19 helpful at this time for the three of us to discuss  
20 the testimony, the physical evidence, and the  
21 modeling regarding chloride transport, kind of the  
22 differences between what was presented this time and  
23 what has been presented in previous hearings, and  
24 also the differences between Dr. Neeper's model and  
25 Mr. Mullins' model?

1 CHAIRPERSON BAILEY: We have rejected the  
2 use of the previous hearing transcripts. We cannot  
3 use them.

4 COMMISSIONER BALCH: We're not going back  
5 to the transcripts.

6 CHAIRPERSON BAILEY: No, we're not.

7 COMMISSIONER BALCH: However, there are  
8 some things that are pointed out that are different,  
9 particularly in Mr. Mullins' testimony. He used  
10 different size pulse, for example.

11 CHAIRPERSON BAILEY: Those areas where he  
12 references the previous hearings give us the  
13 transcript for this hearing. So, yes.

14 COMMISSIONER BALCH: I guess what I want  
15 to say is, a good portion of the basis of the  
16 previous criteria was the modeling that was done by  
17 OCD. That's how they determined the limits, the  
18 distances, the depths, right? Depths in particular.

19 CHAIRPERSON BAILEY: Not particularly.

20 COMMISSIONER BALCH: Well, that's what  
21 he's testified. That's what -- the testimony that  
22 we have, was that that -- it appears that those  
23 models were used.

24 CHAIRPERSON BAILEY: Yes.

25 COMMISSIONER BALCH: So Mr. Mullins took

1 those same models, made some modifications to them,  
2 perhaps made them a little more pragmatic, and  
3 perhaps removed some constraints that we thought  
4 were unreasonable, for example, the pulse size,  
5 which specifically said a 50-year pulse that was  
6 used in the original OCD model.

7           It was a very thin layer on the top of the  
8 aquifer that dealt with the concentration. And it  
9 was a 3-foot, 1 meter distance, that transports  
10 horizontally that was calculated for. Okay?

11           So under those circumstances this is where  
12 you are going back to generating your worst-case  
13 scenario. You have concentrated all of your  
14 chlorides that were transported from the waste down  
15 to the top inch or so of the aquifer.

16           And I really liked Dr. Neeper's example of  
17 diffusion. He put dye in a cup, and a few days  
18 later it had completely dispersed, right?

19           Chloride is really not going to stay in  
20 one place in the aquifer. It's going to disperse  
21 throughout the thickness of the aquifer, in  
22 everybody's aquifer. And the model's was 63 feet  
23 thick.

24           So Mr. Mullins, instead of going to  
25 63 feet, he went to 16 feet, I believe of the



1     aquifer, that would be the mixing zone. So in that  
2     respect, that's still a conservative estimate.

3             And then the pulse size, he used -- I  
4     think it was 20 years. The reason he went with 20  
5     years is because the pulse size of 50 years, which  
6     was used in the -- this is his testimony. And I  
7     have citations, if you need it -- could result in  
8     more chloride being transported out of the pit than  
9     was in the pit to begin with, which is not just  
10    worst-case scenario, but beyond worst-case scenario.

11            So Mr. Mullins testified that he made  
12    these changes to try and make the model a little  
13    better.

14            And then he also applied the Multimed  
15    model so that you could look at horizontal  
16    transport, because that's really what you are  
17    concerned with, is what is the impact on a well X  
18    distance away from the waste site?

19            And we had another discussion -- I can't  
20    remember if it was Tuesday. It might even have been  
21    Monday, the three of us, and we are talking about --  
22    and I believe Mr. Smith was involved, and there was  
23    some interpretation of -- of contamination of water  
24    up to the 250 milligrams of chloride per liter.

25            CHAIRPERSON BAILEY: Right. The water

1 quality control limits.

2 COMMISSIONER BALCH: And I believe we had  
3 guidance that it was permissible to add chlorides up  
4 to that limit.

5 CHAIRPERSON BAILEY: That is what the WQCC  
6 regulations say.

7 COMMISSIONER BALCH: And to the extent  
8 that you have some sort of a mixing zone -- I don't  
9 know if it's an inch or 63 feet -- and you have  
10 horizontal transport, any chloride that does impact  
11 that aquifer is going to be diluted by the time you  
12 get to 100 feet.

13 That is where Mr. Mullins' secondary  
14 modeling, the one that you asked for in particular,  
15 came into play.

16 Now, you're talking numbers of a thousand  
17 years or 111,000 and change for Aztec, I believe.  
18 And you're really straining any model at that point  
19 that you have 50 years of infiltration for.

20 The reason -- so I would, you know,  
21 absolutely guarantee you it's not going to be  
22 111,346 years. Nobody is going to know how long  
23 it's going to be.

24 This is where you go back to the physical  
25 evidence and why I am fairly satisfied with

1 Mr. Mullins' models.

2 The first piece of physical evidence is  
3 the existence of the salt waters. These are things  
4 that have been in place over thousands of years of  
5 varying climate in New Mexico, but still overall  
6 relatively dry. And it gives you a limitation on  
7 infiltration.

8 It gives you a natural control. None of  
9 the models have that. So in that respect, there's  
10 an additional protection that's provided naturally  
11 in New Mexico from the salt bulge.

12 Now, at what depth that salt bulge is  
13 going to occur is going to vary depending on your  
14 infiltration rate. It will be --

15 CHAIRPERSON BAILEY: And vegetation.

16 COMMISSIONER BALCH: -- deeper if you have  
17 more infiltration, shallower if you have less  
18 infiltration.

19 But I did look at the models. I got quite  
20 in depth. I will certainly try to answer any  
21 questions that either of you might have regarding  
22 what they do.

23 But I basically am trying to distill it  
24 down to the meaning. And the meaning is  
25 Dr. Neeper's models were a worst-case scenario for

1 the most part, and Mr. Mullins' were based more on a  
2 50-year history of infiltration rate in the  
3 northwest and the southeast.

4 Dr. Neeper's model was based on -- and he  
5 says this, and I'm not going to quote him exactly.  
6 But in his testimony, Dr. Neeper said there are  
7 places in New Mexico that will have this  
8 infiltration problem, right, that he used, and that  
9 the statute that we are generating does apply to all  
10 of New Mexico, not just the southeast and northwest.

11 MR. SMITH: I would like to suggest that  
12 you-all predicate the judgments that you make on  
13 this with respect to your obligation to protect  
14 groundwater as opposed to your interpretation of  
15 WQCC regs and what they allow with respect to --  
16 with respect to the groundwater.

17 So this notion that it's permissible to  
18 add to groundwater up to a particular level, please  
19 don't rely on that. Rely on your judgment about the  
20 protection of groundwater.

21 CHAIRPERSON BAILEY: We will rely on the  
22 Oil and Gas Act.

23 MR. SMITH: There you go.

24 COMMISSIONER BALCH: That would be better.

25 CHAIRPERSON BAILEY: Yes.

1                   COMMISSIONER BALCH: So I think  
2     Mr. Mullins' models show that over fairly long  
3     periods of time you would have a dilute amount of  
4     chloride that would reach a receptor some distance  
5     away from the well. He used the number 100 feet  
6     because that was the shortest offset that was  
7     required by any of the requested siting criteria.

8                   CHAIRPERSON BAILEY: And the results of  
9     his modeling showed minimal concentration of  
10    chlorides reaching groundwater at any time.

11                  COMMISSIONER BALCH: Now circling back,  
12    chlorides was testified to in particular by  
13    Dr. Thomas, and Dr. Buchanan as a marker of what  
14    other contaminants there might be.

15                  And I think somewhere -- you know, I was  
16    reading the transcripts over the weekend again. And  
17    somewhere in there there's 3,102 possible  
18    constituents that could theoretically be monitored  
19    in a pit, that Dr. Thomas and Dr. Buchanan sort of  
20    reduced those down to three or four critical  
21    components. And with chloride primarily being an  
22    excellent marker, if you see the chlorides then you  
23    could potentially see the other stuff or any other  
24    component that would be involved in a plume. So you  
25    have benzene, you have total THP -- there's one

1 other in the table -- BTEX.

2 CHAIRPERSON BAILEY: BTEX.

3 COMMISSIONER BALCH: BTEX, benzene,  
4 chloride, and TPH, which is GRO plus DRO.

5 So "marker" was what was stressed for  
6 chloride. I think Dr. Thomas was not at all  
7 concerned about chloride contamination in his  
8 testimony. He was asked a couple of times directly,  
9 and he thought it was -- I think he -- I believe he  
10 said it was not, from his point of view as a  
11 toxicologist. So he did not have a great concern,  
12 but he thought it was a great marker for what else  
13 might be in a plume.

14 So if you see a chloride plume 100 feet  
15 away, then you might have some BTEX or benzene or  
16 other hydrocarbon.

17 So with everything being considered, it's  
18 not just the chloride, it's what else could be in  
19 it.

20 So I am not a chemist. I will tell you  
21 that right now. I did look at benzene in  
22 particular, because I was curious about it. It is a  
23 known carcinogen. It's highly volatile. It will  
24 transport easily in water, as is famously exemplified  
25 by the fuel tank leaks at Kirtland, where we have a

1 plume of jet fuel which contains benzene, among  
2 other things, traveling towards a usable water  
3 supply.

4 So benzene will transport easily, so  
5 that's a saturated phase. What we are looking at  
6 here, for closure, you're looking at an unsaturated  
7 phase.

8 Also benzene, in the environment, will  
9 degrade very quickly, within a few days in the soil,  
10 where it's exposed to oxygen. So I think when you  
11 mix the pit contents, within a day or two you're not  
12 going to have any benzene because it's all been  
13 volatilized and has gone into the atmosphere as  
14 various decayed components.

15 CHAIRPERSON BAILEY: Over time it would.

16 COMMISSIONER BALCH: Over time, yes.

17 But -- but the actual benzene itself in soil, if  
18 it's not in a liquid phase, is really only going  
19 to -- the majority of it is going to degrade within  
20 a few days, from my understanding.

21 MR. SMITH: Was there testimony to that,  
22 Commissioner Balch?

23 COMMISSIONER BALCH: I would have to look  
24 deeper for that. Now on benzene levels, there was  
25 testimony, I think by Dr. Thomas.

1                   And when you go to pump gas, you're  
2   exposed to about 20 milligrams per liter of benzene  
3   from the fumes that come off of your pump. I don't  
4   know how that compares to 10 milligrams standard in  
5   the rule, but I just threw that out there.

6                   Benzene is all around us. There's plenty  
7   of things that have benzene in it at those levels.

8                   Now the EPA standard, you can have benzene  
9   in drinking water up to five parts per billion,  
10   which is a much lower level. That's what they  
11   categorize the safe drinking water, five parts per  
12   billion.

13                  CHAIRPERSON BAILEY: So there is  
14   justification for these chemicals that are used as  
15   criteria for determining protection of water and  
16   public health.

17                  COMMISSIONER BALCH: I think a lot of the  
18   testimony on TPH was that it was going to be  
19   relatively immobile in mixed soil, when you are  
20   mixing 3-to-1.

21                  Basically, most of the testimony was --  
22   from Mr. Thomas in particular was, you know, he used  
23   the analogy of a bus. If it's five blocks away and  
24   you step out in front of it you're not going to get  
25   hit. There has to be vector, a way for that



1 material to be transported. And in a nonliquid  
2 phase those vectors are limited, benzene in  
3 particular, because it's volatile and would not tend  
4 to be transported down if it was in a solid phase,  
5 and it would degrade.

6 Again I'm not a chemist, so I'm relying on  
7 the testimony that was presented to us, a little bit  
8 of reading that I've done on my own about benzene in  
9 particular, because it is a known carcinogen. I  
10 wanted to know more about it.

11 CHAIRPERSON BAILEY: And since you teach  
12 computer modeling, I would rely heavy on your  
13 analysis of Mr. Mullins' work.

14 COMMISSIONER BALCH: Well, I'm just  
15 telling you that the one model is -- is based on a  
16 typical set of scenarios.

17 The other model is based on the worst-case  
18 scenario.

19 I think -- I'm not -- now, as far as --  
20 you know, I really don't want to say that anybody's  
21 model is -- because nobody can really know.

22 The Multimed models are established.  
23 Mr. Mullins did not go -- in New Mexico  
24 particularly, he did not try to model a particular  
25 scenario, partly because he didn't have 1,100 years

1 or 111,000 years to wait to see what would happen.

2 And most models, you really don't want to  
3 extend that -- to that time frame. You like to  
4 model sort of on the order of the amount of data  
5 that you have. So you have 50 years of weather  
6 data. That gives you an infiltration rate pattern,  
7 an average pattern, and you can have pulses for  
8 large events somewhere in that phase.

9 It doesn't cover an extraordinary event.  
10 For example, in the '50s there was a large flood in  
11 the Pecos. Carlsbad had -- there was 3 feet of  
12 water down in Carlsbad for a substantial period of  
13 time. You are going to have increased infiltration  
14 at that time, but it's a point event.

15 Now to the extent that we have the salt  
16 bulge, which has been testified to as being a result  
17 of infiltration patterns over thousands of years --

18 CHAIRPERSON BAILEY: And Dr. Neeper had  
19 many exhibits.

20 COMMISSIONER BALCH: All of his exhibits  
21 had a salt bulge. Basically, every piece of real  
22 data we saw had a salt bulge. The depth of the salt  
23 bulge could vary, but every one had one.

24 So to the extent that we had the salt  
25 bulge, it's been testified to be formed over some

1 period of thousands of years, gives me some comfort  
2 that Mr. Mullins' results are not typical,  
3 considering long-term patterns of infiltration.

4 It's not to say that you couldn't end up  
5 with a scenario for a particular wet area of  
6 New Mexico where you could match Dr. Neeper's  
7 results.

8 Now from modeling, you may recall -- and I  
9 think there was maybe 20 or 30 pages of the  
10 transcript dedicated to me cross-examining  
11 Mr. Mullins on a sensitivity study of his -- of his  
12 model.

13 That was very interesting. You know, I  
14 wanted to know what went into the model. He had an  
15 understanding of how the variables interacted and  
16 whether those variables had a small or a large  
17 impact on a model.

18 Because if you think of a model as a radio  
19 with 15,000 dials on it, and if you turn one and  
20 turn another one, and if you're careful, you can get  
21 anything you want to come out of it.

22 I just wanted to make sure -- I wanted to  
23 make sure that what he was using was appropriate,  
24 was representative of values from New Mexico, and  
25 that he hadn't gone and tried for something on the

1 bottom end of the bell curve. I wanted to make sure  
2 his results were something that represented the  
3 center part of the bell curve, because that's what  
4 he was presenting, a typical scenario.

5 And under similar cross-examination of  
6 Dr. Neeper, it -- his model is more sophisticated.  
7 It's based off of a well-known simulation code  
8 that's used in other parts of science. But I don't  
9 think it, before him, had been applied to soils.

10 So I would have liked to have seen some  
11 vetting of that model, or that modeling technique,  
12 to a soil scenario.

13 But what came out in my examination of  
14 Dr. Neeper was that he set up the model, it appeared  
15 to be consistent with his physics, and I'm going to  
16 trust him on that. He's a physicist.

17 But the purpose of his modeling was to  
18 establish sensitivity on the high scale. So if you  
19 want to determine a range of possible model values  
20 you -- you have a set of minimums and you have a set  
21 of maximums. And you turn all the maximums on and  
22 all the minimums on, and in two different cases you  
23 will end with a range that covers your solutions.

24 And Neeper's study focused more towards  
25 establishing what maximum transport could be under a

1     worst-case scenario.

2                     So it comes down to how we feel -- in my  
3     opinion, for me -- I'm comfortable with distilling  
4     it down to the question of: Do you want to  
5     completely protect every possible scenario, which is  
6     I believe what Dr. Neeper proposed, or do you want  
7     to protect against the great majority of typical  
8     scenarios, which is what Mr. Mullins proposed.

9                     CHAIRPERSON BAILEY: Which is reasonable  
10    protection?

11                    COMMISSIONER BALCH: Well, it may be  
12    reasonable to me, or it may not be reasonable to  
13    somebody else.

14                    CHAIRPERSON BAILEY: But the statute does  
15    charge the commission with providing reasonable  
16    protection.

17                    COMMISSIONER BALCH: Yes.

18                    CHAIRPERSON BAILEY: And so that should be  
19    our standard. In my mind, if the statute says  
20    "reasonable protection," that doesn't mean  
21    worst-case scenario.

22                    COMMISSIONER BALCH: Did you have other  
23    questions about any of the modeling that I might try  
24    to address, Mr. Bloom?

25                    COMMISSIONER BLOOM: Concerning the

1 models, one of the things that concerned me about  
2 Mr. Mullins' modeling was that he didn't factor in  
3 any real-world data or experience. So there wasn't  
4 a situation where pit contents had been buried and  
5 we could see how far down they migrated over a  
6 period of time. We didn't have that. That was a  
7 sticking point.

8 COMMISSIONER BALCH: Both cases, both  
9 Dr. Neeper's models and Mr. Mullins', were forward  
10 models. They took an established set of parameters,  
11 you find everything, and then you try to predict  
12 what was going to happen.

13 COMMISSIONER BLOOM: And Neeper's model  
14 was a little more -- it did create an upward  
15 migration as well. He points that out in his  
16 findings of fact. I think that becomes more  
17 relevant.

18 COMMISSIONER BALCH: There was a lot of  
19 discussion, though, about whether there actually was  
20 significant upward transport. I think there was  
21 quite a bit of going back and forth between him and  
22 Dr. Buchanan.

23 COMMISSIONER BLOOM: Right. So I look at  
24 some of the real-world things that we did see and  
25 hear about throughout the hearing. And one of them

1 that comes to mind on, I guess upward migration, is  
2 some of the pit -- some of the sites that Dr. Neeper  
3 went out to visit where there was chlorides at the  
4 top of about 400 milligrams -- or kilograms, that  
5 appeared to just about sterilize the ground surface.

6 He also did some core sampling. He  
7 thought -- I think it was Marbob in that case -- and  
8 found a concentration of salts right under the  
9 liner, so that's something to talk about.

10 Then in terms of other real-world  
11 investigations that we saw between Dr. Neeper's work  
12 in the field with Marbob, some of the cases that --  
13 Ms. Martin presented a case that Mr. Boyd spoke  
14 about.

15 We tend to see a lot -- we tend to see a  
16 lot of movement down to 25, 30, 40 feet. And that  
17 may square with the -- with what we saw in both  
18 Neeper and Buchanan's work on the salt bulge. That  
19 tends to look -- we find it theoretically, we find  
20 it in the models.

21 We find it theoretically in the models and  
22 then in the real world, too. So I think that's  
23 interesting and would suggest to me that we really  
24 need to be careful in that area between 25 and  
25 50 feet.

1                   COMMISSIONER BALCH: Here's the thing. I  
2     mean, this -- some of them, when we are talking  
3     about between -- the differences between what  
4     Ms. Martin testified to and what, say, Dr. Buchanan  
5     testified to. And the modeling, in particular, it  
6     was all done assuming unsaturated state for the  
7     buried waste. So all the modeling was based on  
8     that.

9                   The examples of where you had surface  
10    impacts and chlorides at great depths were all from  
11    fluid releases, which is more of an operational  
12    constraint.

13                  At the time that those releases were  
14    made -- and I think we were looking at the various  
15    cases that were presented by Ms. Martin, in  
16    particular.

17                  And a lot of -- in a lot of those cases,  
18    you had a pit that was there and not closed for  
19    periods of two to three years, so you have a much  
20    greater chance of unobserved infiltration occurring  
21    with hydraulic head in a saturated state.

22                  And under that circumstance, I don't think  
23    anybody is going to tell you that there's not going  
24    to be migration of chlorides. There will be,  
25    because you have -- the liquid state is where almost



1 all of your transport is going to occur.

2 There was testimony to that from  
3 Dr. Buchanan, in particular. That's where he was  
4 concerned. His concerns were in the liquid state.

5 So I think a lot of the cases that we had  
6 presented to us -- and they're bad. You don't want  
7 to see that kind of an impact to the soil. You  
8 don't want to see that potential impact to fresh  
9 water. But I think they're all operational phase  
10 and would really be addressed by the spill rule at  
11 this time, which did not exist at the time they  
12 occurred.

13 So if you had a release like that you  
14 would remediate it before it became large impact,  
15 which is really why Commissioner Bailey and  
16 myself -- and I don't want to put words in your  
17 mouth -- but why I believe that we were comfortable  
18 with the shorter setbacks for low chloride fluid,  
19 was because -- at least for me -- I had bought into  
20 the concept of response time cutting the risk during  
21 the operational phase.

22 Now we have been careful when we have been  
23 designing construction standards, when we have been  
24 talking about the length of time we are going to  
25 allow a pit to have fluid in it, the monitoring

1     that's involved with having fluids in those pits  
2     weekly.

3                 So I mean you're kind of getting now to  
4     the point where if you came out there after a week  
5     and say there had been a leak the second you left,  
6     maybe you left something attached to your truck  
7     bumper or something and it pulled out the liner, I  
8     don't know. Worst-case scenario, the liner is  
9     completely compromised, you don't notice it for a  
10    week. You have 48 hours to try and remediate it.

11                You come up with nine days of -- nine days  
12    of your maximum period before you got a response.

13                And that's, I think, going to be what we  
14    have already built into the rule. The way we have  
15    written it, I think, is going to be protected in the  
16    operational phase.

17                And I think for closure we have to be  
18    careful to make sure that we are talking about the  
19    burial of solid waste in an unsaturated state,  
20    because that is really different from the bad  
21    examples, the bad practices that we do have evidence  
22    for, primarily in the operational phase.

23                I think we've patched those up. I think  
24    the spill rule addresses other concerns with that.  
25    If there's a greater spill, then you have to go out

1     there and come up with an expensive remediation  
2     plan, get an environmental company. You're probably  
3     going to have to excavate and haul off a lot of  
4     material.

5                 So I think that, you know, largely, the  
6     way the rule is forming up under the three of us is  
7     going to be protective of fresh water, public  
8     health, environment.

9                 CHAIRPERSON BAILEY: I would like to  
10    comment on your statements about the abatement plan  
11    and the cleanup of -- for the removal of  
12    contaminated soils.

13                The standards that will be used or have  
14    been used or will be used in the future are going to  
15    be based on Table II, as presented to us in  
16    testimony.

17                And I caution us that we need to be aware  
18    the use of that table, as far as any kind of -- that  
19    will give the abatement rule, the spill rule, the  
20    cleanup of contaminated soils, their bite as to how  
21    far does a company have to dig in order to delineate  
22    what the chloride content is. And once they reach  
23    that chloride limit, then they can limit their  
24    remediation of the site.

25                So when we are looking at Table II, we

1     need to be aware of the potential uses of those  
2     limits, not only for remediation of a specific site  
3     where we have a below-grade tank or a multi-well  
4     fluid management pit, but also where we have  
5     wellsite spills that have resulted in contamination  
6     of the soils at the site.

7             That's one factor.

8             COMMISSIONER BALCH:   So does that  
9     currently give guidance from the existing Rule 17?

10            CHAIRPERSON BAILEY:   Yes, it does.

11            COMMISSIONER BALCH:   Okay.   So that is a  
12    very important consideration.

13            CHAIRPERSON BAILEY:   Yes, it is.

14            COMMISSIONER BLOOM:   The -- and back to  
15    the model a minute, Mr. Mullins' model.

16            I don't know if -- one of the things I  
17    think we heard throughout the hearing was that when  
18    these pit contents were buried, those -- perhaps  
19    with the exception of benzene, was usually  
20    volatilized and it can change somewhat.   The  
21    contents are there almost permanently.

22            And that being the case, at some point we  
23    have to worry about we could have a situation -- I  
24    don't think it will be the norm, but I don't think  
25    it would be -- I think it would be prudent to

1     imagine situations where you could get some changes  
2     or climate or weather or perhaps a little bit of  
3     subsidence where the pit was buried and then you do  
4     have water stacking up there. You do have periods  
5     where you get a little bit of hydraulic head and  
6     perhaps the saturated transport. So...

7                 COMMISSIONER BALCH: I mean, those are  
8     definitely -- and you know, I think Dr. Neeper would  
9     like us to err on the side of never allowing any  
10    contamination. And that's -- that's why he spends  
11    all of his retirement coming in here and talking to  
12    us about it because he feels strongly about it, and  
13    he wants to make sure we understand that point of  
14    view.

15                You know, another comment that came up was  
16    there is a lot of unregulated exposure, particularly  
17    of heavy hydrocarbons. I think the example that was  
18    presented in testimony was an asphalt ruin built up  
19    with asphaltting, which is a pretty heavy tar, and  
20    put it in with some rock and aggregate, spread it  
21    out, flatten it. It hardens.

22                But when it rains you do get hydrocarbon  
23    material washing off of that into -- into whatever  
24    drainage is on the site. So it's -- the one way to  
25    look at it, and I suppose -- you know, I'm not

1     terribly concerned about the heavier hydrocarbons.  
2     They are going to be relatively immobile, and in the  
3     ground they are going to turn into solids. And your  
4     risk level is going to be on the order of like rain  
5     washing off an asphalt road. I was comfortable with  
6     that analogy.

7             Your more volatile hydrocarbons, your  
8     benzene and your BTEX, they are not as longlasting  
9     in the environment.

10            In a liquid form, they are incredibly able  
11     to transport in liquids to great distances very  
12     quickly.

13            But in a stabilized state, in dry -- in a  
14     dry state, they are not going to do much. And then  
15     when mixed in soils they are going to degrade  
16     relatively quickly. So -- and they are called  
17     volatile for a reason. They are not stable at  
18     normal atmospheric conditions.

19            And then the chlorides, I guess, is the  
20     other big thing, because that addresses water  
21     quality, and then it's a marker for everything else.

22            You could have transport of something from  
23     the pit besides the chlorides, but I think that most  
24     of that is going to either be stabilized as a solid  
25     or volatilized and be released upwards, unless you

1 have a worst-case scenario where you do -- fairly  
2 soon after the pit is in place or buried -- if you  
3 very soon after that end up with a situation where  
4 you have substantial hydraulic head for a long  
5 enough period to transport all that material down.

6 So it comes around -- again, I think a lot  
7 of the arguments made by NMOGA and their witnesses  
8 was, yes, there's a risk, but it's small; and,  
9 therefore, you have to weigh the impact of the  
10 regulation versus the cost.

11 And we had a great amount of discussion  
12 about what cost meant and what waste meant, and  
13 everybody has a different opinion about that.

14 Mr. Jantz would say that oil up in the  
15 ground is not wasted. It's there for some future  
16 potential use.

17 For me, my personal thought on that is a  
18 little more short-term, because I think that the  
19 revenue from oil and gas is important to the State  
20 of New Mexico. So if you, in the short term, make  
21 it unavailable, then you deny the State access to  
22 that, to those moneys that would come from  
23 exploiting those resources.

24 So for me, I'm willing to apply a  
25 reasonableness standard, if you will. I want to be

1 as protective as possible while still allowing good  
2 business decisions and practices by industry that  
3 will keep them producing the resources to the  
4 benefit of all of us.

5 MR. SMITH: Again, I would like to -- and  
6 we have had a similar discussion before. But as you  
7 know, I've told you that I think that you can take  
8 into account economic factors in determining  
9 appropriate regulations.

10 I don't know that you want to predicate  
11 what you do on a characterization of waste as being  
12 short or long term, because I don't think we have --  
13 at least law that I was able to find -- to help you  
14 out on that much.

15 COMMISSIONER BALCH: Let me be a little  
16 more clear on what --

17 MR. SMITH: Okay.

18 COMMISSIONER BALCH: -- I want to try to  
19 say.

20 My interpretation of the testimony and the  
21 evidence is based upon my understanding of the  
22 science.

23 I have to come up with a decision about  
24 what is reasonable as far as risk.

25 And part of any sort of discussion of



1 reasonable is going to be, well, what's the reward?

2 So I am not -- I'm not basing my decision  
3 on the reward. The reward is the reward. It's what  
4 happens if we -- if we write the regulation such  
5 that it allows both.

6 Maybe I'm not making myself clear at all.  
7 I'm not trying to base it off of economics or  
8 economic impact or even any definition of waste.  
9 But a benefit, I think, of some of the proposed  
10 changes to Rule 17 is going to be an environment  
11 that will encourage development, and that's good for  
12 New Mexico.

13 CHAIRPERSON BAILEY: And I looked very  
14 carefully at the criteria on which the modeling was  
15 based, particularly the distance to water, the soil  
16 cover that was required, and the revegetation that  
17 is an integral part of the process of ensuring that  
18 we do not have groundwater contamination; that  
19 unless those factors are very clearly laid out, that  
20 we run a risk.

21 But with those factors in place I see a  
22 minimal impact on groundwater at the concentrations  
23 that would have very little impact for  
24 drinking-ability of any water that may be at the  
25 depths that were discussed in the model.

1           That's why I focus so much on the  
2   concentrations of chlorides. That's why I am going  
3   to be very insistent on the revegetation statements,  
4   to ensure that we don't -- that we do have the  
5   upward transport of chlorides rather than having it  
6   all transported to groundwater.

7           So under the circumstances that were  
8   testified to by Mr. Mullins, I believe that we can  
9   allow burial in place, but we do need to be very  
10  watchful, as we have been for the rest of the rule,  
11  as far as what the limits are for determination of  
12  the chloride, BTEX, benzene, and TPH, as set forth  
13  in Table II.

14           Commissioner Bloom, do you have any  
15  additional comments?

16           COMMISSIONER BLOOM: Just a few, to speak  
17  to the modeling once more, and then some comments on  
18  the contaminant limits we are talking about in  
19  Tables I and II.

20           You know, looking at Mr. Mullins' model I  
21  do have issue with -- we haven't seen a reproduction  
22  of real-world experiences. I spoke to that a little  
23  bit ago.

24           I have issues with I think the very  
25  conservative assumptions that he makes, and that

1 he's not looking at the situations where we could  
2 have, over time, a hydraulic head on a site that has  
3 been recovered or could have saturated flow in the  
4 future.

5           Something that was raised by a few of the  
6 people that questioned Mr. Mullins throughout the  
7 hearing, and that was raised in some of the closing  
8 arguments, the findings of fact that -- you know,  
9 this is Mr. Mullins' second adventure -- or venture  
10 into -- into modeling. He did a model in 2007 and  
11 then he did this one. That concerns me.

12           And in particular, I'm concerned with  
13 the -- anything we would do to change standards that  
14 relate to depths to groundwater between 25 and  
15 50 feet, because that's where we have seen activity  
16 in some of the cases that were brought to our  
17 attention:

18           As Dr. Balch pointed out, these are apples  
19 and oranges in a sense, but they could become  
20 reality in a future situation where things were  
21 buried at 27 feet to groundwater and there was some  
22 sort of water or other liquid that arrived on the  
23 surface.

24           And then let me just talk a little bit  
25 about the contaminant levels.

1           One thing I think we need to be concerned  
2   with, and OGAP pointed this out well in Finding 70  
3   on page 12. It says: "Industry's proposed waste  
4   concentrations in Table I are so high that if a leak  
5   from a pit is detected, almost no circumstances  
6   would exist where an operator would be required to  
7   conduct further sampling for contamination where  
8   abatement would be required."

9           COMMISSIONER BALCH: That was Table I.

10          COMMISSIONER BLOOM: Yeah. So that's one  
11   issue there.

12          COMMISSIONER BALCH: Commissioner Bailey  
13   already pointed out it doesn't jibe very well with  
14   Table II, which is going to be for a much more --

15          CHAIRPERSON BAILEY: Broader use.

16          COMMISSIONER BALCH: -- broader use and  
17   much better remediated.

18          COMMISSIONER BLOOM: Yeah. Because in  
19   Table I you could see a situation where you have a  
20   chloride level under the liner of 19,900 milligrams  
21   per kilogram and no -- no further digging would take  
22   place to understand what had happened there. So  
23   it's -- that becomes worse.

24          And then I see, as commissioner --  
25   Chairman Bailey pointed out, if we were talking

1 about pit -- drying pad, for example, we might only  
2 have one foot of cover over that. So that is an  
3 issue.

4 The -- I think we are assuming that  
5 benzene and chlorides are transported at the same  
6 rate, but we didn't necessarily see -- we didn't see  
7 modeling of benzene transport.

8 COMMISSIONER BALCH: Benzene in a liquid  
9 phase would transport faster than a solid.

10 COMMISSIONER BLOOM: Benzene, as Mr Thomas  
11 pointed out --

12 COMMISSIONER BALCH: We did have testimony  
13 that benzene in an unsaturated state is relatively  
14 immobile.

15 COMMISSIONER BLOOM: Dr. Thomas talked  
16 about benzene being a bone marrow poison, and  
17 pointed out that some people see that any  
18 concentration or presence of benzene would -- could  
19 be of concern to some.

20 We didn't see a -- and I will bring this  
21 back to my conversation about waste earlier, which I  
22 won't go into at length again.

23 But we didn't see a cost benefit of what  
24 increased benzene allows industry to do versus what  
25 the possible health impacts of it could be.

1           And again, if we take the one definition  
2   of waste being no resource has been spoiled and we  
3   don't include economic cost as a part of that, I  
4   think we might have an issue there.

5           Dr. Thomas' study was relatively -- it was  
6   based on the six pits that were chosen by industry,  
7   three in the northwest and three in the southeast,  
8   which perhaps was selective or an atypical sampling.

9           I again had some concern with -- I  
10   understand that Dr. Thomas is a pathologist, but I  
11   wonder about his ascertations that benzene would  
12   never get into the water or move because there is  
13   bentonite clays present.

14           We have one case here where -- one of the  
15   cases that Ms. Martin pointed out, AP77 Pride  
16   Energy, where a pit had been put on top of a legacy  
17   site and caused flow to take place again. One could  
18   see situations where a well or some future activity  
19   happens over a site, so I think there are ways that  
20   these contaminants and toxins can move.

21           And Dr. Thomas went on to say that he  
22   could have -- he could imagine 100 milligrams or a  
23   thousand milligrams per kilogram being acceptable.  
24   And I think --

25           COMMISSIONER BALCH: I think he said a

1 thousand. I think he went up to a thousand on  
2 cross-examination.

3 COMMISSIONER BLOOM: So --

4 COMMISSIONER BALCH: He wasn't very afraid  
5 of benzene, is what I gathered, not as a -- in an  
6 unsaturated state.

7 CHAIRPERSON BAILEY: And we can require  
8 marking of the location of the pit that is buried,  
9 so that we don't have building on top.

10 COMMISSIONER BLOOM: And I think one other  
11 thing. It's tough, because we're in kind of a  
12 chicken and egg situation here. We talked about  
13 contaminants and toxins first. We talked about  
14 depths that we're allowing things to be buried  
15 first. We also have --

16 COMMISSIONER BALCH: Or we talk about  
17 transport.

18 COMMISSIONER BLOOM: Yeah, transport.  
19 We also have on-site/off-site as well.

20 COMMISSIONER BALCH: Yeah.

21 COMMISSIONER BLOOM: And there's a new  
22 door that's been opened which would allow for  
23 essentially orphaned waste, where pit contents could  
24 be buried not on the --

25 COMMISSIONER BALCH: Well, the

1 on-site/off-site issue will probably resolve itself  
2 after we determine closure.

3 I can maybe address some of the concerns  
4 that you have, because I did look at this evidence  
5 really critically. And I wanted to understand,  
6 where benzene was talked about, how would you keep  
7 hydraulic head from showing up on a newly buried  
8 site.

9 I think that -- you know, Dr. Buchanan  
10 loves reclamation. He has a very evolved idea about  
11 the best way to do it. And part of that evolution  
12 was he didn't want to pin it down to a particular  
13 method, because he pointed out over time the methods  
14 have changed. What's appropriate, or considered  
15 appropriate now, may not be considered appropriate  
16 in five years. Somebody may figure something else  
17 out that's better.

18 If a site is properly reclaimed, contoured  
19 to substantially prevent any -- and he said this  
20 directly -- you don't want to meet the original  
21 contours necessarily, you want to make contours that  
22 are going to prevent accumulation of fluids and  
23 erosion.

24 So if we are careful with reclamation  
25 standards, then I think, hopefully, that particular



1 concern of ending up with a little playa on top of a  
2 buried site would not be something that would occur,  
3 or at least be extremely rare.

4 I did cross-examine Mr. Mullins  
5 extensively, I think for about 50 pages of the  
6 transcript, because I'm very critical of people's  
7 models, because models can be abused.

8 I was comfortable that he had spent a  
9 significant amount of time understanding the model,  
10 the inputs of the model, and how they impacted the  
11 model. All you can really do, if you don't like the  
12 results of his model, is say, well, the model  
13 software itself is not good or not valid for this  
14 purpose.

15 That same model was used to come up with  
16 the previous definitions that we already have in the  
17 existing Rule 17, and it's an established model that  
18 is distributed by the Army Corps of Engineers, used  
19 by EPA and others. So I have some trust in the  
20 model, and I thought that Mr. Mullins had a very  
21 good understanding of how to use it.

22 And I don't think it was a, you know, I  
23 did it for a week in 2007, I did it for a week in  
24 2009, then I did a couple of runs for 2012. I think  
25 he spent quite a bit more time on that, and I asked

1 him directly about that.

2 The sampling by Mr. Thomas -- by  
3 Dr. Thomas. I also cross-examined him extensively  
4 about the sampling, because I'm thinking the same  
5 thing: Six sites, and we probably have 100,000  
6 legacy sites in New Mexico. We have I don't know  
7 how many active wells. I think it is on the  
8 order --

9 CHAIRPERSON BAILEY: 50,000.

10 COMMISSIONER BALCH: Okay. Well, on the  
11 order of 50,000 active wells. And those are going  
12 to, in the future, become a legacy site. So that's  
13 a pretty big concern. You've got a small number  
14 compared to a big number.

15 I did question Dr. Thomas extensively  
16 about that. The sampling was not just one point per  
17 site, it was multiple points per site.

18 The OCD sampling -- he also looked at OCD  
19 sampling which was composite. So they would take  
20 five points and then average it. And those analyses  
21 were consistent with what he found for point  
22 sampling. So he went out there and he did -- he did  
23 point sampling at each site on the order of around  
24 10 points, 15 points per site, with a total of  
25 around 70 to 100 data points. So the number of

1 samples compared to the number of pit locations is  
2 not quite as bad as it sounds.

3 And I asked him about, you know, is that  
4 amount of data enough to give you an idea of the  
5 spread in the data, because that's the other  
6 important thing. You can have a set of sampling,  
7 and if it doesn't cover all of your expected  
8 potential outcomes, then could you have only covered  
9 a portion of the range, and the other portion is not  
10 available for that dataset. So it would be a  
11 mistake to think that this is the whole dataset.

12 He thought that it was representative and  
13 that, of course, is his opinion.

14 But he did seem, in my mind, to have a  
15 good scientific understanding of sampling. The  
16 samples were well handled. They were transported to  
17 the labs in sealed vials, et cetera, and so on. And  
18 all of this is in the testimony. So there was  
19 little chance for any contamination or degradation  
20 of the samples.

21 Benzene. In particular Dr. Thomas, he  
22 liked talking about benzene. So I -- I guess I  
23 don't think that -- I'm going to characterize it --  
24 there was a little -- very little discussion about  
25 it. And he has it on page 457, line 21, through

1 page 458, line 12. He talked about benzene there.

2 Another benzene discussion on page 63,  
3 lines 10 to 18.

4 He talked about benzene in risk of  
5 transportability on page 465, lines 6 to 22.

6 Pathways. One thing we haven't talked  
7 about yet here in any of the modeling is the  
8 bentonite clay thing. And that was brought up by  
9 Dr. Thomas and also by Dr. Buchanan.

10 It wasn't really addressed. It was not a  
11 component in any of the models, but does provide  
12 another way, not only to give you a barrier to flow  
13 vertically, but it also tends to bind up some of  
14 these free anions and make them stable.

15 Anyway, on the benzene, he talked about  
16 drinking water risk on page 468, line 17, to -- I  
17 think it's 470 -- it must be 467, line 2, and again  
18 on page 470, line 13, to page 470, line 9, page 471,  
19 line 9.

20 He talks specifically about general  
21 categories of hydrocarbons around page 472, line 7  
22 to 21.

23 He specifically stated he was not  
24 concerned with benzene levels. And I think  
25 famously, he said under a thousand and so on.

1                   Page -- that's in the transcript around  
2   page 481, lines 6 to 19 or so.

3                   If you are interested about a sample  
4   description, I cross-examined him. That was on  
5   page 499 to 501 or so. I asked him a good number of  
6   questions about his sampling.

7                   And did he give -- on page 509, lines 13  
8   through 19, that's where he's talking about you will  
9   get a 20 ppm exposure from gassing your car, and  
10   people do that sometimes once every couple of days.

11                  And there -- benzenes are in any kind of  
12   solid you can imagine. There's already a good  
13   amount of environmental exposure.

14                  So I think that the benzene was discussed.  
15   He was largely unconcerned with it in an unsaturated  
16   state. And since they are volatile, I think  
17   long-term, your risk from benzene is that it does  
18   volatilize and go up into the atmosphere above the  
19   site. That will be largely within the first several  
20   days while they are in closure and mixing. It's the  
21   way I personally interpret that to be, because  
22   benzene is not stable in soils.

23                  Plants. Benzene is not toxic to plants,  
24   so it's not going to impact any vegetation.

25                  While the impact of benzene in your pit

1 will be for a few days you have volatilized for some  
2 period of time, although relatively short, compared  
3 to the life of chlorides and things like that in the  
4 waste. It's going to be volatilized and released to  
5 the atmosphere as fractional components.

6 Other than all of that testimony that I  
7 just mentioned -- like I said, I'm not a chemist.  
8 Benzene is scary. If you have a liquid phase I  
9 would be very concerned about it. Like I said, that  
10 transport could be much faster than a chloride.

11 But I think in the context of on-site  
12 burial with mixing, which is going to take some  
13 time, plus any benzene that's in the pit is already  
14 going to have been sitting there after it was  
15 drained and while it is drying.

16 I think you may run into a case where you  
17 couldn't find very much benzene when you sample if  
18 you wait an extra day or two. So you could go out  
19 there and find 10 on day two and 5 on day four. I  
20 don't know.

21 That's my interpretation of the  
22 short-lived nature of benzene in soil, a few days.

23 CHAIRPERSON BAILEY: But we did not have  
24 any testimony.

25 COMMISSIONER BALCH: We did not. We did

1 not have testimony about the life of benzene in  
2 soil; just that in an unsaturated state it was not a  
3 risk to groundwater.

4 CHAIRPERSON BAILEY: Okay.

5 COMMISSIONER BALCH: Or a drinking water  
6 risk. And I think I did point out the five parts  
7 per million drinking water standard for benzene.  
8 That's what EPA will allow.

9 COMMISSIONER BLOOM: Correct, the Safe  
10 Drinking Water Act.

11 COMMISSIONER BALCH: Yeah.

12 CHAIRPERSON BAILEY: So are we ready to  
13 talk about Tables I and II?

14 COMMISSIONER BLOOM: We can do that.

15 CHAIRPERSON BAILEY: Because those form  
16 one of the foundation determinations for  
17 deliberations that come -- that ensue.

18 We've had some discussion on Table I  
19 before we broke for lunch. The proposal was made  
20 that we do not accept Table I because of the  
21 problems that were seen as far as remediation of  
22 contamination; the requirement for revegetation,  
23 which could not possibly survive if the chloride  
24 content a foot down is 20,000 milligrams per  
25 kilogram.

1           So if -- I've been looking through the  
2     proposal. If we reference Table II instead of  
3     Table I, we may want to consider that in our  
4     deliberations. Because if we go to Section 13 on  
5     page 26, we can go to "Closure Requirements and Site  
6     Reclamation Requirements."

7           A begins with: "Closure where wastes are  
8     destined for disposal at division-approved off-site  
9     facilities," where waste would be dug up and hauled  
10    away, both fluids and solids.

11          So this section would apply to permanent  
12    pits, temporary pits, multi-well fluid management  
13    pits, drying pads, and tanks, our universe of  
14    reclamation areas, facilities, and tanks associated  
15    with closed-loop systems and below-grade tanks.

16          So that -- what is included in A has to do  
17    with all types of closure at the facilities that we  
18    regulate.

19          I suggest that we start looking at --  
20    paragraph by paragraph and resolve any questions or  
21    decisions to make as we go through.

22          Let's look at paragraph (1), where "the  
23    operator of any pit, drying pad, and tanks and  
24    below-grade tanks shall not commence closure without  
25    first obtaining approval of the closure plan



1 submitted in the permit application."

2 And here, we go back to what the contents  
3 of the permit application will require, as far as  
4 whether the OCD can approve it with -- with the  
5 wastes that are going to be picked up and hauled  
6 away, which is discussed in paragraph (2) for --  
7 closing the pit means removing all contents  
8 including the liners and taking them to a  
9 division-approved facility.

10 Paragraph (3), I would suggest that we  
11 include: "The operator of a permanent or multi-well  
12 fluid management pit is not required to sample under  
13 the liner if no leaks are detected in the system  
14 during the use of the pit."

15 I think that's the first really  
16 controversial area to make a decision.

17 COMMISSIONER BALCH: Well, this is  
18 another -- another case where you are being very  
19 specific in the first sentence and then you're  
20 throwing a whole basket of things into the second  
21 sentence.

22 I think, unless it reads only in regard  
23 to -- you could read it -- (3) as being only in  
24 regard to multi-well fluid management pits, but then  
25 later on in the same paragraph you're talking about

1 pits or below-grade tanks. So to me, it's a little  
2 confusing about -- what are we talking about here?  
3 Are we talking about multi-well fluid management  
4 pits or are we talking about everything?

5 CHAIRPERSON BAILEY: Well, we're not  
6 talking temporary pits, because the temporary pit  
7 doesn't have a leak detection system.

8 COMMISSIONER BALCH: Neither does a --  
9 necessarily -- a below-grade tank, right?

10 CHAIRPERSON BAILEY: A double-walled  
11 below-grade tank has a leak detection system.

12 COMMISSIONER BALCH: Okay.

13 CHAIRPERSON BAILEY: And that's the only  
14 kind that's being approved now -- or as long as it  
15 shows integrity. The single-wall systems, when they  
16 don't show integrity any longer, have to be removed.  
17 We talked about removing them from service and all  
18 of that.

19 COMMISSIONER BALCH: Right.

20 CHAIRPERSON BAILEY: So actually,  
21 permanent pit or multi-well fluid management pits  
22 are the only circumstances where we would have a  
23 liner system for a leak detection system.

24 COMMISSIONER BALCH: So perhaps we should  
25 separate those two. We should probably deal with

1     them separately in the regulation.

2                   CHAIRPERSON BAILEY:   Or we could combine  
3     them and have them separate from the other  
4     circumstances.

5                   COMMISSIONER BALCH:   Right.   Combine those  
6     two, and then have the other circumstances, which  
7     are going to be -- the other circumstances are going  
8     to be temporary pits, and then the other  
9     circumstance besides that is going to be a  
10    below-grade tank.

11                  CHAIRPERSON BAILEY:   So we could replace  
12    the phrase "in all other circumstances" with the  
13    other applications.   "The operator of temporary  
14    pits, drying pads, and tanks associated with  
15    closed-loop systems and below-grade tanks shall test  
16    the soils beneath the pit and below-grade tank as  
17    follows."

18                  COMMISSIONER BALCH:   I think if you  
19    separate the context, then points (a), (b), (c), and  
20    whatever are going to make more sense.

21                  CHAIRPERSON BAILEY:   Okay.

22                  COMMISSIONER BLOOM:   I think we are doing  
23    two things.   One is, I think with the clarity of how  
24    the rule is written, and the other is should a  
25    sample be taken of the ground underneath a permanent

1 or multi-well fluid management pit when there was no  
2 alarm from a leak detection system during the use of  
3 the pit.

4 I think we had a little testimony on this.  
5 The cost of the test, I believe, was estimated to  
6 be, by Mr. Gantner, of \$300 to \$500.

7 I -- one situation that concerned me is  
8 that the leak detection system never detected a leak  
9 during operation, but during the removal of the  
10 liners you could have solids, you can see the  
11 liquids being run off, and you're going to have muck  
12 down at the bottom when pooling this stuff up, and  
13 you could actually have a mess that's left on the  
14 ground after you have picked everything up the best  
15 you can.

16 So we might want to require a test at that  
17 point.

18 COMMISSIONER BALCH: Perhaps if I had a  
19 better understanding. In my mind, the five-point  
20 composite sample is you go out there and you take  
21 five samples and you mix them together and send them  
22 to a lab and then they check for some contaminants.

23 COMMISSIONER BLOOM: Correct.

24 COMMISSIONER BALCH: The proposal is that  
25 the components we are going to be looking for are

1 going to be BTEX, benzene, chlorides, and TPH.

2 Of those, probably the only thing you are  
3 going to have is a multi-well fluid management pit  
4 or a permanent -- now, a permanent may be a little  
5 different.

6 But in the multi-well fluid we are talking  
7 about completion fluids, so chlorides. And we have  
8 already discussed that there shouldn't be any  
9 backflow -- significant backflow of hydrocarbons,  
10 et cetera. So you're back to chlorides. That's one  
11 of the things that is in the table, if you look at  
12 it.

13 What is your feeling on the effectiveness  
14 of the five-point sample? Because here's the thing.  
15 If you have a multi-well fluid management pit that's  
16 the size of this building -- probably bigger. It  
17 could be 20 acres, 30 acres -- and you take five  
18 samples, who's taking the samples? It may be a  
19 company that's hired by the operator. Is it going  
20 to be the operator? Is it going to be the OCD? Who  
21 is that, in practice?

22 CHAIRPERSON BAILEY: It says the operator  
23 shall test the soils.

24 COMMISSIONER BALCH: Okay. So I mean,  
25 five points is pretty sparse for what could be a

1 pretty large area.

2 I understand your concern. I guess I just  
3 don't know how to address it. I'm not sure the  
4 five-point sample is going to -- I guess I'm saying  
5 that a five-point sample may not give you the  
6 reassurance that you are looking for.

7 CHAIRPERSON BAILEY: Would you prefer that  
8 all soils -- all below-grade facilities, and that  
9 would mean below-grade tanks, drying pads, temporary  
10 pits, multi-well fluid management pits, temporary  
11 pits, shall test the soils beneath the liner or  
12 below the grade -- below-grade tank?

13 COMMISSIONER BALCH: Now, there was  
14 testimony -- I think that's -- before lunch I  
15 mentioned there was colorful testimony about how you  
16 ended up with a wet spot that could have chlorides  
17 in it.

18 You know, my understanding of the way the  
19 closed-loop system drying pads are operated, we have  
20 a line tray that the drying pads are in, and that  
21 has a sump associated with it, and it's there for a  
22 short duration, primarily during the solids.

23 I don't know if that is really the same  
24 thing as -- I guess the risk of that, to me, would  
25 not rise to the same level as having the substantial

1 amount of fluid in place, even with liners, for some  
2 months.

3 So I don't know if those drying pads are a  
4 particularly great risk for contaminating large  
5 areas of soil with chloride.

6 CHAIRPERSON BAILEY: Simply because the  
7 size of a drying pad isn't going to cover --

8 COMMISSIONER BALCH: The drying pads are  
9 going to be small. There's already adequate  
10 protection from liquids impacting surface soils.  
11 The size of the impact would be relatively small, if  
12 there was one, and so the rule would address it. If  
13 there was some catastrophic failure of the system it  
14 would not be a release greater than five barrels.

15 CHAIRPERSON BAILEY: So how would you  
16 suggest the introductory paragraph of (3) to read?

17 COMMISSIONER BALCH: Well, we have, as you  
18 have mentioned in (a), a universe of a few things  
19 that we can look at. We have the temporary pits, we  
20 have multi-well fluid management pits, we have  
21 permanent pits, we have below-grade tanks, and  
22 potentially we have closed-loop system drying pads.

23 CHAIRPERSON BAILEY: Yes.

24 COMMISSIONER BALCH: Those are the things  
25 you are worried about getting chloride contamination

1 on the surface that you would want to identify  
2 before you closed the site and left and will  
3 remediate.

4 I think that they are all substantially  
5 different things from one another. A multi-well  
6 fluid management pit is primarily going to have  
7 chlorides, although there will be other chemicals in  
8 that that could be used in completion, trace  
9 amounts.

10 A temporary pit will have drilling mud.  
11 It could have some muddles of hydrocarbons in it  
12 from going through formations that have hydrocarbons  
13 in it.

14 A below-grade tank is primarily going to  
15 be water that is run off of a production tank or a  
16 separator. So you'll have water with hydrocarbons  
17 from that water pit pouring in it.

18 CHAIRPERSON BAILEY: Uh-huh.

19 COMMISSIONER BALCH: And then a drying pad  
20 from a closed-loop system is primarily going to be  
21 the solids that are shaken out, not with a large  
22 amount of water associated with them, and that water  
23 will be caught in a sump.

24 The only thing I see in there that's  
25 common is chlorides. I think they are all



1 different. And I think I already mentioned that a  
2 five-point sample would probably be pretty ac- --  
3 pretty good for below a tank, because you are  
4 talking about a limited area. But that same  
5 five-point sample becomes almost meaningless if you  
6 apply it to a 40-acre multi-well fluid management  
7 pit. You'd have to sample every 8 acres.

8 COMMISSIONER BLOOM: I don't think we want  
9 to indicate that they would be that big. I mean,  
10 they might have 40-acre feet, which would be over an  
11 acre 8 feet deep, right?

12 COMMISSIONER BALCH: Right. Yes.

13 But basically, you're taking something  
14 that may be a quarter of the size of this room to  
15 something that may be the size of this building, and  
16 you are doing the same sampling.

17 I really didn't want to throw that wrench  
18 in there. I'm just kind of saying that they are all  
19 different.

20 I guess I'm not concerned too much about  
21 the drying pads. I think there's already adequate  
22 protection in place. I would only think if you saw  
23 discolored soil, as you would under the spill rule,  
24 when you picked up the drying pads and the liner  
25 that would be when you would test it.

1 CHAIRPERSON BAILEY: The spill rule will  
2 not apply to soils that are simply discolored.

3 COMMISSIONER BALCH: Okay.

4 CHAIRPERSON BAILEY: Because you cannot  
5 determine the volume.

6 COMMISSIONER BALCH: That has to be  
7 written into this.

8 CHAIRPERSON BAILEY: Exactly.

9 COMMISSIONER BALCH: Okay.

10 COMMISSIONER BLOOM: And I will just point  
11 out to you that currently, the regulation as it  
12 stands is that a five-point sample is taken under  
13 any temporary pit or permanent pit, both of which  
14 are limited to 10 acre feet of water.

15 CHAIRPERSON BAILEY: Sure. An operator  
16 could dance around, but this has held pretty well  
17 for this period of time.

18 COMMISSIONER BALCH: So I think that  
19 you -- you mentioned there was a \$500 cost  
20 associated, we heard that in testimony, with taking  
21 the five-point sample.

22 COMMISSIONER BLOOM: I believe it was \$300  
23 to \$500.

24 COMMISSIONER BALCH: And that's merely the  
25 cost of the analysis, because they're out there

1 collecting it themselves.

2           You know, I think that to me, in my mind,  
3 the intent is if you think that there was a release,  
4 you would want to sample that area. That would be  
5 the discolored soil standard. I think, just -- just  
6 randomly saying you'll do a five-point sample  
7 beneath the entire area of a permanent pit does not  
8 necessarily provide you with data that would allow  
9 you to determine there wasn't a release.

10           If, however, you picked up that liner and  
11 you saw a wet area, then you would want to sample  
12 that wet area.

13           CHAIRPERSON BAILEY: Which would give you  
14 skewed results if you have a temporary pit that  
15 covers 10 acre feet of -- just say that the  
16 contamination that resulted in that discolored soil  
17 was widespread over the entire base of the  
18 contamination of the pit.

19           COMMISSIONER BALCH: On the other hand,  
20 and I think correctly in the closings, in the  
21 findings by Dr. Neeper and I think also by OGAP -- I  
22 think particularly Dr. Neeper.

23           You know, say you have a localized release  
24 in the pit and it's going on for some unknown period  
25 of time, which in a permanent pit could be a very

1 long time, or a multi-well fluid management pit  
2 could be four, four and a half years or so, that you  
3 may have a relatively small discolored or wet area  
4 that could be vertically quite extensive.

5 CHAIRPERSON BAILEY: Uh-huh.

6 COMMISSIONER BALCH: And that the intent  
7 is to capture that, not capture the entire area  
8 under the -- underneath the liner that wasn't  
9 impacted. You want to make sure if there was a  
10 localized impact that it wouldn't impact  
11 groundwater. I think that's the intent. How do you  
12 get at that, I don't know.

13 CHAIRPERSON BAILEY: And because we are  
14 talking strictly in an instance where waste is going  
15 to be picked up and removed to an off-site facility,  
16 including the liner, and then backfilled and  
17 revegetated, it almost sounds like you are arguing  
18 that we don't need to have testing of the soils  
19 because we can't get a representative sample or  
20 determine what the depth is --

21 COMMISSIONER BALCH: Well, I guess, you  
22 know --

23 CHAIRPERSON BAILEY: -- of any kind of --

24 COMMISSIONER BALCH: -- is the intent, I  
25 think -- I'm not really saying that. At least I

1     hope I am not saying that.

2                 I think the intent is you want to protect  
3     the groundwater, right?

4                 CHAIRPERSON BAILEY:   Yes.

5                 COMMISSIONER BALCH:   How do you do that in  
6     the case of a localized leak?  I'm not saying not to  
7     collect five-point samples.  I'm just saying that it  
8     may not be representative if you get to water-driven  
9     larger areas.

10                CHAIRPERSON BAILEY:   I don't have an  
11     answer to that one.

12                COMMISSIONER BALCH:   Yeah.  So I mean, I  
13     don't know what my understanding of this spill rule  
14     was.  But if there's a known volume, certain levels  
15     are triggered.

16                The problem here is if you just have a wet  
17     and discolored area you don't know what the volume  
18     level was.

19                There was testimony that if there were a  
20     significant leak that you would see changes to the  
21     level of the fluid in the pit --

22                CHAIRPERSON BAILEY:   Here's a suggestion.

23                COMMISSIONER BALCH:   -- that we're looking  
24     at every week or so.

25                CHAIRPERSON BAILEY:   Here's a suggestion.

1           If for those facilities where the waste  
2 material is going to be picked up and hauled away,  
3 if a test is made of any contaminated soil area, and  
4 use the criteria from Table II, whatever levels we  
5 determine on that, then that would determine if  
6 excavation to bring the levels down to the limits of  
7 Table II would be necessary in that soil beneath  
8 those facilities.

9           COMMISSIONER BALCH: And I think I -- I  
10 think I see what you're saying. That would seem to  
11 be a -- maybe a little more appropriate, if the goal  
12 was to protect the groundwater and allow appropriate  
13 remediation.

14           COMMISSIONER BLOOM: What if the language  
15 was along the lines of a five-point composite sample  
16 shall be taken from any area that appears to have  
17 contamination or otherwise from underneath the  
18 liner?

19           CHAIRPERSON BAILEY: So it would say -- 13  
20 A (3) (a) would say: "A five-point composite sample  
21 taken from any obviously discolored" --

22           COMMISSIONER BALCH: Or wet soil.

23           CHAIRPERSON BAILEY: -- "or wet soils."

24           COMMISSIONER BLOOM: Or otherwise from  
25 under the liner.

1 CHAIRPERSON BAILEY: These are under the  
2 liners.

3 COMMISSIONER BALCH: What I think  
4 Mr. Bloom is saying, if there are no wet or  
5 discolored areas you just take one five-point sample  
6 across the entire area and hope that it's  
7 representative.

8 If you do have a -- if you do have a wet  
9 or discolored area, then you sample that area.

10 CHAIRPERSON BAILEY: But if you don't  
11 have --

12 COMMISSIONER BALCH: Then you just do one  
13 five-point composite sample --

14 CHAIRPERSON BAILEY: What's the point of  
15 that --

16 COMMISSIONER BALCH: I don't have an  
17 answer.

18 CHAIRPERSON BAILEY: -- if you don't have  
19 any --

20 COMMISSIONER BALCH: I don't think it has  
21 a particular point, even in the example that  
22 Mr. Bloom gave, where you could have some release  
23 from the pit liner as you are rolling it up or  
24 bulldozing it into a pile or wherever it is you are  
25 doing to get rid of it.

1 I think that if there were such releases  
2 they would probably be relatively minimal, at least  
3 for the four constituents in Table II.

4 COMMISSIONER BLOOM: I guess I'm thinking  
5 of a case where perhaps there was a leak which  
6 was --

7 COMMISSIONER BALCH: Could have dried up  
8 and not discolored the soil?

9 COMMISSIONER BLOOM: Exactly. It was  
10 below the liner and then the liquid level fell and  
11 then somebody came out and said, look, it's a leak  
12 above the liner, above the liquid level. There's a  
13 hole in the liner penetration, so they go out and  
14 they fix it.

15 And then six months later the closure and  
16 site reclamation begins and there is no longer any  
17 evidence of a leak, but perhaps there was one.

18 CHAIRPERSON BAILEY: There would be  
19 evidence if there was any hydrocarbons, because it  
20 would be stained. If there were high chlorides you  
21 couldn't see the salt dust.

22 COMMISSIONER BALCH: And I think if you  
23 have dry soil and you apply a liquid to it you're  
24 going to have a noticeable stain.

25 To me, the idea is you want to be



1 protective, if there's evidence that there was a  
2 release. I think a five-point composite sample in  
3 general, underneath a tank, would probably be fairly  
4 representative. Under a large pit might not tell  
5 you a whole lot.

6 CHAIRPERSON BAILEY: So (3) (a) could  
7 read: "A five-point composite sample, to include  
8 any obvious stained or wet soils, shall be taken  
9 under the liner or the below-grade tank, and that  
10 sample shall be analyzed for the constituents in  
11 Table II of 19.15.17.13."

12 COMMISSIONER BALCH: So basically, you  
13 would make sure your five-point sample included  
14 anything that looked like it was disturbed.

15 CHAIRPERSON BAILEY: Right. So after the  
16 "sample" insert the words "to include any obvious  
17 staining or wet soils."

18 COMMISSIONER BALCH: And then for  
19 Table II.

20 CHAIRPERSON BAILEY: Right. We still  
21 haven't dealt with paragraph (3) up above. We  
22 needed -- there was agreement not to exempt  
23 multi-well fluid management pits from sampling under  
24 the liner?

25 COMMISSIONER BALCH: I think Mr. Bloom's

1 argument --

2 Well, I'm not going to make the argument  
3 for you.

4 But I think his idea was that if you had  
5 at least one test there would be some assurance.

6 COMMISSIONER BLOOM: It could just read:  
7 "The operator shall test the soils beneath the pit  
8 or below-grade tank as follows."

9 CHAIRPERSON BAILEY: So it would be --

10 COMMISSIONER BLOOM: And I think we also  
11 need to say --

12 CHAIRPERSON BAILEY: So it would be  
13 deleting the first sentence in its entirety.

14 COMMISSIONER BLOOM: Correct.

15 CHAIRPERSON BAILEY: So it would begin --  
16 yes.

17 COMMISSIONER BALCH: It would really be:  
18 "the operator shall test the soils beneath the pit  
19 or below-grade tank as follows."

20 CHAIRPERSON BAILEY: Right. So go ahead  
21 and delete the prior sentence.

22 COMMISSIONER BLOOM: Do we want to say  
23 below the -- the closed-loop system pad liner?

24 CHAIRPERSON BAILEY: Okay. Go ahead and  
25 delete in the -- the pit, drying pad for closed-loop

1 system.

2 COMMISSIONER BALCH: So let me ask a  
3 question. And this was why we had that colorful  
4 example presented to us.

5 If it is very localized but a high  
6 concentration of chloride or some other component  
7 and you sample it, then we find -- we found -- under  
8 the drying pad you found higher than average  
9 chlorides, what happens then?

10 CHAIRPERSON BAILEY: Well, it's triggering  
11 the further investigation.

12 COMMISSIONER BALCH: Okay.

13 CHAIRPERSON BAILEY: To determine how far  
14 down the contamination goes.

15 COMMISSIONER BALCH: And the practice of  
16 further investigation, we call an environmental  
17 company to come out and do an evaluation, or you  
18 call the OCD and we come out and look at it or...

19 CHAIRPERSON BAILEY: Normally, they will  
20 take the backhoe and remove some soil and they  
21 test --

22 COMMISSIONER BALCH: Test again?

23 CHAIRPERSON BAILEY: -- again until they  
24 reach a level that's acceptable on Table II.

25 COMMISSIONER BALCH: Okay. That seems

1 appropriate.

2 CHAIRPERSON BAILEY: So are we happy with  
3 A through (1), (2), (3)?

4 COMMISSIONER BLOOM: (a) and (b)?

5 CHAIRPERSON BAILEY: Well, (b), we need to  
6 change Table I to Table II.

7 COMMISSIONER BALCH: I guess I sort of  
8 selected the terms of the drying pads for the  
9 closed-loop system.

10 First of all, we have been treating them  
11 differently throughout the regulation.

12 And second of all, with the liner and the  
13 sump and the regular inspection, that there is a  
14 very minimal risk of any sort of substantial  
15 contamination from a closed-loop drying pad,  
16 particularly when you consider you're not dumping  
17 water onto it, you are dumping wet --

18 CHAIRPERSON BAILEY: Right.

19 COMMISSIONER BALCH: I don't know that  
20 it's really applies. I mean, this may be apple,  
21 orange, banana, piece of steak, because we're not  
22 even into fruit anymore.

23 CHAIRPERSON BAILEY: But it simply is  
24 ensuring that there is a trigger to further  
25 delineate those chloride levels or the TPH levels or

1 the BTEX or benzene. And if the next scoop of --  
2 from the backhoe shows that there's no longer any  
3 contaminated soil, then it's a nonissue.

4 COMMISSIONER BLOOM: Yeah. In the  
5 existing rule the earth underneath the drying pad is  
6 treated the same as earth underneath the permanent  
7 pad, I believe, or the sample taken.

8 COMMISSIONER BALCH: Well, I believe one  
9 of the criticisms that industry presented to us in  
10 testimony about the existing rule is that it did  
11 tend to broadly lump things together that did not  
12 incorporate together. That is kind of why I was  
13 bringing this point up, and if both of you were more  
14 comfortable leaving under closed-loop drying pads, I  
15 have no problem with it. I just wanted to point out  
16 that I think it's substantially different and lower  
17 risk than the other three.

18 CHAIRPERSON BAILEY: It is. But one more  
19 scoop of the backhoe is --

20 COMMISSIONER BALCH: Well, okay. So the  
21 cost is -- you take your -- your sample, send it in,  
22 pay your \$300 to \$500. And then you take the scoop  
23 and then you take your sample and spend another \$300  
24 to \$500.

25 CHAIRPERSON BAILEY: Only if you see more

1     contamination.

2                   COMMISSIONER BALCH:   Okay.   So if you take  
3     your scoop and you don't see any discoloration then  
4     you don't have to take a sample?

5                   CHAIRPERSON BAILEY:   I wouldn't think so,  
6     not under these criteria.

7                   COMMISSIONER BALCH:   All right.   I could  
8     just see somebody digging, sampling; digging,  
9     sampling; digging, sampling.   So it would be up to  
10    them to dig enough to where they can see, as far as  
11    the discoloration.

12                  CHAIRPERSON BAILEY:   Or smell.

13                  COMMISSIONER BALCH:   Or smell  
14    hydrocarbons.   Okay.

15                  CHAIRPERSON BAILEY:   So that word should  
16    be "evidence"; to see any evidence of.

17                  COMMISSIONER BALCH:   Well, don't use the  
18    word "see" evidence.

19                  CHAIRPERSON BAILEY:   Would not be aware --  
20    would not find any other evidence.

21                  COMMISSIONER BALCH:   Right.   That would  
22    work.   Any -- "any evidence of contamination"?  
23    Would that be -- instead of "obvious stained or wet  
24    soils"?

25                  CHAIRPERSON BAILEY:   Yes.   Because the

1 smell could be just as indicative as the color.

2 COMMISSIONER BALCH: Or maybe it would be  
3 better to be a little more inclusive to say  
4 "including any obvious stained or wet soils or other  
5 evidence" --

6 CHAIRPERSON BAILEY: That works.

7 COMMISSIONER BALCH: -- "of  
8 contamination."

9 CHAIRPERSON BAILEY: Can you go ahead and  
10 insert that, please?

11 COMMISSIONER BALCH: After "stained or wet  
12 soils" in paragraph (3) (a) add "or other evidence  
13 of contamination."

14 COMMISSIONER BLOOM: I would want to see  
15 that a test was done under any liner, and I think  
16 that's what this actually gives us, as I read  
17 through it. So...

18 COMMISSIONER BALCH: There's a liner  
19 underneath a closed-loop drying pad. I guess, by my  
20 argument, the risk would be substantially lower  
21 under a tank liner as well.

22 COMMISSIONER BLOOM: Sure.

23 CHAIRPERSON BAILEY: So in (b) we have  
24 changed that to Table II, which is the trigger for  
25 further delineation.

1                   If we go down to (c), I have some comments  
2   on that.

3                   COMMISSIONER BALCH: That would be  
4   Table II, now, for sure.

5                   CHAIRPERSON BAILEY: Yes.

6                   Plus, "compacted" is in there, and  
7   Dr. Buchanan was very clear that you did not want to  
8   compact soils if you wanted to have any kind of  
9   rooting for revegetation.

10                  COMMISSIONER BLOOM: We would remove the  
11   word "compacted," then?

12                  COMMISSIONER BALCH: I would agree.

13                  COMMISSIONER BLOOM: And then it seems to  
14   me that we did want to leave the operator and/or the  
15   surface owner the right to decide how that land will  
16   be treated. I mean, if they are going to put a road  
17   there you might want to compact it. But if it's  
18   going to be reseeded for grazing --

19                  COMMISSIONER BALCH: And that was the  
20   argument, is what if they wanted to put a pad there.

21                  COMMISSIONER BLOOM: Right.

22                  COMMISSIONER BALCH: I think there were  
23   also arguments from Dr. Neeper, and perhaps from  
24   Mr. Jantz on cross-examination of one of the  
25   witnesses, that -- I think Dr. Neeper, in



1 particular, did not feel that you should construct  
2 over any waste. Because the idea would be you put  
3 asphalt down there and you put up a basketball  
4 court, and then 30 years from now it's essentially  
5 soil, but it hasn't been remediated.

6 I'm just -- that was the argument that was  
7 made.

8 CHAIRPERSON BAILEY: But with removal of  
9 the word "compacted," that doesn't deny the ability  
10 to compact it for those uses.

11 COMMISSIONER BLOOM: Yeah.

12 CHAIRPERSON BAILEY: I asked Dr. Buchanan  
13 very clearly what he recommended for the  
14 non-waste-containing materials that would be used  
15 for backfill.

16 He suggested that we look at the  
17 characteristics that are required under the mining  
18 and minerals division reclamation.

19 And I don't think we can do that. We  
20 cannot use anything that was not testified to or is  
21 not part of the Oil and Gas Act that we are talking  
22 about.

23 So my suggestion is to have the word  
24 "uncontaminated" put in before "earthen material,"  
25 to ensure that they're not replacing with high

1 chloride earthen material.

2 COMMISSIONER BALCH: So you're saying  
3 uncontaminated earthen material?

4 CHAIRPERSON BAILEY: Yes.

5 COMMISSIONER BALCH: Instead of  
6 non-waste-containing?

7 CHAIRPERSON BAILEY: Well,  
8 non-waste-containing uncontaminated earthen  
9 material.

10 COMMISSIONER BALCH: So you don't want  
11 them bringing in structure or waste full of concrete  
12 slabs or something.

13 CHAIRPERSON BAILEY: We don't need  
14 concrete and we don't need soils that don't meet  
15 Table II limits, either.

16 COMMISSIONER BALCH: Okay.

17 COMMISSIONER BLOOM: Correct.

18 COMMISSIONER BALCH: I believe that makes  
19 sense. I don't think we need anything else.

20 It would be probably better, as  
21 Dr. Buchanan said, to use the existing standard from  
22 mining. But -- because they have an awful lot of  
23 experience with reclamation.

24 CHAIRPERSON BAILEY: Yes.

25 COMMISSIONER BALCH: They really do.

1 CHAIRPERSON BAILEY: But that was brought  
2 up too late in the hearing.

3 We could have a comma before  
4 "uncontaminated." Yes.

5 COMMISSIONER BALCH: I think comma,  
6 "uncontaminated," comma. Another comma at the end  
7 of "uncontaminated."

8 CHAIRPERSON BAILEY: Okay. So a comma  
9 after "containing" and a comma after  
10 "uncontaminated."

11 COMMISSIONER BALCH: It's a further  
12 modifier.

13 CHAIRPERSON BAILEY: Yes.

14 Are we happy with paragraph (c)?

15 COMMISSIONER BALCH: I believe I am.

16 MR. SMITH: That should be "drying pads,"  
17 I think, not "tying pads."

18 CHAIRPERSON BAILEY: Oh, yes. All right.

19 Now, Section B deals with closure where  
20 wastes are destined to be buried either in place or  
21 into nearby approved pits or trenches.

22 COMMISSIONER BLOOM: Madam Chair, perhaps  
23 a five- or ten-minute bathroom break?

24 CHAIRPERSON BAILEY: Let's do that. Let's  
25 reconvene at --

1           COMMISSIONER BALCH: Before we go off the  
2 record, just before I forget, we have been in  
3 Section (a) referring to Table II, and we have also  
4 talked extensively about Table I not being  
5 necessary. So it would still be Table I, but  
6 renumbered as Table I.

7           We cannot have a Table II without Table I.

8           CHAIRPERSON BAILEY: Okay. So we are not  
9 going to be using the preferred Table I. And so we  
10 will renumber the proposed Table II to become  
11 Table I.

12          COMMISSIONER BALCH: So references to  
13 Table II that we just put in need to become Table I.

14          MR. SMITH: And Table I needs to be  
15 deleted and Table II relabeled Table I.

16          CHAIRPERSON BAILEY: Yes. The tables are  
17 on page 42.

18          COMMISSIONER BLOOM: You might be changing  
19 the title to that at some point, too.

20          COMMISSIONER BALCH: Yeah. We can change  
21 it -- when we get to it we can change the title.

22          COMMISSIONER BLOOM: Yeah.

23          CHAIRPERSON BAILEY: Let's come back in at  
24 five to 3:00.

25          (A recess was taken from 2:43 p.m. to 2:56

1 p.m.)

2 (A recess was taken.)

3 CHAIRPERSON BAILEY: We were beginning  
4 consideration of Section B of 19.15.17.13,  
5 considering where closure and wastes are destined  
6 for burial in place or into nearby division-approved  
7 pits or trenches. It applies to temporary pits as  
8 well as drying pads and tanks.

9 COMMISSIONER BALCH: Should we say other  
10 solids and solids associated with closed-loop  
11 systems? I don't know.

12 CHAIRPERSON BAILEY: It says: "This  
13 section applies to temporary pits as well as wells."

14 Shouldn't it be a comma after "pits,"  
15 strike the word "and," strike "wells" and "and," to  
16 read: "This section applies to temporary pits,  
17 drying pads, and tanks associated with closed loop  
18 systems."

19 COMMISSIONER BALCH: Now, this is supposed  
20 to be temporary pits and closed-loop system waste,  
21 solids from a closed-loop system. I think that's  
22 what it's supposed to be talking about.

23 The only two sources of material that  
24 would be appropriate for off-site closure would be  
25 material from the drilling pit or material -- solid

1 material from the closed-loop system for the drying  
2 pads.

3 CHAIRPERSON BAILEY: So you're saying that  
4 no solids left over from a permanent pit or a  
5 multi-well fluid management pit?

6 COMMISSIONER BALCH: Well, I think  
7 multi-well, we specifically said everything has to  
8 be removed. There will be no on-site burial.

9 But I wonder if that language also is in  
10 the permanent pits.

11 COMMISSIONER BLOOM: The way the permanent  
12 pit was regulated previously on page 29 was: "The  
13 operator shall remove all liquids and BS&W," the  
14 sediment and water, "from the permanent pit prior to  
15 implementing a closure method."

16 COMMISSIONER BALCH: Okay. I thought in  
17 the multi-well we were specific about what was being  
18 removed, but I might be wrong.

19 CHAIRPERSON BAILEY: Well, this is where  
20 we talk about it.

21 COMMISSIONER BALCH: Okay. To me, there's  
22 two categories -- maybe three categories of  
23 materials. In my mind, the drilling -- temporary  
24 drilling pit waste and the solids and drying pads  
25 from the closed-loop system are going to be very

1 similar, with the rocks and mud with chlorides and  
2 other things in it.

3 The multi-well management fluid pit will  
4 have different material. Perhaps -- we have no idea  
5 what it's going to be in the completion fluids. And  
6 while those completion chemicals are traces, if you  
7 remove all the other water then you may have a high  
8 concentration of --

9 CHAIRPERSON BAILEY: They will be sludge.  
10 They will be dust and dirt and leaves and whatever  
11 else. I mean, there will be some kind of solid  
12 material.

13 COMMISSIONER BALCH: Yes, which is going  
14 to be noticeably different from drilling waste.

15 CHAIRPERSON BAILEY: Exactly.

16 COMMISSIONER BALCH: So I think -- and  
17 then -- now permanent pits, I remember talking about  
18 them yesterday. We said they were primarily for  
19 long-term storage, and prior to --

20 CHAIRPERSON BAILEY: Yes.

21 COMMISSIONER BALCH: So very likely a  
22 permanent pit would be concentrated to the point  
23 where you would not be able to --

24 CHAIRPERSON BAILEY: There could be a  
25 sludge --

1 COMMISSIONER BALCH: -- determine --

2 CHAIRPERSON BAILEY: There would be a  
3 sludge component.

4 COMMISSIONER BALCH: So even with mixing,  
5 we wouldn't get to the standards of the ground table  
6 water.

7 CHAIRPERSON BAILEY: I don't see how you  
8 could.

9 COMMISSIONER BALCH: Okay. And since we  
10 had no changes recommended to us for permanent pits,  
11 the easiest thing to do is leave permanent pits  
12 alone.

13 CHAIRPERSON BAILEY: We won't touch them,  
14 except to determine what needs to be in their  
15 closure plans, if it's so vague.

16 We have closure methods for permanent pits  
17 that have been lined out, so we will need to look at  
18 that.

19 COMMISSIONER BALCH: That's true. The  
20 entire closure section -- actually, the entire  
21 closure section was scrapped and rewritten. So in  
22 that sense, they did address closure of permanent  
23 pits.

24 CHAIRPERSON BAILEY: And permanent pits is  
25 included in the list of paragraph A up above.



1           COMMISSIONER BALCH: Correct. But in  
2 practice, it's very unlikely you would be able to  
3 close on-site a permanent pit that has 30 years'  
4 worth of chloride fluids running through it,  
5 evaporating, et cetera.

6           CHAIRPERSON BAILEY: And in practice, I  
7 don't think you could realistically assume that  
8 there would be any in place therein.

9           COMMISSIONER BALCH: And then with a  
10 multi-well fluid management, you know, I swear there  
11 is language in there that everything is going to be  
12 eliminated.

13          CHAIRPERSON BAILEY: Yes, there was, for  
14 removal of all fluids.

15          COMMISSIONER BALCH: At which point there  
16 would be nothing left. Well, maybe the sludge in  
17 the --

18          CHAIRPERSON BAILEY: Well, there's sludge.

19          COMMISSIONER BLOOM: Maybe that's why  
20 temporary pits are addressed in A and not in B.

21          CHAIRPERSON BAILEY: So B does not discuss  
22 multiple fluid management pits or permanent pits,  
23 according to what has been presented to us.

24          COMMISSIONER BLOOM: Right.

25          COMMISSIONER BALCH: Okay. So B really

1 addresses drilling waste.

2 CHAIRPERSON BAILEY: It really addresses  
3 temporary pits, drying pads, and tanks associated  
4 with closed-loop systems and --

5 COMMISSIONER BALCH: I think tanks may be  
6 not the way to say it. It's waste associated with a  
7 tank, is the way it reads, and you would be  
8 disposing of the tank.

9 CHAIRPERSON BAILEY: So what language  
10 would you suggest?

11 COMMISSIONER BALCH: I would say something  
12 along the lines of, this section applies to  
13 temporary pits --

14 CHAIRPERSON BAILEY: And waste associated.

15 COMMISSIONER BALCH: -- and waste  
16 associated with closed-loop systems.

17 CHAIRPERSON BAILEY: In which the wastes  
18 are either intended for in-place disposal in the  
19 existing pit or for disposal at a nearby -- so this  
20 is an instance where we need to be very careful not  
21 to --

22 COMMISSIONER BALCH: On-site/off-site.

23 CHAIRPERSON BAILEY: Right.

24 COMMISSIONER BLOOM: And "nearby" comes in  
25 as not defined.

1           CHAIRPERSON BAILEY: Okay. I brought up  
2   our 360 discussion several times. I will check  
3   there and see if they have any thoughts there for  
4   us.

5           COMMISSIONER BALCH: Could we -- and the  
6   second sentence would be -- just change that to say:  
7   "This section applies to waste from temporary pits  
8   and closed-loop systems."

9           And we already specified that liquids are  
10   not disposed on-site, elsewhere.

11          CHAIRPERSON BAILEY: Correct.

12          COMMISSIONER BALCH: So I don't think we  
13   have to be specific about them with solids, just so  
14   we get solids. I think somewhere we have a  
15   definition that has solids.

16          MR. SMITH: You have a grammar issue there  
17   in B.

18          COMMISSIONER BALCH: Well, we've got an  
19   extra --

20          MR. SMITH: Well, it says: "This section  
21   applies to a -- to waste from A and B, C and D."

22          COMMISSIONER BALCH: Well, "drying pads  
23   and tanks" needs to be deleted, actually, along with  
24   "associated with closed-loop systems," because we've  
25   already -- okay. There we go. Delete that part.

1 Something along that line.

2 Basically, we have specified drilling  
3 waste without saying "drilling waste," realizing it  
4 can come from two sources, a mud pit or from a  
5 closed-loop system.

6 What are drying pads made out of?

7 CHAIRPERSON BAILEY: Plastic.

8 MR. SMITH: I don't know how it applies  
9 here. But I have found in other regulations it is  
10 difficult to predicate the applicability of the  
11 regulations on intent. Whose intent? Intent when?  
12 How do you know?

13 I mean, you might want to use some other  
14 term there so you take it out of someone's private  
15 thoughts or possible private thoughts.

16 COMMISSIONER BLOOM: Which waste will go  
17 to or be destined for?

18 COMMISSIONER BALCH: Well, I think we are  
19 talking about drilling waste. So it's going to be  
20 mud, chunks of rock.

21 CHAIRPERSON BAILEY: Completion fluids,  
22 bacteria.

23 COMMISSIONER BALCH: Completion fluids,  
24 bacteria.

25 MR. SMITH: Are they always required for

1 in-place disposal in the existing temporary pit or  
2 for disposal at a nearby temporary pit? I mean...

3 COMMISSIONER BALCH: Well, I think the way  
4 we have been discussing this, we are talking about  
5 on-site disclosure of -- closure of waste for a  
6 variety of pits. We have a family of four  
7 scenarios, if you include the below-grade tanks.

8 I think that for this discussion we  
9 concluded -- although maybe we haven't. Maybe just  
10 me -- that we're talking about for on-site closure,  
11 you are just talking about drilling waste. And that  
12 can come from one of two sources: Temporary mud pit  
13 or from a closed-loop system.

14 The material is going to be substantially  
15 the same, they are just coming from two different  
16 places.

17 MR. SMITH: Well, what I am getting at is:  
18 Are you able to change that sentence after the comma  
19 in the third line up, in which the wastes are  
20 required either to be placed, and then go on? Or is  
21 it not a matter of requirement?

22 I'm just trying to find something other  
23 than "intent."

24 COMMISSIONER BALCH: No, they are not  
25 required to dispose on site. This is an option for

1 on-site disposal.

2 And then there will be some other limiting  
3 factors on that.

4 For example, after a mixing, you would  
5 have to meet the requirements of Table I.

6 COMMISSIONER BLOOM: Could we change it to  
7 "in which wastes are to be disposed of in" -- just  
8 "in a temporary pit for disposal," on that?

9 MR. SMITH: Well, or "may."

10 "This section applies to waste from  
11 temporary pits and closed-loop systems."

12 COMMISSIONER BALCH: "Destined for burial  
13 on" -- "in place."

14 MR. SMITH: "Where such waste may be," and  
15 then go on, or "when such waste may be."

16 COMMISSIONER BALCH: Go up to the very  
17 beginning of B, for closure. Try that again.

18 MR. SMITH: What I was thinking is where  
19 you have: "This section applies to waste" -- let's  
20 see. "This section applies to waste from temporary  
21 pits and closed-loop systems when such waste may be  
22 disposed of in place."

23 COMMISSIONER BALCH: "Or into nearby  
24 division-approved pits or trenches."

25 MR. SMITH: Well, "in-place." I would

1     probably put -- keep "in the existing temporary pit"  
2     after -- then delete "in which the wastes are either  
3     intended for in-place disposal."

4                 COMMISSIONER BALCH:   So those next three  
5     to four words there, "for in-place disposal," delete  
6     those.

7                 MR. SMITH:   There you go.   Take those out.  
8     "When such waste may be disposed of in place in the  
9     existing temporary pit or disposed off at..."

10                And then -- well, I guess you don't need  
11    two "ats" there, do you?   You need "disposed of."

12                Is that what you want?

13                COMMISSIONER BALCH:   And now we don't need  
14    the first sentence, right?   Or do we still need the  
15    first sentence?

16                MR. SMITH:   Well, I think that's a title.

17                COMMISSIONER BALCH:   Okay.

18                CHAIRPERSON BAILEY:   The problem -- we  
19    need to focus on "nearby temporary pit or burial  
20    trench that is not a permitted commercial facility."

21                COMMISSIONER BALCH:   This isn't a language  
22    issue.   This is something we need to debate.

23                CHAIRPERSON BAILEY:   That what?

24                COMMISSIONER BALCH:   We need to debate on  
25    your lines.

1 CHAIRPERSON BAILEY: All right. Our 360  
2 suggests language that we could adapt in this  
3 instance, where we could say "nearby -- a nearby  
4 temporary pit must be within the boundaries of the  
5 lease and/or development plan wherein exploration  
6 and production waste continues to be under the  
7 control and management of the operator/producer."

8 COMMISSIONER BALCH: We put language like  
9 that somewhere else.

10 CHAIRPERSON BAILEY: No, we talked about  
11 it.

12 COMMISSIONER BALCH: Okay. When we talked  
13 about it.

14 CHAIRPERSON BAILEY: Yes. Well, we were  
15 talking about on-site/off-site.

16 COMMISSIONER BALCH: Yes.

17 CHAIRPERSON BAILEY: But this means that  
18 the operator/producer still has the control over the  
19 waste, and it is not a commercial facility.

20 So we could have that read -- after  
21 "NMAC," at the end of the paragraph, "a nearby  
22 temporary pit or burial trench that receives waste  
23 from another temporary pit must be within the  
24 boundaries of the lease and/or development plan  
25 wherein exploration and production waste continues



1 to be under the control and management of the  
2 operator/producer."

3 COMMISSIONER BLOOM: Now I need to ask,  
4 speaking from allowing off-site burial and how we  
5 weigh that against some of the risks that we have  
6 heard. And our 360 points out that some of it -- it  
7 creates regulation issues. I think it cites some  
8 comments from OCD there, one more thing to track.  
9 Essentially, we get an orphan trench. You've got an  
10 orphan trench.

11 CHAIRPERSON BAILEY: It's not orphaned if  
12 it's still in control of the operator/producer.

13 COMMISSIONER BLOOM: What's to be gained  
14 from having it not on the well pad or proximate to  
15 it?

16 COMMISSIONER BALCH: Proximate is the  
17 wellhead.

18 CHAIRPERSON BAILEY: If there is a depth  
19 to groundwater issue -- and up in the northwest  
20 particularly, there are very few, maybe even only  
21 just a couple of permitted facilities that are  
22 authorized to take drilling waste.

23 There is a real dearth of  
24 division-approved facilities that can -- where it  
25 can be disposed of. This allows an operator to be

1     able to dispose of it at a nearby site within his  
2     control without having to either truck it or pay for  
3     exorbitant fees.

4                 COMMISSIONER BLOOM:   The -- excuse me.   A  
5     fee owner could prohibit, through SOPA, such  
6     disposal of waste, correct?

7                 CHAIRPERSON BAILEY:   On the site?   Yes.

8                 COMMISSIONER BALCH:    Yes.

9                 COMMISSIONER BLOOM:    The state land office  
10    I'm not so sure, because it might interfere with the  
11    lease agreement, which is set by the legislature.  
12    SOPA doesn't apply to the state land office, the  
13    Surface Owner Protection Act.

14                COMMISSIONER BALCH:    Is it possible for  
15    them -- for you, in the state land office, to -- as  
16    a result of this rule -- to write some clarifying  
17    language or have some clarifying policy?

18                CHAIRPERSON BAILEY:    You can't change the  
19    lease itself, but they can have their own rules and  
20    regulations concerning waste disposal on state  
21    lands.

22                COMMISSIONER BALCH:    Well, I don't want to  
23    make life hard for you.   But do you have a way to  
24    adjust for it?

25                COMMISSIONER BLOOM:    I'm not sure that we

1 can do so. I'm not sure we can do so without going  
2 to the legislature.

3 CHAIRPERSON BAILEY: Not for changing the  
4 lease. But for enacting regs you've got Rule 100.  
5 That does not come through the legislature. That  
6 comes just through the commissioners' control.

7 COMMISSIONER BLOOM: I will check, yeah.

8 COMMISSIONER BALCH: I see a number of --

9 COMMISSIONER BLOOM: I've kicked this  
10 around a little bit, but I'm not certain we can do  
11 that.

12 COMMISSIONER BALCH: I think the advantage  
13 that you mentioned is -- is his.

14 But you know, one of the concerns brought  
15 up by Dr. Neeper was if you got down to a small  
16 enough spacing, you could end up having a drilling  
17 pit waste every X number of feet.

18 I did some calculations, that you would  
19 have to get down below 20 acres or so spacing before  
20 you start to have a problem with a well that was in  
21 the middle of being close to them. But if you can  
22 centralize some of this waste nearby to its source,  
23 then I think you've gained an advantage over having  
24 two separate pits or four separate pits.

25 And if you can site that such that, you

1 know, maybe you're -- maybe your lease does have a  
2 river on one side of it. If you can site your waste  
3 disposal as far from the river as you can, then  
4 everybody is more protected and the surface owner  
5 might be happier and you would have less risk going  
6 forward, as a company, of an impact.

7 So it seems like an advantage to me, to be  
8 able to -- as long as you had control over it.

9 COMMISSIONER BLOOM: If somebody had a  
10 full section and 320 spacings and they elected to  
11 have separate pits, you wouldn't have to bury them  
12 in two spots. You could transport the one to the  
13 other location.

14 COMMISSIONER BALCH: Bury it in one.

15 COMMISSIONER BLOOM: I think it --

16 COMMISSIONER BALCH: It seems like an  
17 advantage to have less pits overall.

18 And the volumes of waste we're talking  
19 about are not incredibly large. If you recall the  
20 pictures from Dr. Buchanan's testimony at the Conoco  
21 site, it was a thin layer that was maybe -- well, it  
22 was hard to calculate area, but it was a thin,  
23 somewhat laterally extensive layer. So basically,  
24 all you are doing is maybe adding a little bit of  
25 thickness to that. And as long as your leachate

1 will not concentrate to the level that you are  
2 worried about, then I think it's an advantage.

3 CHAIRPERSON BAILEY: It was still not  
4 transporting liquids.

5 COMMISSIONER BALCH: We are talking about  
6 solid waste.

7 COMMISSIONER BLOOM: Liquids are drawn off  
8 and disposed of.

9 COMMISSIONER BALCH: Yes.

10 CHAIRPERSON BAILEY: Particularly for  
11 closure of the receiving pit. You're not going to  
12 close it with fluids.

13 COMMISSIONER BALCH: And then you -- when  
14 you close a site that doesn't have waste under it  
15 there's a different reclamation standard. Is that  
16 correct?

17 CHAIRPERSON BAILEY: Run that by me again?

18 COMMISSIONER BALCH: If you close a site,  
19 a pit that has waste underneath of it, we are  
20 proposing -- or Dr. Buchanan proposes you have  
21 4 feet of cover, soil, vegetation at 70 percent, so  
22 on and so forth.

23 What's the standard if you just close your  
24 pad, or you close a pit that doesn't have waste in  
25 it?

1 CHAIRPERSON BAILEY: Then that's the  
2 1 foot.

3 COMMISSIONER BALCH: The same standard?  
4 That is the 1 foot. So you don't have to do as  
5 expensive a reclamation in multiple locations if you  
6 can concentrate it in one place.

7 And then that also reduces the risk of, as  
8 you said, if you end up with a situation where you  
9 could have pooling, or a playa lake forming on top  
10 of your disposed waste and you have a hydraulic head  
11 on it, they give you more flexibility in siting the  
12 location of that waste to avoid that. I mean, it  
13 allows you to do more appropriate reclamation.

14 I think for me personally, anything that  
15 encourages best practices in anything is going to be  
16 beneficial to everybody.

17 COMMISSIONER BLOOM: Well, I will continue  
18 to think on that, and we can move forward.

19 CHAIRPERSON BAILEY: Move forward?

20 COMMISSIONER BLOOM: Yes, sure.

21 CHAIRPERSON BAILEY: Okay.

22 COMMISSIONER BLOOM: Is that a little D on  
23 the top line there?

24 COMMISSIONER BALCH: No, that's --

25 COMMISSIONER BLOOM: Or is it capital B?

1           It's a capital B.

2           CHAIRPERSON BAILEY:   Okay.   So moving  
3   forward to B (1):   "Operator shall not commence  
4   closure of a temporary pit or drying pad and tank  
5   without first obtaining approval of the closure plan  
6   submitted with the permit application."

7           I think that's a given, don't you think?

8           COMMISSIONER BALCH:   Except for I think  
9   the language "drying pad and tank" is bizarre.

10          CHAIRPERSON BAILEY:   Of a pit associated  
11   with --

12          COMMISSIONER BALCH:   Well, we use -- in  
13   the definition of B, at the beginning of that where  
14   we were talking about:   "This section applies to  
15   waste for temporary pits and closed-loop systems,"  
16   can we carry that definition down somehow without --  
17   is there a way we can use the language that's  
18   already up there without having to repeat it, or do  
19   we want to be consistent in how we discuss those  
20   wastes?

21          CHAIRPERSON BAILEY:   Well, we can.   Let's  
22   go ahead and:   "The operator shall not commence  
23   closure of a temporary pit or closed-loop system."

24          Are we closing the closed-loop system?

25          COMMISSIONER BALCH:   Now, we are not doing

1 anything with the closed-loop system.

2 CHAIRPERSON BAILEY: No, we are talking  
3 about the drying pad associated and the tank  
4 associated.

5 COMMISSIONER BALCH: Yeah. There's no  
6 closure standard for that.

7 What are we trying to do with (1)?

8 CHAIRPERSON BAILEY: Make sure that there  
9 is a plan that is submitted with the permit  
10 application that gets approved by the OCD.

11 COMMISSIONER BALCH: But for (1) -- but  
12 for B, we're talking about the disposal on site.

13 CHAIRPERSON BAILEY: Their plan for  
14 disposal on site has to be a part of the permit  
15 application that gets approved by the OCD.

16 COMMISSIONER BALCH: But in (1), are we  
17 talking about closure or are we talking about the  
18 disposal, the burial?

19 CHAIRPERSON BAILEY: It says you are not  
20 going to commence closure.

21 COMMISSIONER BALCH: But -- okay. Maybe  
22 this will clear it up.

23 "Notwithstanding the following, the  
24 operator shall not commence closure without first  
25 obtaining approval of the closure plan submitted



1 with the permit application."

2 I think that all the other language in  
3 between the first "closure" and the "closed-loop  
4 system" on the second line is extraneous. It's  
5 already described what we are talking about in B.

6 And we're really talking about they can't  
7 do the closure, which in this particular instance of  
8 B includes on-site or nearby disposal of the waste  
9 from temporary pits or closed-loop systems.

10 (1) modifies B, so I don't know if we  
11 really need to explicitly state that again,  
12 especially since it's --

13 CHAIRPERSON BAILEY: How many times do we  
14 want to repeat it?

15 COMMISSIONER BALCH: Well, and it's  
16 unclear language because, again, are we disposing of  
17 the tank on site? I don't think so.

18 COMMISSIONER BLOOM: Mr. Balch, you raise  
19 a good point. And I think the existing language in  
20 the existing Rule 17, which sometimes it gives time  
21 limits for how many days' notice an operator will  
22 give OCD. I believe it was -- 72 hours was some  
23 things and a week or a month for a permanent pit,  
24 for example. I don't know where that was.

25 COMMISSIONER BALCH: This is that you're

1 planning on closing it subject to your closure plan?

2 COMMISSIONER BLOOM: Correct. Maybe  
3 that's what this was trying to get at.

4 COMMISSIONER BALCH: Well, no, I  
5 understand the intent. You don't want them to do  
6 the closure until they notify OCD.

7 But I think if you remove the highlighted  
8 material in (1) you still have the same effect,  
9 because (1) modifying --

10 COMMISSIONER BLOOM: B.

11 COMMISSIONER BALCH: -- B. Okay.

12 COMMISSIONER BLOOM: Or B modifies (1), or  
13 sets the context for it.

14 COMMISSIONER BALCH: Right, sets the  
15 context for it.

16 COMMISSIONER BLOOM: Yeah. I think we can  
17 delete that language, yes.

18 CHAIRPERSON BAILEY: Yes.

19 MR. SMITH: Do you need the  
20 "notwithstanding the following"? Is there anything  
21 in the following that would seem to indicate  
22 anything contrary to the remainder of number (1)?

23 COMMISSIONER BALCH: Well, I think  
24 referring to (2), (3), (4), but maybe those should  
25 actually really be (a), (b), and (c), if they are

1 going to use "notwithstanding the following."

2 MR. SMITH: Well, but if you are going to  
3 have --

4 CHAIRPERSON BAILEY: I have looked at the  
5 rest of the page, and I don't see any reason to have  
6 it.

7 COMMISSIONER BLOOM: I would agree with  
8 you.

9 MR. SMITH: Unless (2), (3), and (4) in  
10 some way imply that closure could be begun before  
11 the plan is approved.

12 COMMISSIONER BALCH: I think -- I don't  
13 know about the intent, but it seems like what we  
14 want to have happen is before they go to close  
15 they're going to notify OCD, period.

16 MR. SMITH: Well, and they do it with an  
17 approved plan.

18 COMMISSIONER BALCH: Well, they would have  
19 an approved plan when they file the original C-144.  
20 That's part of the -- you have to have an approved  
21 plan.

22 CHAIRPERSON BAILEY: Let's go ahead and  
23 delete "Notwithstanding the following."

24 COMMISSIONER BLOOM: Now we are really  
25 saying: "The operator shall first obtain approval."

1 COMMISSIONER BALCH: I think this is  
2 pretty clear. This is basically saying don't start  
3 your plan until you tell OCD you're going to do so.

4 COMMISSIONER BLOOM: Okay.

5 CHAIRPERSON BAILEY: And then number (2):  
6 "The operator shall demonstrate and comply with the  
7 siting criteria and the closure requirements."

8 COMMISSIONER BLOOM: Is that still  
9 subsection C up in Section 10?

10 CHAIRPERSON BAILEY: We are going to have  
11 marked -- go through every citation to make sure  
12 it's accurate.

13 COMMISSIONER BALCH: What is subsection C?

14 MR. SMITH: I'm so pleased.

15 CHAIRPERSON BAILEY: We've been  
16 manipulating so many paragraphs that...

17 COMMISSIONER BLOOM: On-site closure.

18 And then the last part seems strange, in  
19 that it's -- I mean...

20 CHAIRPERSON BAILEY: We're talking about  
21 the same subsection we are talking about.

22 COMMISSIONER BLOOM: Is that necessary?

23 COMMISSIONER BALCH: I think you just need  
24 to comply with the siting criteria.

25 COMMISSIONER BLOOM: In Section C?

1           CHAIRPERSON BAILEY: Yes, because the  
2 closure plan is part of the permit application  
3 process, where it gets approved or not. So we could  
4 eliminate that whole phrase.

5           COMMISSIONER BLOOM: Yeah.

6           CHAIRPERSON BAILEY: Then going to  
7 paragraph (3), "prior to closure," here's where you  
8 were thinking, maybe.

9           COMMISSIONER BLOOM: Reasonably  
10 achievable.

11          COMMISSIONER BALCH: I think the reason  
12 they added that language is because "all" is pretty  
13 definitively -- I mean, if you were to take  
14 materials -- if you withdrew all the liquids from  
15 it, you put it in the kiln for a couple of weeks at  
16 500 degrees and then you would probably be  
17 99.9999 percent, you still wouldn't be in compliance  
18 of "all."

19          MR. SMITH: What -- would those liquids be  
20 free, though? I mean, is "free" the modification  
21 that does away with your concern about the kiln?

22          COMMISSIONER BALCH: I think the way it  
23 reads is fine. Whether the language "reasonably  
24 achieved" should remain there, I'm not sure.

25          CHAIRPERSON BAILEY: If there is a small

1 little puddle of free liquid in the middle of the  
2 pit sitting on top of high vis mud, you're not going  
3 to be able to reasonably get --

4 COMMISSIONER BALCH: You know, there was  
5 testimony kind of around this issue -- not at this  
6 directly, but just -- if you have a regulation that  
7 allows good practices, I can think of your puddle in  
8 the middle.

9 CHAIRPERSON BAILEY: Uh-huh.

10 COMMISSIONER BALCH: You're going to have  
11 some guy wearing boots walking out there with a hose  
12 to get that last little bit of liquid, and then you  
13 are compro- -- you know, you are risking  
14 compromising your liner for not a very large gain.

15 And something like that would be an  
16 example of why "reasonably achievable" might be a  
17 good criteria.

18 CHAIRPERSON BAILEY: My only problem with  
19 this paragraph is that it should have a "D" with  
20 "closed-loop system" on the line below.

21 Commissioners, are you okay with paragraph  
22 (3) the way it's written?

23 COMMISSIONER BLOOM: I was checking to see  
24 if OCD had any comments on that, but I don't believe  
25 I see any.

1                   COMMISSIONER BALCH: So in this case I  
2 think the tank associated with a closed-loop system  
3 is fine, because you are going to drain off the  
4 liquids, and there will be sludge in the bottom of  
5 the tank that they will just shovel out probably  
6 onto the pad, so that's fine.

7                   COMMISSIONER BLOOM: Yes, that's fine.

8                   CHAIRPERSON BAILEY: Okay. On to  
9 paragraph (4): "Prior to closure of the existing  
10 pit or transferring the waste contents from a drying  
11 pad and tank associated with a closed-loop system  
12 into a temporary pit or burial trench," I would like  
13 to put the words "for closure" after "trench," just  
14 so we know that it's being put over there for  
15 closure rather than just whatever other purpose that  
16 could be.

17                  COMMISSIONER BALCH: You want "for  
18 closure" at the beginning instead of "prior to"?

19                  CHAIRPERSON BAILEY: It could be  
20 unnecessary words. "The operator shall stabilize or  
21 solidify to a bearing capacity sufficient to support  
22 a mix in contents with a ratio no greater than  
23 3-to-1, and then pass the paint filter test, EPA  
24 9095 or subsequent -- relevant subsequent  
25 publication."

1                   COMMISSIONER BALCH: And again, I think  
2 anything associated with it is good for this  
3 definition.

4                   CHAIRPERSON BAILEY: So are we okay with  
5 paragraph (4)?

6                   MR. SMITH: Just for the record, did  
7 you-all have testimony on the 3-to-1 mix?

8                   COMMISSIONER BALCH: That's a carryover,  
9 isn't it, from the original rule?

10                  CHAIRPERSON BAILEY: It is a carryover  
11 from the original.

12                  COMMISSIONER BALCH: There was no  
13 testimony, and we are leaving it alone.

14                  CHAIRPERSON BAILEY: Yes. Trenches should  
15 have an apostrophe instead of the E, on the fourth  
16 line down where it talks about "trench's final  
17 cover."

18                  Yes. Subtract the E and put in an  
19 apostrophe.

20                  Okay.

21                  MR. SMITH: Just for clarity later on, why  
22 don't you do a search for "publication" and make  
23 sure that it's all either relevant subsequent or  
24 subsequent relevant and just make them consistent.

25                  Is that okay?



1 CHAIRPERSON BAILEY: Yes, please.

2 And then we can go to paragraph (5), where  
3 groundwater is 100 feet or less from the base of the  
4 disposal pit or trench. We are talking closure. We  
5 are talking about sampling.

6 COMMISSIONER BALCH: Now, here, I think  
7 the five-point test is appropriate, because you are  
8 sampling mixed material.

9 CHAIRPERSON BAILEY: Because we will have  
10 mixed it and stabilized it to the -- okay.

11 This doesn't talk about the paint filter  
12 liquids test, because that was referred to in the  
13 paragraph above.

14 That should be Table I, not Table II, in  
15 the last line.

16 Just as a side note, we still need to  
17 determine what those concentration limits are in  
18 Table I. We just decided to use that table, but not  
19 particularly accepting what those limits are as  
20 proposed.

21 COMMISSIONER BALCH: We haven't discussed  
22 it.

23 CHAIRPERSON BAILEY: That's right.

24 COMMISSIONER BLOOM: Madam Chairman, OCD,  
25 on page 10 of its closing -- or findings of fact

1 does have some slightly different language for (4)  
2 and (5) to split up...

3 CHAIRPERSON BAILEY: Are you talking about  
4 page 8?

5 COMMISSIONER BLOOM: Page 10, I'm sorry.

6 CHAIRPERSON BAILEY: Page what?

7 COMMISSIONER BLOOM: Page 10, number (4)  
8 at the top of page 10.

9 CHAIRPERSON BAILEY: So it adds the  
10 sentence: "When transferring the waste contents  
11 from a drying pad and tank associated with the  
12 closed-loop system into a temporary pit or burial  
13 trench, the operator shall stabilize or solidify the  
14 waste contents to a capacity sufficient" -- so it  
15 repeats the language.

16 COMMISSIONER BLOOM: It breaks it up.  
17 Yeah, I think it still drives the same point, that  
18 the operator shall stabilize -- stabilize or  
19 solidify the contents to a bearing capacity, so  
20 that's okay.

21 The line below, there's no inclusion of  
22 groundwater is 100 feet or less from the base of the  
23 disposal pit or trench, so that's the recommendation  
24 there.

25 CHAIRPERSON BAILEY: To remove that?

1 COMMISSIONER BALCH: I don't think they  
2 are addressing this (5) in their findings.

3 COMMISSIONER BLOOM: I think they're just  
4 saying that after the solidification and  
5 stabilization has been determined, then you collect  
6 a five-point sample.

7 COMMISSIONER BALCH: Okay. What OCD did  
8 was they moved the qualification portion to table --  
9 what we call now Table I.

10 CHAIRPERSON BAILEY: Uh-huh.

11 COMMISSIONER BALCH: What the intent -- or  
12 not the intent. I think what they are trying to  
13 present here is that if the groundwater is greater  
14 than 100 feet you don't need to do a five-point  
15 composite test. So maybe that could be more clearly  
16 stated or perhaps debated, if we need to debate  
17 that.

18 CHAIRPERSON BAILEY: Well, (6) deals with  
19 depth to groundwater greater than 100 feet, so they  
20 broke it out.

21 COMMISSIONER BALCH: Okay. But if there  
22 is no qualifying statement in (5)...

23 COMMISSIONER BLOOM: Just because depth to  
24 groundwater might be greater than 100 feet doesn't  
25 tell us what the distance to the surface might be.

1 And if the --

2 COMMISSIONER BALCH: Well, there's a --

3 COMMISSIONER BLOOM: -- pit contents, even  
4 after mixing, were highly contaminated no action  
5 would be required.

6 COMMISSIONER BALCH: The green here is  
7 from IPANM.

8 CHAIRPERSON BAILEY: Uh-huh.

9 COMMISSIONER BALCH: We are trying to  
10 correlate OCD's findings with these two numbers.

11 They're replacing (5) with a much shorter  
12 sentence where you always take a five-point  
13 composite test.

14 And then they have if you exceed or you do  
15 not exceed -- and then it just goes on. If you do  
16 exceed -- well, I guess you couldn't dispose on  
17 site.

18 CHAIRPERSON BAILEY: But there's also that  
19 phrase at the end of (5), "or a division-approved  
20 alternative concentration limit," which OCD does not  
21 have in their --

22 COMMISSIONER BALCH: You know, I mean,  
23 this maybe comes down to a place where a  
24 site-specific variance could be sought if the  
25 concentrations were high. For example, if you were

1 in an area where the groundwater was at 500 feet you  
2 may not be concerned about chlorides in the waste.

3 CHAIRPERSON BAILEY: But if groundwater is  
4 100 feet, then I'm not particularly in favor of the  
5 division-approved alternative.

6 COMMISSIONER BALCH: Or 99 or 100 --

7 CHAIRPERSON BAILEY: Yeah.

8 COMMISSIONER BALCH: -- or 1, 101.

9 CHAIRPERSON BAILEY: Yeah. And it's --  
10 it's trying to make a distinction there based on the  
11 depth to groundwater as to what the closure testing  
12 is all about. (5) requires testing, (6) does not.

13 COMMISSIONER BLOOM: Madam Chair, I'm  
14 looking at the OCD's proposed language in this  
15 binder as well, and there is completely different  
16 language suggested in there.

17 CHAIRPERSON BAILEY: The OCD language for  
18 paragraph number (4) in the binder I think is very  
19 clear.

20 COMMISSIONER BALCH: I think so, too. I  
21 like how they have broken it into two paragraphs.

22 CHAIRPERSON BAILEY: Commissioner Bloom,  
23 did you like the way that was presented also?

24 COMMISSIONER BLOOM: Right now we have  
25 "for closure of the existing..."

1           Yes, I think that's a little better  
2     written.

3           COMMISSIONER BALCH: Well, it will be (4).  
4     It's in the sidebar there.

5           MR. SMITH: While Theresa is putting that  
6     in, let me ask you: There are references here to a  
7     mixing ratio of greater than 3-to 1.

8           COMMISSIONER BALCH: Not greater than  
9     3-to-1. Basically --

10          MR. SMITH: Well, it says: "The operator  
11     shall not mix the contents with the soil or other  
12     material at a mixing ratio of greater than 3-to-1.

13                 Shouldn't that be less than 3-to-1?  
14     Greater than 3-to-1 would be 4-to-1, 5-to-1, and you  
15     don't -- that's okay, isn't it?

16          COMMISSIONER BALCH: Well, I guess I  
17     can't -- first of all, nobody asked us to change  
18     this, and it was in the part of the original pit  
19     rule hearing and deliberations, so I don't think we  
20     can change it anyway.

21                 But the -- I believe the reason why they  
22     say "not greater than" is you could take pure salt  
23     and mix it with dirt, and you end up with half salt.  
24     Or you could -- equal -- if you used equal volumes.

25                 But if you used 10 times as much dirt, you

1 have a 10 percent salt. The salt is still there,  
2 it's just distributed across a greater volume. So  
3 this is to eliminate -- the reason I think the "not  
4 greater than 3-to-1" is in there is not to impact  
5 the amount of salt necessarily -- chlorides or other  
6 contaminants in a particular volume, but to restrict  
7 the amount that could be leached out of that  
8 material to the limit set.

9 CHAIRPERSON BAILEY: Since the size of  
10 your bowl is the same, the volume of salt within  
11 that bowl is the same.

12 COMMISSIONER BALCH: No matter how big you  
13 make the bowl you still have the same amount of  
14 salt. But you can dilute it to the point where it  
15 will pass the paint filter test. But if you leached  
16 all of that salt out, you would exceed the  
17 concentration that we are intending to be as  
18 protective.

19 We haven't quite gotten to that table yet,  
20 but there's a good reason for the not greater than  
21 3-to-1.

22 COMMISSIONER BLOOM: I have some questions  
23 as well, since we haven't heard any testimony on it.

24 COMMISSIONER BALCH: Well, nobody asked us  
25 to change it, so nobody really talked about it. But

1 the intent was to -- is to prevent you from  
2 basically just making it a larger volume that still  
3 contains the same amount of waste, which could then  
4 be leached. It's to limit the amount of waste in  
5 place that could be leached through.

6 MR. SMITH: Well, let me -- let me say  
7 this.

8 I think that if this said the opposite of  
9 what you wanted it to say, in the same vein as  
10 correcting mistakes that we talked about earlier, I  
11 think you would have the authority to change that.  
12 But if "if greater than" is correct from your  
13 perspective, you know certainly better than I.

14 COMMISSIONER BALCH: They don't want you  
15 to mix it more than 3-to-1. That's --

16 MR. SMITH: So can they mix it 2-to-1?

17 COMMISSIONER BALCH: You can mix it 2-to-1  
18 or 1-to-1 or .5-to-1 or 2.5-to-1.

19 MR. SMITH: The first number being the  
20 non-waste?

21 COMMISSIONER BALCH: Right. 2.999-to-1.

22 MR. SMITH: Right? The first number is  
23 non-waste?

24 COMMISSIONER BALCH: Right.

25 MR. SMITH: And the number after the colon



1 is waste?

2 COMMISSIONER BALCH: No, it's the other  
3 way around.

4 CHAIRPERSON BAILEY: Yes. Because that's  
5 the way it's defined in the wording.

6 COMMISSIONER BALCH: Soil to contents,  
7 3-to-1. So you could have 3 soil to 1 contents.  
8 And "contents," here, is referring to the waste  
9 material.

10 MR. SMITH: Tell me again which is 3.

11 COMMISSIONER BALCH: Okay. If we are in  
12 the top section labeled (4): "The operator shall  
13 not mix the contents with soil or other material at  
14 a mixing ratio of greater than 3-to-1 soil or other  
15 material to contents."

16 So if soil or other material to contents  
17 is what you are using for the 3-to-1, soil is 3,  
18 other contents is 1. Soil or other material is the  
19 3. Contents is the 1.

20 MR. SMITH: Okay. So you are diluting the  
21 1 with the 3.

22 COMMISSIONER BALCH: Uh-huh.

23 COMMISSIONER BLOOM: Yes.

24 MR. SMITH: All right. So if you dilute  
25 2-to-1, aren't you going to be diluting it less?

1 COMMISSIONER BALCH: Yes. But if you --  
2 if you know that the chloride concentration of your  
3 pit is low, say you are in the northwest and you're  
4 not using a KCL-based drilling mud and you know you  
5 are at 5,000-to-1, and the table says 2,500, if you  
6 can cut it in half you have already met the limit.

7 Also, you have not exceeded the leachate  
8 level, which has been modeled in their other  
9 testimony.

10 So basically, you're -- you're not having  
11 to provide that extra soil to dilute it 3-to-1. In  
12 fact, they may go out there and mix it 2-to-1, find  
13 out it doesn't match the test, and then add some  
14 more dirt and try again, as long as they don't  
15 exceed 3-to-1.

16 MR. SMITH: 3 soil to 1 waste?

17 COMMISSIONER BALCH: To 1 waste.

18 MR. SMITH: So 4 soil to 1 waste would be  
19 diluting it more, would it not?

20 COMMISSIONER BALCH: Yes.

21 MR. SMITH: And you want to prohibit that?

22 COMMISSIONER BALCH: Yes.

23 MR. SMITH: Okay. As long as it's what  
24 you want I am happy.

25 COMMISSIONER BALCH: Well, there was not

1 testimony to the effect that 3-to-1 should be  
2 increased. And my understanding of the modeling is  
3 that it was designed around X amount of  
4 concentration. And it doesn't matter if the  
5 concentration is distributed across a 1-foot layer  
6 or a 2-foot layer. If you have the same amount of  
7 chlorides in there, in theory, it could all be  
8 leached through. So you are trying to limit the  
9 amount of chlorides you could have in the waste bed.

10 CHAIRPERSON BAILEY: If you would pass me  
11 my...

12 COMMISSIONER BLOOM: What he means is you  
13 might get to a situation, where you may have  
14 10-to-1, and you would have so much more volume when  
15 you go back in the pit that you were trying to bury  
16 it in.

17 COMMISSIONER BALCH: Yes. I guess the  
18 bottom line is nobody asked us to change it, and  
19 it's reasonable -- or at least it passes the...

20 MR. SMITH: The bottom line for me is you  
21 have considered it and you are happy.

22 CHAIRPERSON BAILEY: Okay. So do we  
23 choose the upper paragraph (4) or the lower  
24 paragraph (4)?

25 I choose the lower paragraph (4) that the

1     OCD submitted. I believe it's clearer, and we would  
2     still have -- oh, you did go ahead and change our  
3     relevant subsequent publication.

4                 COMMISSIONER BLOOM: I, too, prefer the  
5     second language of OCD.

6                 COMMISSIONER BALCH: I believe that's more  
7     clear.

8                 CHAIRPERSON BAILEY: Okay. So would you  
9     please delete the upper one?

10                Okay. All right.

11                Our numbering became different from what  
12     the draft -- maybe not.

13                Okay. (5). We were talking about  
14     breaking it out for depth to groundwater from the  
15     base of the pit or the trench, whether or not we  
16     want to do that, that IPANM suggested or not.

17                COMMISSIONER BLOOM: I would -- not to  
18     include IPANM's suggested language, because the pit  
19     contents will also be approximately to the surface  
20     and could have effects later.

21                COMMISSIONER BALCH: I think I'm  
22     comfortable with -- based on the testimony of  
23     Dr. Buchanan in particular -- with just about any  
24     concentration as long as it's properly reclaimed, as  
25     far as going towards the surface.

1           The greater protection that you want to  
2   have at higher concentrations of chloride is going  
3   to be for vertical transport to an aquifer.

4           Again, you could make the argument, I  
5   think -- I think it was actually made by some of the  
6   witnesses that the salt bulge should be protected at  
7   pretty much any concentration.

8           And I believe under my cross-examination  
9   of Dr. Buchanan under rebuttal, that he testified --  
10   I asked him what would happen at 100 years, a  
11   thousand years, 10,000 years. And he said you would  
12   see the same salt bulge, you would just see higher  
13   concentrations.

14           I think the concern that I might have in  
15   this regard is -- is where we are asked to set a  
16   definitive limit for -- for burial.

17           And it comes down to a question. Do  
18   you -- if groundwater is sufficiently deep -- and  
19   whatever sufficiently is we may have to determine --  
20   is it safe to bury any concentration of chloride?

21           That essentially would allow on-site  
22   burial in the southeast part of the state.

23           If you remove the qualifier and only  
24   depend upon Table I, then you have a similar  
25   situation to the way you have now, where you cannot

1 bury it on site in most of the southeast.

2 So it comes down to what we, as  
3 commissioners think, first of all, was proposed and  
4 what we think is reasonable.

5 COMMISSIONER BLOOM: So if it's 100 feet  
6 to groundwater and you're using the kind of chloride  
7 concentrations that you need in the southeast, you  
8 could have concentrations of 200,000 milligrams  
9 per --

10 COMMISSIONER BALCH: Well, that would be  
11 in the liquid. So I don't know what it would -- how  
12 it would translate, but it would definitely be  
13 higher than the standards of Table I, I would say.

14 I would posit that at some groundwater  
15 depth it doesn't matter what the concentration of  
16 chlorides is. It's not going to get transmitted to  
17 groundwater.

18 COMMISSIONER BLOOM: It's also horizontal,  
19 as well.

20 COMMISSIONER BALCH: Another thing that  
21 was brought up in testimony, that I guess we really  
22 haven't discussed a whole lot, is because we are  
23 mostly dealing with one-dimensional models. You are  
24 taking your transport and it's in a straight line  
25 and then it's in another straight line. That's how

1 the models were presented to us, because they are  
2 one-dimensional, even though we are looking at two  
3 dimensions, a one-dimensional model in one direction  
4 and then another one-dimensional model in another  
5 direction.

6 If you were to model -- model this in a  
7 three-dimensional sense you have a fixed amount of  
8 chloride. And as you distribute that plume in a 3D  
9 volume the concentration will tend to diminish at  
10 the front. It's not like -- not like all the  
11 concentration goes down and then moves out. Some of  
12 it stays in the grid blocks or cells of the model  
13 that you pass it through, which correspond to real  
14 volumes of dirt in the real world.

15 So all of these are not taken into account  
16 in any of that at all. In that respect pretty much  
17 every model that was presented to us is probably  
18 going to be pretty conservative.

19 I think it really boils down to whether  
20 you want to allow on-site burial of high chloride  
21 waste in at least places in the southeast where  
22 groundwater is deep.

23 CHAIRPERSON BAILEY: Or nonexistent.

24 COMMISSIONER BALCH: Or nonexistent.

25 CHAIRPERSON BAILEY: Because there are

1 places such as that.

2 COMMISSIONER BALCH: And I would say that  
3 that would probably be better than disallowing it.

4 My concern would be more for the cases  
5 where you are close to 100 feet of groundwater.  
6 Because if you do have the worst-case scenario, then  
7 you have a chance for -- the risk versus the -- the  
8 possibility of whatever risk you are trying to  
9 mitigate gets higher as the chlorides go higher.

10 CHAIRPERSON BAILEY: So the effort to keep  
11 the chlorides from being transported vertically is  
12 absolutely dependent on the reclamation at the  
13 surface?

14 COMMISSIONER BALCH: Well, it's -- I would  
15 say that for the vertical -- to the point where you  
16 are not trying to create a scenario where you have a  
17 playa lake flowing on top of your site, where you're  
18 going to have your infiltration rate greater than  
19 that which is presented by nature. That's where  
20 your risk comes in.

21 I think the evidence that was presented to  
22 us, all of the cross-sections that were dug for all  
23 the various pits -- you do see the salt bulge.  
24 There's a natural limit based on infiltration.

25 CHAIRPERSON BAILEY: Yes.



1           COMMISSIONER BALCH: If your reclamation  
2 is such that it prevents infiltration from occurring  
3 at that site is greater than natural levels, then I  
4 think virtually any chloride level will be fine,  
5 because you're going to get down to the salt bulge.

6           As Dr. Buchanan said, your concentration  
7 will increase but your location of it will not.

8           CHAIRPERSON BAILEY: And Dr. Neeper's  
9 cartoons indicating the -- I hope everyone  
10 understands cartoon is not something funny. I mean,  
11 it's a drawing.

12           The drawings that he had of the salt bulge  
13 that were graphed indicated that at some depth below  
14 that salt bulge the concentrations of chlorides  
15 became equal to what the natural concentration was.

16           COMMISSIONER BALCH: Whatever was in the  
17 soil below that level.

18           CHAIRPERSON BAILEY: That's right. And so  
19 the whole point of allowing burial for these very  
20 high chloride concentrated drilling muds is to  
21 ensure that we maintain the salt bulge at a level  
22 that does not conflict with the depth to  
23 groundwater. It doesn't create problems.

24           COMMISSIONER BALCH: You want to make sure  
25 that your salt bulge is always well above

1 groundwater.

2 CHAIRPERSON BAILEY: Exactly.

3 COMMISSIONER BALCH: That's where the  
4 protection comes in.

5 CHAIRPERSON BAILEY: And the resumption of  
6 the concentration back to natural levels ensures  
7 that whatever we do --

8 COMMISSIONER BALCH: Again, we are talking  
9 about the case where you are dealing with solid  
10 waste in unsaturated flow conditions.

11 CHAIRPERSON BAILEY: That's right.

12 COMMISSIONER BALCH: But if you have an  
13 operational problem you could have greater vertical  
14 transport over a short period of time. However, we  
15 have already built in limitations on how long an  
16 unobserved operational leak would be occurring for,  
17 and there are remediation standards in the spill  
18 rule.

19 CHAIRPERSON BAILEY: So if groundwater is  
20 greater than 100 feet below the bottom of the pit --

21 COMMISSIONER BALCH: Or the bottom of the  
22 pit --

23 CHAIRPERSON BAILEY: -- then we can feel  
24 fairly certain that the salt bulge will occur within  
25 the top 20 or 30 feet, as I pointed out to

1 Dr. Neeper during the testimony.

2 Why don't we take a break until 10 after  
3 4:00.

4 (A recess was taken from 4:00 p.m. to 4:11  
5 p.m.)

6 CHAIRPERSON BAILEY: If we look at  
7 paragraph (5), it triggers the need for sampling and  
8 comparison with Table I.

9 If we look at paragraph (6), it says no  
10 sampling is required. That whatever that content  
11 is, if the depth to groundwater is greater than 100  
12 feet, then we could still have on-site burial. To  
13 me, that's the big distinction of (5) and (6), and  
14 including the depth to groundwater as one of the  
15 qualifiers.

16 COMMISSIONER BALCH: Well, okay. We are  
17 looking at more than just chlorides. We are also  
18 looking at BTEX, benzene, and TPH. And I think it's  
19 fair that we want to limit composition of the  
20 material in those respects.

21 Well, not necessarily being concerned  
22 about chloride contamination of groundwater, if you  
23 remove any testing at all, then you could have any  
24 level of TPH, BTEX, and benzene if groundwater is  
25 greater than 100 feet.

1           So I think we may want to be careful to  
2   specify that we -- I'm thinking that that would be  
3   an unintentional, perhaps, impact of keeping the  
4   language the way it's written now.

5           CHAIRPERSON BAILEY: So that it doesn't  
6   matter what the depth to groundwater is. A sample  
7   will be taken if the analysis shows that the  
8   impact --

9           COMMISSIONER BALCH: -- BTEX, benzene, and  
10   TPH --

11          CHAIRPERSON BAILEY: -- that are in Table  
12   I are not exceeded --

13          COMMISSIONER BALCH: Excluding chloride.

14          CHAIRPERSON BAILEY: -- burial can go  
15   ahead and take place.

16          COMMISSIONER BALCH: That's what I would  
17   feel comfortable with.

18          CHAIRPERSON BAILEY: So your suggestion is  
19   to remove IPANM's language, if groundwater is 100  
20   feet, to make no distinction.

21          COMMISSIONER BALCH: I think you have to  
22   test for the other constituents.

23          CHAIRPERSON BAILEY: Commissioner Bloom,  
24   do you agree that we should delete the suggested  
25   language that makes a distinction in the depth to

1 groundwater so that any depth to groundwater is  
2 tested?

3 COMMISSIONER BLOOM: Yeah, I agree you  
4 could test it. And I'm concerned about chlorides as  
5 well, but at least this would include a test to look  
6 at the benzenes. So...

7 COMMISSIONER BALCH: Benzene, BTEX, and  
8 TPH.

9 CHAIRPERSON BAILEY: Okay. So we are  
10 agreeing to delete the language in green.

11 COMMISSIONER BALCH: The reason for that  
12 distinction is those are the components that would  
13 be more likely to impact the near surface, so we  
14 don't want to have increasingly large volumes of  
15 those.

16 CHAIRPERSON BAILEY: Let's make sure that  
17 any table reference in both (5) and (6) refer to  
18 Table I.

19 MR. SMITH: In (6), the reference to the  
20 constituent concentrations in Table I --

21 CHAIRPERSON BAILEY: Yes.

22 MR. SMITH: -- is that after stabilization  
23 with soil?

24 CHAIRPERSON BAILEY: Yes.

25 MR. SMITH: Or before, either way?

1 CHAIRPERSON BAILEY: After stabilization  
2 will qualify.

3 So, Theresa, on the third line of  
4 paragraph (6) we need to change it. At the very  
5 beginning of the third line of the paragraph (6)  
6 change it to Table I, please, and delete the green  
7 language.

8 COMMISSIONER BALCH: Without discussing  
9 the pros of Table I, I would suggest that we would  
10 have to add a third category. Right now it's 25 to  
11 50, greater than 50.

12 I think we would agree to have 25 to 50,  
13 between 50 and 100, and then greater than 100. And  
14 then we wouldn't have to specify "excluding  
15 chloride" in the language. We could just have a  
16 dash for that chloride, or not have a chloride  
17 concentration greater than 100, but retaining  
18 concentrations with TPH, BTEX, and benzene.

19 So if you go to the bottom of Table I --  
20 and I don't know if you can do this very easily.  
21 But we would need a third block. So you have a  
22 block of 25 to 50, you would have a block of greater  
23 than 50. If we could -- I think if you copy all of  
24 that.

25 Are you good at manipulating tables,

1 Theresa?

2 All right. You know what I'm trying to  
3 get at?

4 For the commission I would say that you  
5 would have 25 to 50, 50 to 100, and greater than  
6 100. The greater than 100 would have TPH, BTEX, and  
7 benzene, but no chloride concentration.

8 CHAIRPERSON BAILEY: Because we do not  
9 have the evidence to show any changes in TPH, BTEX,  
10 or benzene.

11 COMMISSIONER BALCH: Well, the witnesses  
12 from NMOGA testified that those levels were safe for  
13 greater than 50 feet.

14 CHAIRPERSON BAILEY: Right.

15 COMMISSIONER BALCH: And we could not  
16 extrapolate that those numbers have changed, either.  
17 But we haven't gotten to the point of talking about  
18 those numbers yet. I just want to put in the third  
19 provision so that we can avoid having to put  
20 "excluding any" text into the rule. We have a table  
21 in there, so we'll use it.

22 CHAIRPERSON BAILEY: It certainly helps  
23 everybody understand what the requirements are.

24 COMMISSIONER BLOOM: Mr. Balch, you are  
25 saying you want it to be greater than 100?

1 COMMISSIONER BALCH: That one will be  
2 greater than 100. The middle one will be 50 to 100.

3 And this is what was testified to by  
4 NMOGA's witness as protective.

5 And as Commissioner Bailey pointed out,  
6 there is no way we could extrapolate those numbers  
7 to be greater -- greater than 100 feet, but we could  
8 use those same numbers because they have already  
9 testified to be protective at greater than 50, and  
10 100 is greater than 50.

11 CHAIRPERSON BAILEY: And while we are  
12 modifying it, the left-hand column should say "below  
13 the bottom of the trench pit," so that there's never  
14 any question on enforcement.

15 COMMISSIONER BALCH: Technically, that  
16 second range should be 51 to 100, also.

17 CHAIRPERSON BAILEY: And we can fill in  
18 the rest of it when we have the discussion on what  
19 those numbers should be.

20 COMMISSIONER BALCH: That takes us back to  
21 27.

22 CHAIRPERSON BAILEY: Back to page 27.  
23 We have just completed paragraphs (5) and  
24 (6).

25 And now we are looking at paragraph (7):



1 "Upon achieving all applicable waste stabilization  
2 and transfer of the wastes, operator shall cover the  
3 pit trench with" -- and let's delete the word  
4 "compacted." Number (7), yes. We have agreed  
5 compacted. We have already agreed that that was an  
6 incorrect way of filling in a trench or a pit,  
7 according to Dr. Buchanan.

8 MR. SMITH: I would like to suggest that  
9 in (6), after the word "if," you set off in commas  
10 "after appropriate stabilization."

11 CHAIRPERSON BAILEY: Okay. Because it's  
12 clear in (7), but not specific in (6).

13 MR. SMITH: Right.

14 CHAIRPERSON BAILEY: So would you put that  
15 in, Theresa, and we'll look at it.

16 COMMISSIONER BLOOM: It seems like in (6),  
17 the first sentence is a bit of a fragment. Right  
18 now it just says "if the contents do not exceed any  
19 of the constituent concentrations."

20 COMMISSIONER BALCH: That's true. It  
21 would be similar to what is in (4) when you say they  
22 may be -- may be disposed of.

23 COMMISSIONER BLOOM: It should be, then,  
24 operator can either proceed to dispose of wastes in  
25 an existing --

1 MR. SMITH: You need a comma after "NMAC,"  
2 I think, and then "the operator may."

3 COMMISSIONER BLOOM: I just think -- all  
4 right.

5 CHAIRPERSON BAILEY: You're happy with  
6 that?

7 COMMISSIONER BALCH: I think so.

8 CHAIRPERSON BAILEY: Okay. In paragraph  
9 (7) we also had a reference to non-waste-containing  
10 earthen materials. I would like to insert the word  
11 "uncontaminated" before "earthen" here.

12 COMMISSIONER BALCH: Non-waste-containing,  
13 uncontaminated.

14 Are we referring to the right paragraph  
15 now?

16 CHAIRPERSON BAILEY: No telling, with all  
17 of the renumbering that we've done.

18 COMMISSIONER BALCH: Do you want to make a  
19 note to yourself that that appropriate paragraph  
20 needs to be identified?

21 MR. SMITH: I will go through and check  
22 all cross-references and then call them to your  
23 attention when you get the order.

24 CHAIRPERSON BAILEY: Good. Thank you.

25 Are we happy with paragraph (7), then?

1 COMMISSIONER BALCH: Yes. In  
2 paragraph (2) was where we were talking about the  
3 definition standards.

4 COMMISSIONER BLOOM: Where is the  
5 appropriate place to discuss that the top liner is  
6 necessary?

7 COMMISSIONER BALCH: That would also be in  
8 the --

9 COMMISSIONER BLOOM: Is that up above  
10 in --

11 CHAIRPERSON BAILEY: In reclamation.

12 COMMISSIONER BALCH: -- in reclamation.

13 COMMISSIONER BLOOM: Okay.

14 CHAIRPERSON BAILEY: Looking at  
15 paragraph (8), we deleted the difference from  
16 groundwater -- depth to groundwater previously.

17 COMMISSIONER BLOOM: Now that becomes  
18 Table I, correct?

19 CHAIRPERSON BAILEY: Correct.

20 COMMISSIONER BALCH: I think we don't need  
21 Section (8) anymore. I think Sections (6) and (7),  
22 along with Table II, with that added row, takes care  
23 of this case.

24 CHAIRPERSON BAILEY: I agree with you,  
25 because that table is going to be the -- make that

1 distinction.

2 COMMISSIONER BLOOM: And so what happens  
3 if something exceeds it?

4 COMMISSIONER BALCH: If you exceed BTEX,  
5 benzene, or TPH in the new Table I -- and we haven't  
6 achieved it -- we haven't talked about those limits  
7 yet.

8 COMMISSIONER BLOOM: Right.

9 COMMISSIONER BALCH: But if you exceed  
10 them, then you can't bury on site.

11 COMMISSIONER BLOOM: Okay. But you are  
12 talking about getting rid of the entire  
13 paragraph (8) there?

14 COMMISSIONER BALCH: I think it's covered  
15 by the table and language in (6) and (7).  
16 Basically, you are going to go in there and you're  
17 going to do your paint filter test after you  
18 stabilize. You're going to check it -- your results  
19 versus two things.

20 First is what's your depth to groundwater.  
21 You look that part up on the table, and then you  
22 will check the concentrations. You will either meet  
23 them -- if you are under them, then you can proceed  
24 to closure.

25 And if not, we don't explicitly yet say

1    what you do. But I think the assumption would be  
2    you can't close on site.

3               Now, we can explicitly state that if you  
4    exceed -- if the contents -- if you want to replace  
5    (8) with something that reads like: "If the  
6    contents, after mixing with soil your non-waste  
7    material to the maximum ratio of 3-to-1 from a  
8    temporary pit or drying pad/tank" -- the language  
9    here is different than elsewhere -- "associated with  
10   a closed-loop system exceed any of the  
11   components" -- what's subsection A?

12              That's removal?

13              COMMISSIONER BLOOM: No, that's closure  
14   where wastes are destined for disposal at a  
15   division-approved off-site.

16              COMMISSIONER BALCH: Okay.

17              COMMISSIONER BLOOM: So I think you need  
18   (8) because it's going to say if you don't meet the  
19   requirements in Table I --

20              COMMISSIONER BALCH: We'll just need a  
21   change of language a little bit, I think.

22              COMMISSIONER BLOOM: -- if you don't meet  
23   the requirements in Table I, then you have to go up  
24   to A above and take it to a division-approved  
25   off-site facility.

1 COMMISSIONER BALCH: That would be  
2 correct.

3 COMMISSIONER BLOOM: Okay.

4 I'll tell you what we don't need is, I --

5 COMMISSIONER BALCH: I think it is  
6 important to explicitly state what happens in the  
7 worst case.

8 CHAIRPERSON BAILEY: But we can delete the  
9 language in green.

10 COMMISSIONER BALCH: Yes.

11 And we may want to -- some of the language  
12 here that we -- words that are different from other  
13 paragraphs. For example, relating to 3-to-1 ratio  
14 and temporary pit or drying pad and tank, this is  
15 the only place I see pad/tank. You may want to use  
16 that similar language that we have in (5) or (4).

17 CHAIRPERSON BAILEY: Well, we have that  
18 similar language in (5), where we have pad/tank.

19 COMMISSIONER BALCH: Okay. We may need to  
20 do that later. Okay. That's fine. I think it's  
21 fine for now. We can come back to it.

22 CHAIRPERSON BAILEY: We can go to  
23 paragraph (9): "If the operator has removed the  
24 wastes and the liner," operator shall test soils,  
25 the five-point composite sample analyzed for

1 constituents of Table I. If they are exceeded, the  
2 division may require additional delineation.

3 COMMISSIONER BALCH: That's interesting.

4 CHAIRPERSON BAILEY: Uh-huh.

5 COMMISSIONER BALCH: I would just say  
6 "additional action."

7 COMMISSIONER BLOOM: "Additional action"  
8 instead of "delineation"?

9 COMMISSIONER BALCH: Is this the division  
10 or is this the division district office?

11 CHAIRPERSON BAILEY: This is the division  
12 district office for closure of the temporary pit.

13 COMMISSIONER BALCH: Also, when we were  
14 talking about the five-point composites that were  
15 taken on the permanent pits and multi-well pits,  
16 tanks, and temporary pits, we had other language  
17 than what is in (a) here. It was to include  
18 discolored areas or other obvious contamination.

19 I don't know if it's appropriate to move  
20 some of that language here or if it's not necessary.

21 COMMISSIONER BLOOM: Well, if --

22 COMMISSIONER BALCH: Or would we just  
23 point at that language?

24 CHAIRPERSON BAILEY: So we're talking  
25 closure. We're talking about the pit contents that

1 had been mixed and stabilized. They are in the  
2 bottom of the pit or at the bottom of the trench.

3 COMMISSIONER BALCH: No, no. This is if  
4 you're --

5 COMMISSIONER BLOOM: This is about --

6 COMMISSIONER BALCH: This is after you've  
7 removed the waste and liner --

8 COMMISSIONER BLOOM: -- removed for  
9 off-site disposal.

10 COMMISSIONER BALCH: This might actually  
11 be a subsection to (8) rather than (9).

12 I think that (9) should be (8) (a),  
13 because if we are pointing this to the case of you  
14 didn't pass your tests, you are going to remove all  
15 of your material.

16 COMMISSIONER BLOOM: I see (9) as saying  
17 that if the waste in the liner had been taken for  
18 off-site disposal you still want to potentially test  
19 underneath the liner, and that's why that's there?

20 COMMISSIONER BALCH: Well, there's two  
21 cases where this could occur. I mean, there's more  
22 than two. But the two that come to mind is you  
23 wanted to take care of it there but you couldn't, so  
24 you have to remove all of the material.

25 The other is if you are cleaning the pit



1 up in that location and moving the material to  
2 another on-site location.

3 So maybe you're right. Maybe it does have  
4 to be its own separate entity.

5 COMMISSIONER BLOOM: Right. Before I  
6 forget, (9) (a), I think there should be the word  
7 "and" between "taken" and "analyzed."

8 COMMISSIONER BALCH: Yes.

9 Do you recall where we had the language  
10 for the five-point composite sample already for the  
11 permanent pits?

12 CHAIRPERSON BAILEY: That was in 13 A (3)  
13 (a).

14 COMMISSIONER BALCH: We changed the  
15 language there to be a little more complicated.

16 COMMISSIONER BLOOM: We could use that  
17 below, "with guidance"?

18 COMMISSIONER BALCH: Well, we modified how  
19 the fact when the composite sample was taken to  
20 be -- originally, you'd just go out there and sample  
21 five areas. I don't know if you measure, pace off,  
22 or whatever. But we wanted them to specifically  
23 target areas that had some evidence of  
24 contamination.

25 CHAIRPERSON BAILEY: I think it would be

1 appropriate to go ahead and copy that language and  
2 include it in (9) (a).

3 COMMISSIONER BALCH: Or replace (9) (a).

4 CHAIRPERSON BAILEY: Or to replace (9)  
5 (a).

6 COMMISSIONER BALCH: Okay. Delete  
7 "delineation" in (b).

8 COMMISSIONER BLOOM: (9) (b)?

9 COMMISSIONER BALCH: Yes.

10 COMMISSIONER BLOOM: Remove "delineation."

11 COMMISSIONER BALCH: And I think  
12 "complete" is redundant.

13 COMMISSIONER BLOOM: I would agree.

14 COMMISSIONER BALCH: It should read  
15 "before proceeding with closure."

16 CHAIRPERSON BAILEY: Where are you, (9)  
17 (a) or (b)?

18 COMMISSIONER BALCH: In (9) (b).

19 CHAIRPERSON BAILEY: If it's in (9) (a) it  
20 would be redundant as well.

21 COMMISSIONER BLOOM: Can you delete  
22 "complete" there?

23 MR. SMITH: You might want to say "if the  
24 results of such analysis exceed."

25 CHAIRPERSON BAILEY: In the first line of

1 (b) .

2 COMMISSIONER BALCH: Okay.

3 That's taken, if you're not specifically  
4 pointing, to apply to the preceding statement.

5 CHAIRPERSON BAILEY: Okay. Let's get  
6 through (c) and then call it a day.

7 COMMISSIONER BLOOM: We might add that  
8 same language, "if the results of the analysis do  
9 not exceed." Should we make that "with  
10 non-waste-containing uncontaminated earthen  
11 material"?

12 CHAIRPERSON BAILEY: Yes.

13 COMMISSIONER BALCH: And the rest of  
14 Section 13 is a large amount of deletion which  
15 primarily had to do with replacing that data into a  
16 table and then the table itself.

17 CHAIRPERSON BAILEY: But there are  
18 portions of the deleted sections that we may choose  
19 not to delete.

20 COMMISSIONER BLOOM: Could we do those  
21 tomorrow?

22 MR. SMITH: Madam Chair, I would like to  
23 ask a question before we move on, or before you move  
24 on.

25 You're referencing parameters here in

1 Table I. Do you recall -- have you previously  
2 referenced those as parameters or limits? And in  
3 any case, I think you want to be consistent in that  
4 reference.

5 COMMISSIONER BALCH: Okay. I think we  
6 can -- we can look at that. We'll certainly go to  
7 this section again once we have discussed Table I.


8 MR. SMITH: Okay. I just didn't want to  
9 forget it, and I will.

10 CHAIRPERSON BAILEY: All right. We will  
11 continue this case until Thursday morning, 9:00,  
12 here in Porter Hall. Thank you.

13 (Proceedings concluded.)  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## CERTIFICATE

I, Paul Baca, RPR, CCR in and for the  
State of New Mexico, do hereby certify that the  
above and foregoing contains a true and correct  
record, produced to the best of my ability via  
machine shorthand and computer-aided transcription,  
of the proceedings had in this matter.

A handwritten signature in cursive script that reads "Paul Baca". The signature is written in dark ink and is positioned above a horizontal line.

PAUL BACA, RPR, CCR  
Certified Court Reporter #112  
License Expires: 12-31-12