

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

ORIGINAL

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION COMMISSION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF DCP MIDSTREAM, LP, TO
RE-OPEN CASE NO. 13589 TO AMEND ORDER
NO. R-12546 FOR THE LIMITED PURPOSE OF
AUTHORIZING A SECOND ACID GAS INJECTION
WELL, LEA COUNTY, NEW MEXICO

Case No: 13589

REPORTER'S TRANSCRIPT OF PROCEEDINGS
COMMISSIONER HEARING

RECEIVED OOD
2013 JAN -4 P. 1:20

BEFORE: JAMI BAILEY, Chairman
DR. ROBERT BALCH, Commissioner
TERRY WARNELL, Commissioner

December 20, 2012
Santa Fe, New Mexico

This matter came on for hearing before the New
Mexico Oil Conservation Commission, JAMI BAILEY,
Chairman, on Thursday, December 20, 2012, at the New
Mexico Energy, Minerals and Natural Resources Department,
1220 South St. Francis Drive, Room 102, Santa Fe, New
Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91
Paul Baca Professional Court Reporters
500 Fourth Street, N.W., Suite 105
Albuquerque, NM 87103 505-843-9241

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE NEW MEXICO OIL CONSERVATION COMMISSION:

BILL BRANCARD
Assistant General Counsel
1220 S. St. Francis Drive
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

HOLLAND & HART, LLP
ADAM G. RANKIN, ESQ.
110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501
(505)988-4421

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

GABRIELLE GERHOLT, ESQ.
1220 S. St. Francis Drive
Santa Fe, New Mexico 87505
(505)476-3450

FOR THE SMITHS and THE SMITH FARM AND RANCH:

MILLER STRATVERT, P.A.
RICHARD L. ALVIDREZ, ESQ.
500 Marquette Ave., N.W., Suite 1100
Albuquerque, New Mexico 87102
(505)842-4737

ALSO PRESENT:

Randy Smith
Deb Tupler
Theresa Duran-Saenz

WITNESSES: PAGE

Alberto Gutierrez:

Direct examination by Mr. Rankin	15
Cross-examination by Ms. Gerholt	90
Cross-examination by Mr. Alvidrez	96
Examination by Commissioner Warnell	134
Examination by Commissioner Balch	144
Examination by Chairman Bailey	157

1	WITNESSES: (Continued)	PAGE
2		
	Roberto Torrico:	
3		
	Direct examination by Mr. Rankin	168
4	Cross-examination by Mr. Alvidrez	176
	Examination by Commissioner Balch	183
5		
	Steve Boatenhamer:	
6		
	Direct examination by Mr. Rankin	193
7	Cross-examination by Ms. Gerholt	204
	Cross-examination by Mr. Alvidrez	209
8	Examination by Commissioner Warnell	222
	Examination by Commissioner Balch	225
9	Examination by Chairman Bailey	236
	Further examination by Commissioner	
10	Balch	241
	Redirect examination by Mr. Rankin	242
11		
12	INDEX	PAGE
13		
	DCP EXHIBITS 1 THROUGH 5 AND EXHIBIT 7	
14	WERE ADMITTED	90
15	SMITH EXHIBIT 2 WAS ADMITTED (As amended)	216
16	REPORTER'S CERTIFICATE	247
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 CHAIRMAN BAILEY: Good morning. This is a
2 special meeting of the Oil Conservation Commission on
3 Thursday, December the 20th, in Porter Hall, in Santa Fe,
4 New Mexico.

5 To my right is Terry Warnell, who is the
6 designee of the Commissioner of Public Lands. To my left
7 is Dr. Robert Balch, who is the designee of the Secretary
8 of Energy, Minerals & Natural Resources. I am Jami
9 Bailey, Director of the Oil Conservation Division. And
10 today we have as Commission counsel Bill Brancard. There
11 is a quorum of the Commissioners here today.

12 We have a series of minutes of previous
13 meetings that will need to be addressed. On November
14 15th we held a meeting, and the Commissioners were Greg
15 Bloom, who is the designee of the Commissioner of Public
16 Lands; Robert Balch and I were part of that Commission
17 hearing.

18 Have you had a chance, Dr. Balch, to read the
19 minutes of November 15th, 2012?

20 COMMISSIONER BALCH: I have.

21 CHAIRMAN BAILEY: Do you support and make
22 a motion to adopt these minutes?

23 COMMISSIONER BALCH: I will make a motion
24 to adopt the minutes.

25 CHAIRMAN BAILEY: All those in favor?

1 Then I will sign on behalf of the Oil
2 Conservation Commission.

3 Commissioner Warnell, you were present for the
4 Oil Conservation Commission meeting held on December 6th,
5 2012. Have you had a chance to read the minutes of that
6 meeting?

7 COMMISSIONER WARNELL: I have.

8 CHAIRMAN BAILEY: Do I hear a motion to
9 adopt the minutes?

10 COMMISSIONER WARNELL: I'll make that
11 motion.

12 CHAIRMAN BAILEY: All those in favor?
13 Then I will sign on behalf of the Commission.

14 Dr. Balch, the minutes of the meeting of
15 September 24th, 2012, indicate that Greg Bloom was
16 representing the Commissioner of Public Lands. He is not
17 here today, but you and I were part of that meeting.
18 Have you had a chance to read the minutes of the
19 September 24th, 2012, meeting?

20 COMMISSIONER BALCH: I have read the
21 minutes.

22 CHAIRMAN BAILEY: Do I hear a motion to
23 adopt the -- oh, also the meetings that were held on
24 September 24th through the 27th, and October 1st, 4th and
25 5th, 2012. So it reflects quite a few days with the

1 minutes.

2 COMMISSIONER BALCH: I will make a motion
3 to adopt the minutes.

4 CHAIRMAN BAILEY: All those in favor?

5 And I will sign on behalf of the Commission.

6 Also, we have an order of the Commission
7 drafted to reflect the request of the Independent
8 Petroleum Association of New Mexico requesting a
9 dismissal of its petition in Case Number 14785 to the
10 extent that it seeks an amendment to NMAC 19.15.39.8(B).
11 This was at the request of the applicant.

12 Have you had a chance to read this draft
13 order?

14 COMMISSIONER BALCH: I have read the
15 draft.

16 CHAIRMAN BAILEY: Do I hear a motion to
17 sign this order on behalf of the Commission?

18 COMMISSIONER BALCH: I will make that
19 motion.

20 CHAIRMAN BAILEY: All those in favor?

21 I will sign, you will sign, and we will send
22 it to Commissioner Bloom for his signature. And I'll
23 transmit these to the substitute Commission secretary
24 today.

25 I will now call Case Number 13589, which is

1 the application of DCP Midstream LP to reopen Case Number
2 13589 to amend Order Number R-12546 for the limited
3 purpose of authorizing a second acid gas injection well
4 in Lea County, New Mexico.

5 I ask for appearances.

6 MR. RANKIN: Good morning, Madam Chair,
7 Commissioners. Adam Rankin, with Holland & Hart, on
8 behalf of applicant, DCP Midstream, LP. I'll have three
9 witnesses today and a brief opening statement. Thank
10 you.

11 MS. GERHOLT: Madam Chair, Commissioners,
12 Gabrielle Gerholt on behalf of the Oil Conservation
13 Division. The Division will present two witnesses today,
14 Will Jones, of the Engineering Bureau; and Elidio
15 Gonzales, the District 1 supervisor. I also will have a
16 short opening this morning.

17 MR. ALVIDREZ: Madam Commissioner and
18 Commissioners, Rick Alvidrez on behalf of the Smith Ranch
19 and Randy and Naomi Smith. And we will have five
20 witnesses, two live and three by telephone.

21 CHAIRMAN BAILEY: The first order of business
22 should be the request by DCP, a motion to file a late
23 exhibit. Would you care to comment about this motion to
24 file a late exhibit?

25 MR. RANKIN: Madam Chair, we filed this

1 late exhibit this week as a result of the Division's
2 request to collect an additional water sample. DCP had
3 submitted some earlier water samples that were a few
4 years old. And Mr. Jones, of the Division, had asked
5 Mr. Gutierrez, of Geolex, a consultant working on this
6 matter, to provide an updated water sample, which they
7 did.

8 The request was made last Wednesday. And the
9 water sample was collected and the results were returned
10 on Tuesday, and we hastened to file the water sample with
11 the Division and to file this motion.

12 I talked with Mr. Alvidrez, the counsel for
13 the Smiths, and my understanding is he does not oppose
14 the submission of this water sample as an exhibit today.

15 MR. ALVIDREZ: That's correct. We have no
16 objection.

17 CHAIRMAN BAILEY: Ms. Gerholt?

18 MS. GERHOLT: The Division definitely
19 doesn't have an objection, since we requested the
20 information.

21 CHAIRMAN BAILEY: Do I hear any discussion
22 from the Commissioners for accepting the late exhibit?

23 COMMISSIONER BALCH: I'm always in favor
24 of more data.

25 COMMISSIONER WARNELL: That's fine.

1 CHAIRMAN BAILEY: Then the Commission will
2 accept the late exhibit.

3 MR. RANKIN: Thank you, Madam Chair.

4 When it comes time, I have a hard copy which I
5 can distribute when we get to that exhibit, if you don't
6 already have it.

7 CHAIRMAN BAILEY: Do you have an opening
8 statement?

9 MR. RANKIN: I do. Thank you.

10 Madam Chair, Commissioners, DCP's application
11 to reopen this case is a for a very limited purpose.
12 It's to approve a second acid gas injection well. DCP
13 already has one AGI well approved and operating at this
14 facility. The proposed second well will be injecting
15 into the same formation that the Commission has already
16 approved for acid gas injection.

17 After three years of injecting through the AGI
18 Number 1 into the Lower Bone Springs, the same formation
19 that we're seeking to inject into today, you will hear
20 testimony that confirms that the Lower Bone Springs
21 formation is an ideal reservoir for the injection of acid
22 gas, better even than DCP thought when it originally
23 brought this case for the original well.

24 DCP is seeking approval for its second well to
25 improve reliability of the acid gas plant. You will hear

1 testimony that the second well is expected to have the
2 added benefit of reducing the potential for flaring and
3 the environmental impacts.

4 Every time the AGI Number 1 has to be shut
5 down, it creates a risk of damage to upstream wells and
6 the potential for environment impacts, such as flaring
7 and even possibly venting from wells upstream and damage
8 to those wells.

9 As you'll hear today, the AGI Number 1 did
10 experience some operational issues in late 2011, which
11 resulted in a minor limited leak of acid gas that was
12 fully contained within the well itself until it was
13 released during a workover in April of 2012. It was a
14 short duration release. It was limited, and it didn't
15 rise to a Category 2 event under the contingency plan.

16 Nonetheless, DCP took the cautious approach
17 and notified the Division and implemented its contingency
18 plan -- its workover contingency plan at the time. That
19 event, which caused the AGI Number 1 to be shut down for
20 approximately three weeks, necessitated the shutdown of
21 thousands of wells behind it, and it prompted the
22 Division itself to discuss and breach the topic of
23 implementing or drilling a second injection well in order
24 to increase the plant's operational reliability and to
25 avoid further shutdowns.

1 DCP liked the idea. The second well made
2 sense for a number of reasons that you'll hear today.
3 The Division itself is here to support this application.

4 It is, however, being opposed by the Smiths.
5 At the last hearing before the Commission in July 2011,
6 they expressed concerns over DCP's operation of the AGI
7 facility and raised the allegation that the well had
8 contaminated their water.

9 Now they think they have groundwater samples
10 to prove their allegations, and they have stipulated
11 penalties that DCP has paid the NMED that they think
12 indicate DCP's shoddy operations of the facility.

13 But as you'll hear shortly, these allegations
14 have no basis. The Smiths will present no information
15 that the Division doesn't already know or that should
16 have any bearing on the approval of this application. In
17 fact, the second well will only help to address their
18 concerns about flaring at the plant because it will
19 improve the plant's overall operations and reliability.

20 Finally, the claim that DCP's injection has
21 contaminated the well has absolutely no basis in fact,
22 either. As you'll hear and the Smiths' own evidence will
23 show, the well has fluctuating levels of sulfates and
24 sulfides which demonstrates almost to a diagnostic
25 certainty that their sulfur issues are related to

1 biological activity and not any impacts or effects from
2 the AGI well or injection. Thank you.

3 MS. GERHOLT: Good morning, Madam Chair,
4 Commissioners. The Division is not in opposition of
5 DCP's application to seek to allow the authority to
6 inject into a second well.

7 We do ask that if the Commission approves
8 that, that yearly MITs be required; that daily monitoring
9 of pressure data, diesel replacement, atmospheric H2S and
10 safety measures be required; and that monthly reporting
11 on the Form C-103, so that it will go into the well log,
12 is also included, if the Commission so chooses.

13 Finally, we ask that DCP be required to work
14 with the Division in providing immediate notification
15 parameters for the well, so if there is an issue with the
16 well, these parameters are met and immediate notification
17 to the Division and proper steps can be taken.

18 You will hear from both Mr. Jones and
19 Mr. Gonzales regarding their review of the C-108
20 application, and they are here to provide information to
21 the Commission and answer questions. Thank you.

22 CHAIRMAN BAILEY: Mr. Alvidrez, do you
23 have an opening?

24 MR. ALVIDREZ: Yes. Very briefly, Madam
25 Chair, Commissioners, we're here today on behalf of

1 Mr. and Mrs. Smith, who are neighbors to this acid gas
2 plant and even closer neighbors to the operating well
3 that currently exists and the new one that's being
4 proposed to be installed.

5 And the Smiths testified previously in this
6 docket with respect to their concerns because of the very
7 toxic nature of the gas that's being dealt with at this
8 plant and the fact that they are experiencing levels of
9 H2S in their wells from samples that they've taken and
10 are very concerned from a health standpoint about the
11 impacts to them and their family on their ranch, on their
12 property.

13 We think that the record of operation at this
14 facility has, in fact, been quite shoddy. In fact, it's
15 clear in the first part of the hearing that the reason
16 this well was installed in the first place was because
17 the Linam plant could not comply with applicable
18 environmental regulations, and this acid gas injection
19 well was supposed to be one of the means that was going
20 to help with compliance.

21 Of course, since that time and since the plant
22 has been operating, we've seen continued noncompliance
23 from an air quality standpoint. And certainly there's
24 been concerns, as evidenced by the Division's own
25 internal documentation, that the problems with the

1 existing well have existed for some period of time. In
2 fact, they were likely in existence when we had our last
3 hearing, yet they weren't really disclosed to anyone.

4 But there were probable tubing packer leaks
5 back in the winter of 2010. And we've seen the situation
6 where, in fact, those problems have led to a release of
7 toxic gas into the atmosphere. We had alarms going off.

8
9 I can tell you that the Smiths will testify
10 that when these happen, they don't get any warning. When
11 they see emergency things happening, they call the
12 numbers that were provided, and no one answers the phone.
13 And they live -- they've got a home next to this plant
14 and next to this well, and these are certainly very
15 concerning.

16 And we think it's incumbent upon the Division
17 and this Commission to ensure that there are adequate
18 safety procedures in place; that the integrity of the
19 existing well, as well as the new well, be established,
20 as well as the integrity of other wells in the area that
21 could be the cause or the source for what we're seeing on
22 the Smiths' property.

23 And that's why we're here today. And we hope
24 to get into these topics in a little more detail and hope
25 that the Commission will delve into these, as well, in

1 their questioning. Thank you.

2 CHAIRMAN BAILEY: Mr. Rankin, are you
3 ready to begin your case?

4 MR. RANKIN: I am, Madam Chair. Thank
5 you.

6 I'd like to call my first witness, Mr. Alberto
7 Gutierrez.

8 CHAIRMAN BAILEY: Would you please stand
9 to be sworn?

10 ALBERTO GUTIERREZ

11 Having been first duly sworn, testified as follows:

12 DIRECT EXAMINATION

13 BY MR. RANKIN:

14 Q. Mr. Gutierrez, can you please state your full
15 name for the record?

16 A. Yes. Alberto A. Gutierrez.

17 Q. And where do you reside?

18 A. I live in Albuquerque.

19 Q. By whom are you employed?

20 A. I'm employed by Geolex, Incorporated.

21 Q. What's your position with Geolex?

22 A. I'm the president of the company.

23 Q. What exactly does Geolex do?

24 A. Geolex is a consulting firm. We specialize in
25 environmental consulting, particularly geologic and

1 engineering issues. We have a variety of areas that we
2 specialize in, but primarily we specialize in the
3 evaluation and location and completion of acid gas
4 injection and disposal wells.

5 And we also do a lot of work related to
6 groundwater contamination, determination of groundwater
7 contamination sources, groundwater remediation and this
8 type of work.

9 Q. Mr. Gutierrez, have you previously testified
10 before the Commission?

11 A. Yes, I have.

12 Q. Just because this is a new constitution of the
13 Commission, would you please summarize your educational
14 background and experience? And I believe Exhibit 1 is a
15 summary of your CV, education and work experience; is
16 that correct?

17 A. That's correct. Basically, I am a geologist.
18 I attended McGill University in Montreal for a couple of
19 years. And I got my undergraduate degree from the
20 University of Maryland in Gemorphology in 1977.

21 Subsequent to that, I came to New Mexico and
22 went to graduate school at UNM. I got a degree in
23 geology and hydrogeology from UNM in 1980, a Master's
24 degree.

25 I am a Registered Professional Geologist in

1 approximately 20 states and have done work over the last
2 35 years all over the U.S. and abroad in this field.

3 Q. How many AGI wells approximately have you
4 worked on?

5 A. Probably about 15 wells overall. All of the
6 wells in New Mexico, with the exception of the Marathon
7 well.

8 Q. At the time you previously testified before
9 the Commission, were your qualifications as an expert in
10 groundwater contamination and hydrology and AGI design
11 and operation accepted and made a matter of record?

12 A. Yes, they were.

13 Q. This is a copy of your resume, is that
14 correct, Exhibit Number 1?

15 A. Yes, that's correct.

16 Q. Now, have you previously worked on this Linam
17 acid gas injection facility, the existing AGI Number 1?

18 A. Yes. Really, I've been involved in it from
19 the inception of the concept of having an AGI at the
20 Linam facility. My company and I personally did the
21 original feasibility study for the current AGI well, and
22 I testified in front of this Commission for the original
23 permitting of that well and then for a number of
24 subsequent changes that we made to that order.

25 Q. Originally, you evaluated the Lower Bone

1 Springs and the proposed injection zone for its
2 feasibility as a reservoir for injected acid gas?

3 A. Yes. We evaluated all the zones in that area,
4 and we chose the Lower Bone Springs as the best zone for
5 quite a number of reasons.

6 Q. So you prepared the C-108 that was filed with
7 the Division for the approval of the second acid gas
8 well; is that correct?

9 A. That's correct. I did the original one back
10 in 2005 and testified in 2006. And on October 29th of
11 this year, I turned in the application for the AGI Number
12 2.

13 Q. So you're very familiar with this application?

14 A. Yes, sir.

15 Q. Did you prepare any more exhibits to discuss
16 today?

17 A. Yes. I also prepared a PowerPoint to
18 summarize the key points of the application. And I
19 understand we're going to look at some of those slides as
20 we go through the testimony.

21 MR. RANKIN: Madam Chair, I'd like to
22 tender Mr. Gutierrez as an expert in AGI design and
23 operation, petroleum geology and groundwater
24 contamination.

25 CHAIRMAN BAILEY: Any objection?

1 MR. ALVIDREZ: No objection.

2 MS. GERHOLT: No objection.

3 CHAIRMAN BAILEY: He's so admitted.

4 Q. (By Mr. Rankin) Mr. Gutierrez, can you please
5 just provide the Commission -- you already touched on
6 this a little bit -- but just a little more background on
7 what you did with the original application, since it's
8 been a number of years now, just to familiarize the
9 Commission with the work that went into the original
10 application to analyze the injection formation and the
11 work that supported the application that you did?

12 A. Sure. Just by way of history, this was the
13 third AGI that was ever drilled in New Mexico. The first
14 one was done by Marathon quite a few years ago, and then
15 there was another one done by DCP at the Artesia plant,
16 and this was actually the third AGI that was drilled in
17 New Mexico.

18 In 2005 we were retained to do a feasibility
19 study to evaluate potential reservoirs. Ideally, the
20 original intent was to find a location for a well that
21 would be actually on the Linam plant itself.

22 However, when we did the geologic
23 investigation there, which involved evaluating available
24 well information from surrounding wells, we also
25 purchased a number of seismic lines so that we had

1 seismic control in the area.

2 We determined that unfortunately, at the plant
3 itself was not a good location because these reservoirs
4 are just not present and not adequate in the area of the
5 plant.

6 The plant is located on the northwest shelf,
7 which is a higher area in the subsurface between the
8 Delaware Basin to the west and the Midland Basin to the
9 east. And these formations that drape off of that -- the
10 Lower Bone Springs, in particular, which drapes off that
11 Central Basin Platform, as it's called, just was not
12 available at the plant site.

13 So we found, through our work and our
14 feasibility study, that the best location was
15 approximately about mile and a half, a mile and a
16 quarter, north of the plant, approximately in the current
17 location where the AGI Number 1 is.

18 Q. That's the same approximate location that
19 we're looking at today for the AGI Number 2 well?

20 A. That's correct. As a matter of fact, it's
21 within the same unit letter.

22 Q. Just to summarize what it is DCP is looking to
23 do and request of the Commission today, can you give us
24 just a brief summary of what it is that the application
25 seeks?

1 A. Sure. It's pretty simple. What we're looking
2 for is just another avenue to put acid gas into the Lower
3 Bone Springs. The AGI facility, as a whole, has
4 redundancy in compression and other key elements of
5 engineering, but it has no redundancy in the wells.

6 So in other words, if we have a problem with a
7 well -- originally, when the AGI was started up
8 initially, we still had a functioning SRU, or sulfur
9 reduction plant, at the Linam facility. So if there was
10 a problem with the well, they could restart -- even
11 though it was difficult and troublesome, they could
12 restart the SRU.

13 The SRU is no longer a feasible option. It's
14 been completely closed down as part of the agreement with
15 NMED to basically improve air quality.

16 So now the functioning of the plant, as the
17 Commissioners well know, these plants are throughput
18 plants. They don't store any gas. They just take the
19 gas, process it live and put the sales gas into the
20 pipeline; and then put the waste gas, which is CO2 and
21 H2S in this case, the acid gas, into what would have been
22 a sulfur reduction unit and now is an AGI well.

23 If you have a problem with the AGI well,
24 similar to the problem that we had with this well that
25 required that the well be worked over, essentially the

1 plant has to be shut down during that time period because
2 they can't continue to process gas and flare the waste
3 gas and still meet air quality regulations.

4 So the workover, really, of this well started
5 the Division discussions that I had with Mr. Gonzales
6 while the workover was going on about the future and what
7 would be a better approach going down the road.

8 And we agreed -- and I talked to DCP, and we
9 all agreed that a second well would be a prudent step
10 that would allow redundancy to allow injection to
11 continue and allow the plant to continue to operate in
12 the event that there's a problem with the well.

13 Q. You've given a little bit of the rationale and
14 the background for the application. Let's get into the
15 application now. But first, let's deal with the notice
16 issue.

17 First, what is the status of the land on which
18 the proposed AGI Number 2 will be located?

19 A. The AGI Number 2 is located on land owned by
20 the State of New Mexico. It's state trust land. We have
21 a business lease -- or DCP has a business lease for the
22 quarter section where the well is located.

23 Q. And who was notice provided to?

24 A. We provided notice as per the current policy
25 of this Commission, which is to provide notice to -- it's

1 a two-fold notice. One is a notice to all landowners
2 within one mile of the proposed location of the well. We
3 did that. That's surface landowners.

4 Then there is a cascading notice provision to
5 provide notice within one mile to any operator: First,
6 any lessee; second, and in the event that there are
7 unleased portions of land, then to the mineral owners
8 associated with that particular parcel.

9 Q. Mr. Gutierrez, looking at Exhibit Number 2,
10 this is the notice exhibit that was put together. The
11 first page of that exhibit is an affidavit prepared by
12 counsel for DCP indicating that notice was provided as
13 required by the rules; is that correct?

14 A. Yes.

15 Q. And following that page is a sample letter
16 that was sent by you to all the interest owners whom
17 you've identified as being within one mile of the
18 proposed AGI Number 2; is that correct?

19 A. That's correct.

20 Q. On the following pages are all the green --
21 rather, the return receipts for those letters that were
22 sent out?

23 A. Yes, sir.

24 Q. And if you dig through those, the subsequent
25 pages are all the green cards that were received for

1 those individuals who actually signed for the notice; is
2 that correct?

3 A. That's correct.

4 Q. And following that batch of green cards,
5 you'll see a table that just indicates the status of some
6 outstanding notice letters; is that correct?

7 A. That's correct.

8 Q. And following that page is a batch of notice
9 returns that were received either for bad addresses or
10 some are no longer there; is that correct?

11 A. Yes, sir, or deceased.

12 Q. And following that exhibit, Mr. Gutierrez, is
13 an Affidavit of Publication for the publication of an ad
14 that ran in the Hobbs newspaper; is that correct?

15 A. Yes, sir, that's correct.

16 Q. And this is an affidavit indicating that we
17 published what?

18 A. Well, as I mentioned -- and if I may, I'll
19 give a little bit of background, because it's quite an
20 interesting situation that I had not encountered before.

21 When we did the original application, we
22 only -- this was before the Commission had a policy of
23 notifying everyone within a mile. We did a half-mile
24 notice in the original application back in 2005, because
25 that was the procedure at that time, so we didn't run

1 into this issue.

2 But as we expanded that notice to a mile, we
3 encountered a number of parcels of property that
4 contained unleased minerals. And furthermore, we
5 encountered a number of properties that contained leased
6 minerals being held by production, but that had a rather
7 unusual lease provision called a pugh clause. It was --
8 I learned about this from our land people.

9 We hired MBF to do the land work associated
10 with this. It turns out that some of these leases have
11 what is called a pugh clause. And this pugh clause
12 basically says that in a normal oil and gas lease, if you
13 establish production, you hold that lease by production
14 for an indefinite period of time while the production is
15 going on.

16 These pugh clauses, which were present in a
17 number of the private leases here, require that after the
18 end of the first term of the oil and gas lease expires,
19 that even if there is production on that property, any
20 zones or potentially productive zones that are below the
21 deepest production on that lease, those zones revert back
22 to the mineral owner as unleased.

23 So what has happened is that on some
24 properties to the east, we have that situation. And
25 there were a number of these properties where the

1 interests had reverted back to these old mineral owners
2 for everything, say, below a certain depth. And it was
3 quite a challenge.

4 We had a person from MBF. We hired MBF in
5 Roswell, which is a professional company that does this
6 land work. And they had someone at the Lovington
7 courthouse five days a week, eight hours a day, for five
8 weeks, to be able to track down all of these mineral
9 owners. And many of them were -- had addresses that had
10 not been revised since the mid 1950s.

11 And so we went through quite a process trying
12 to identify who they were. Many of them were very
13 fractional interests. As a matter of fact, I had to
14 laugh. In some of these cases, there was someone who had
15 a 2 percent interest. And ultimately, by the time all
16 their heirs had it, they had divided it 64 times, this 2
17 percent interest. So we ended up having to notify quite
18 a few people and tried to track them down.

19 There were a number that we got either
20 returned because the individuals were no longer at those
21 addresses, as you can imagine, or may have been deceased
22 or whatever. And as a result of that, we conferred, you
23 and I conferred, and thought that it would be best to go
24 ahead and publish the names of all of those people that
25 we weren't able to track down and put it in a public

1 notice. That's what this Affidavit of Publication
2 represents.

3 However, after that time -- and I don't know
4 if it's really as a result of this notice or not, but
5 maybe some of those things were delayed -- a number of
6 people on this list in the publication, we actually did
7 get their returns and they did receive their notices and
8 their applications. But at the time when we published
9 this, there were the people who we either had not
10 received the green cards back from or we had the
11 applications returned because of bad addresses.

12 Q. So all notice that was mailed was sent based
13 on the title of the lands and the interests as recorded
14 at the time the application was filed; is that correct?

15 A. Yes, that's correct.

16 Q. And any interests that were unlocatable were
17 included by name in this publication, giving notice of
18 this hearing and the application?

19 A. That's correct. And as I mentioned, a number
20 that were -- in an abundance of caution, there were a
21 number that we actually got back that we had published in
22 here, as well.

23 Q. In your opinion, did you undertake a
24 good-faith effort to provide notice as required by the
25 rules?

1 A. Yes.

2 Q. Thank you.

3 Now, moving on to the application, DCP filed a
4 C-108 with this application, is that correct, and
5 provided that to the Division, as well as to the District
6 Office in Hobbs?

7 A. Yes, on October 29th, 2012.

8 Q. Because this application is for an acid gas
9 injection well, DCP also filed an application for a
10 hearing before the Commission; is that correct?

11 A. Yes,, that's correct.

12 Q. Now, the C-108, which is marked as Exhibit 4
13 in the binder, contains all the information required by
14 the Division on the C-108; is that right?

15 A. Yes, sir.

16 Q. Turning to Exhibit Number 4, let's look at Tab
17 Number 1. This is an overview map of the area. Could
18 you please review for the Commissioners to give them --
19 to get them oriented to where we are here in the world?

20 A. Yes. The city of Hobbs is right here. The
21 Linam gas plant is located here, approximately four miles
22 west of Hobbs, along Highway 180-62. And the acid gas
23 injection facility is located here, approximately one and
24 a half miles north of the plant.

25 Just here, to the west of the AGI facility, is

1 the Maddox Station, Maddox Xcel Energy Plant. So that's
2 basically a location map to show the general area.

3 Q. One thing I wanted to have you point out is
4 that where you identified the proposed Linam AGI Number
5 2 --

6 A. Yes, sir.

7 Q. -- that was in the original C-108 application;
8 is that correct?

9 A. That's correct. We had originally talked
10 about and looked at a location -- when we looked at the
11 AGI facility itself -- and I think later on, when you see
12 an aerial image of the AGI facility, you'll be able to
13 see this -- but the only area within the current fenced
14 location that has an open enough area where you could set
15 up a rig and do drilling of an additional well without
16 impacting the current operations was approximately --
17 within the existing fence line was to the northeast,
18 about 250 feet to the northeast of the original well.
19 That's where we proposed it originally.

20 Then when we went out in November -- and we
21 talked about the different advantages or disadvantages of
22 each of those locations. When we were out in November to
23 do the MIT test that we'll talk about that was done in
24 November of this year, we were out there with the
25 Division and with Mr. Boatenhamer, who will testify

1 later, who is the plant manager at Linam. And we
2 thought, is there a better location for this well within
3 the current quarter section that DCP has leased from the
4 State Land Office?

5 And from a geologic standpoint,
6 Mr. Boatenhamer said, "If we were to move this well to
7 the south of the current well, rather than the northeast,
8 it would be a better situation for us from the operations
9 perspective." Because if we were working on one well and
10 injecting into the other well, we wouldn't necessarily be
11 directly downwind of the existing well, which is where we
12 would be if we had selected the location we originally
13 proposed in the 108.

14 And Mr. Gonzales was present out there from
15 the Division at the same time, and he agreed. And I
16 said, "I'd like to look at the geology and make sure that
17 we don't have a problem." I didn't think we would,
18 because we were still talking very close to the existing
19 well.

20 But then it was decided it would be more
21 appropriate to move the well about 400 feet south of the
22 existing well, rather than 250 feet northeast. Now,
23 that's still within the same unit letter. I believe it's
24 K or L. Unit K. It's still within the same unit, and
25 it's still within the three -- I mean 160 acres that DCP

1 has leased there, but it will require extending the fence
2 somewhat to the south.

3 Q. Can you please give us what the new proposed
4 footages are for the location of the well?

5 A. I have to look at those. I think it's 1,600
6 feet from the south line and 1,750 feet from the west
7 line.

8 Q. Thank you, Mr. Gutierrez. And that's in
9 Section 30, Township 18 South, Range 37 East?

10 A. That's correct. It's in the same section.
11 It's literally only about 450, 500 feet away.

12 Q. You mentioned that you wanted to ensure that
13 the change in the proposed location wouldn't affect at
14 all the well's ability to inject into the target
15 formation. Did you decide that it was an okay location
16 for that?

17 A. Yes. After November 14th, when we had this
18 discussion with the Division and Mr. Boatenhamer at the
19 site, that was on a Wednesday, as I recall, and I
20 reviewed the geology again, and by that Monday, I had
21 determined that we didn't have a problem moving it. I
22 never expected that we would, from my recollection, but I
23 just wanted to double check.

24 Q. Does the change in the proposed location
25 affect at all the notice that was provided? Because the

1 notice went out based on the original proposed location.

2 A. Well, we obviously knew that if we moved the
3 location 600 feet, basically, from the proposed location,
4 that that one-mile circle would shift somewhat.

5 So what we did is when we decided that that
6 was a better location, we tasked MBF to go back to the
7 courthouse withd this added little piece of the section
8 and to determine if there were any additional parties
9 that we needed to notice. And what they found is,
10 indeed, that there weren't.

11 It does go a little further south, but it's
12 still on the same land that is owned currently -- that is
13 leased by Burlington, who was one of the original people
14 that was noticed, and owned by the State of New Mexico,
15 which was also originally noticed.

16 Q. Now, with the additional infrastructure, you
17 mentioned you had to shift the fence line and so forth.
18 Does DCP need to re-negotiate or amend its right-of-way
19 with the State Land Office?

20 A. That's my understanding, yes. I haven't been
21 directly involved in that, but I do know that there has
22 been a filing of -- the payment of a filing fee to make
23 that amendment within the existing business lease.

24 Q. Now that the location is finalized, this is
25 something that can go forward with the State Land Office

1 to get that amendment finalized?

2 A. Yes, that's correct.

3 Q. Let's move on to discuss the background of the
4 Linam gas plant. Could you please just briefly give a
5 summary of what the gas plant does and why it's necessary
6 to treat or handle this H₂S a certain way?

7 A. Very simply, the gas plant is a natural gas
8 processing facility. It takes field gas, which now has
9 the capacity -- it processes 225 million cubic feet of
10 gas a day. That means that there are literally thousands
11 of wells that feed this plant.

12 Those wells have -- in addition to methane and
13 other components of natural gas, those wells contain CO₂
14 and H₂S. Many of them are what are called sour gas
15 wells, and that's because they contain CO₂ and H₂S.

16 And in order for that to -- as part of the
17 processing, this plant separates the various components
18 of the hydrocarbons as products for sale, gas products.
19 And then obviously, ultimately what it's left with is
20 methane and hydrogen sulfide and CO₂, which goes to a
21 naming system. That is separated.

22 The methane is what we burn in our stoves at
23 home. And the CO₂ and H₂S formerly at this facility went
24 to a sulfur reduction plant, as I mentioned, and now,
25 since 2009, has been going to the AGI Number 1 for

1 injection.

2 Q. Previously, the sulfur reduction unit would
3 emit -- how did that work? It would emit -- process the
4 H2S and then transform it to sulfur dioxide; is that
5 correct?

6 A. No. It would take H2S -- it would process the
7 H2S, as you mentioned. But it converted the H2S to
8 native sulfur, so actually to molten sulfur, and then it
9 vented all of the CO2 to the atmosphere. It also --
10 sometimes when it was down, it had to flare, and that's
11 when it would create SO4, basically, as an emission.

12 Q. So the reason that DCP moved to the AGI is
13 because it would reduce emissions of CO2 and any flaring
14 from that facility?

15 A. Yes. And because the SRU was an aging
16 facility, it was difficult to have it meet the current
17 air regulations.

18 Q. Mr. Gutierrez, you prepared a presentation
19 today; is that correct?

20 A. Yes.

21 Q. Let's turn to the first page of your
22 presentation. Please give us an outline and a summary of
23 what you're going to talk about today, as far as this new
24 application goes.

25 A. Yes. Basically what we're going to go over

1 today briefly is I will review the operational history of
2 the Linam AGI Number 1 very briefly and the events that
3 led to its workover in May of 2012.

4 I will then discuss the justification for a
5 backup or a redundant AGI well, which is what we're
6 proposing as AGI Number 2. I'll review the current
7 injection limitations and requirements, because we're not
8 asking for any changes at all in the currently approved
9 requirements for the AGI Number 1. All we're looking for
10 is another way of getting gas into the same zone.

11 I will also summarize the geologic setting in
12 the injection zone, even though those things were all
13 well covered in the original permit hearing.

14 I will talk a little bit -- this was the third
15 well in New Mexico back in 2005. There's been a lot of
16 work done on AGIs since that time. And therefore, there
17 have been some thoughts about how to improve and obtain a
18 better overall design. And those have been incorporated
19 into this proposed well, and I'll talk about those.

20 I'll talk about the protection of nearby
21 production and water wells and how that is achieved by
22 the design of the Linam AGI Number 2.

23 I'll review a little about the H2S contingency
24 plan and the context of what changes might be required in
25 that plan as a result of this additional well.

1 And then I'll just review this overall
2 operational and environmental benefits of the
3 installation.

4 Q. Your next slide kind of gives a brief history
5 and breakdown of the operations of the AGI Number 1; is
6 that right?

7 A. Yes, sir. I apologize for all the text on
8 this slide. It's more for the benefit of the
9 Commissioners to be able to review. But I will go over
10 this stuff briefly.

11 As we mentioned originally, this Linam AGI
12 Number 1 was permitted in 2006 after a public hearing in
13 front of this Commission, and it was completed in the
14 Lower Bone Springs. It's perforated from 8,710 feet to
15 approximately 9,100 feet. The well began injection of
16 treated acid gas in 2009, the end of 2009.

17 This order has been modified quite a few times
18 because of -- the original order had some conditions that
19 became not applicable down the road in terms of some
20 policy changes that the OCD had relative to the
21 requirements for discharge plans at gas plants. So it's
22 been modified several times, the most recent time being
23 in July of 2011, where I testified in front of this
24 Commission.

25 In late 2011, in fact, about this time last

1 year, when the original permit was issued for this
2 facility, there was a requirement that an MIT, Mechanical
3 Integrity Test, be completed every five years for this
4 particular well.

5 During the intervening period from when this
6 well was originally approved and last year, there were a
7 number of things that transpired within the agency that
8 made the Division feel that it was more appropriate to
9 require MITs every two years for acid gas injection
10 wells, so DCP received a letter at some point.

11 Whenever the Division made that determination,
12 they notified everybody that operated AGIs that now
13 they're going to be on a two-year schedule. So that
14 two-year time frame was coming up in December of 2011,
15 because the injection began in December 2009.

16 So as part of the preparation for doing that
17 MIT, the staff at DCP, I believe Mr. Kelly Jamerson and
18 Mike Betz, who was the acid manager at the time, and
19 Kelly, who was the engineer overseeing the AGI facility
20 at the time, approached the Division office in Hobbs and
21 spoke to Mr. Gonzales regarding the preparation for doing
22 this MIT, which would have to be witnessed by the
23 Division.

24 And in that process, of course, they
25 discussed, what do we need to do to do the MIT? And what

1 the Division suggested is that they needed to bleed down
2 the pressure on the back side, which is the normal
3 process you do for these MITs. You bleed down the
4 pressure to zero on the back side, you pressure it back
5 up to 500 pounds, and then you look and make sure that it
6 does not vary more than plus or minus 10 percent of that
7 pressure over the half-hour time period of the MIT test.

8 So in order to do that, they were told,
9 "You've got to get pressure off the back side, and then
10 you're going to have to raise that pressure up and do
11 this procedure."

12 When DCP went out in the -- I think it was
13 probably roughly around December 15th or in that time
14 frame, to bleed the diesel from the back side to conduct
15 the MIT, what they found is that, unlike the behavior
16 that you would have when you have integrity or when you
17 don't have a potential problem with the well, the
18 pressure on the back side did not go down. Even after
19 they had bled some relatively -- what I would have
20 determined would have been a sufficient amount of diesel,
21 roughly about a half a barrel or so, they noticed that
22 the pressure didn't go down significantly.

23 So they re-approached the Division and said,
24 "We're having this problem."

25 And the Division said, "Well, if you bleed

1 down the pressure at least to 100 pounds and then bring
2 it back up, that's probably sufficient."

3 So they went back out there, I think that same
4 day or the next day, and continued to bleed approximately
5 six barrels of diesel. Now, remember, there's probably
6 about 160 barrels of diesel on the back side. But they
7 bled off about six barrels, and the pressure still didn't
8 go down.

9 So at that point -- I was not really aware of
10 those things going on between the Division and DCP at
11 that point. But I got a call on about December 16th or
12 so from DCP saying, "Look. Here's what happened when we
13 tried to do this -- prepare for this MIT. I think we may
14 have a problem here. What do you think?"

15 I said, "Well, it doesn't sound good to me.
16 But I feel like I need to look at the data for injection,
17 the injection history, basically; annular pressure; the
18 injection pressure; the temperature." Because you can
19 get some really funny behavior on the back side of these
20 wells when you really don't have a problem, but it could
21 indicate that you have a problem.

22 So when I looked at those data -- I was
23 provided those data probably the next day, and then I
24 spent the weekend analyzing those data for the next
25 couple of days -- I thought I recalled it being over a

1 weekend.

2 But anyway, then on about December 18th -- and
3 I know that date firmly because it happens to be my
4 sister's birthday -- on that day, I contacted DCP and I
5 said, "I think we have a potential problem with the well.
6 We may have either a tubing leak or a packer seal leak,
7 and I think it would be appropriate to report that to the
8 Division."

9 Q. So that's what precipitated the December 19th
10 letter, which we'll learn about later in this hearing,
11 from DCP to the Division, indicating that there was a --
12 had been identified a potential problem?

13 A. Right. In fact, I drafted that letter. So it
14 was my basic determination that we had a potential
15 problem there. I worked with DCP to draft that letter
16 and to get it to Mr. Gonzales, with the Division, to
17 start the process of how we would deal with this
18 potential problem.

19 At that point, as I'm sure Commissioner
20 Bailey may recall, over the holidays, we had a number
21 of conference calls with the Division that involved
22 Mr. Gonzales, Mr. Jones, Director Bailey, and
23 Ms. Gerholt, to determine what was an appropriate way
24 to go forward to correct this problem.

25 The Linam Ranch plant had a turnaround

1 scheduled for April 2012. One of the key things that
2 both DCP and the Division wanted to avoid, if it could be
3 done safely, was to avoid an unplanned shutin of many of
4 these wells. And frankly, also, in order to be able to
5 obtain the spares that are required -- that we wanted on
6 hand in order to do a workover, that was going to take
7 some time. These things are not off-the-shelf items that
8 you can just purchase.

9 So the question was: How can we assure that
10 we can continue to operate this well safely in this
11 interim time between now, which was January of 2012, to
12 April of 2012, when we knew we could work it over?

13 The result of those discussions was basically
14 the ACO-275, which was a compliance order that DCP and
15 the Division agreed to, which had very stringent
16 operating requirements for the well in this interim
17 period between the time when we negotiated this and the
18 workover.

19 And I recall very specifically, at the time
20 when we were discussing this, that Director Bailey, in
21 her capacity as the Director of the OCD, asked me on the
22 phone, did I feel that there was -- if we implemented
23 this approach, did I feel that there was any potential
24 danger to public health or the environment as a result of
25 this operation for this four-month time period?

1 And I said no, that I felt confident that the
2 well could be operated if it was done under these kinds
3 of parameters.

4 And those parameters were parameters that
5 limited the maximum injection pressure to a pressure of
6 1,200 pounds, which was significantly lower than what is
7 the approved maximum operating pressure in that well.
8 And it also required maintaining at least 200 pounds'
9 difference between the back side and the tubing pressure
10 in that well.

11 And in addition to that, it required weekly
12 reporting of all of the three major parameters related to
13 the operation of the AGI well: The injection pressure,
14 injection temperature, and annular pressure, and the
15 injection rate. Four items.

16 And those were then -- those data had been
17 collected all along, as required, but they weren't
18 reported to the agency because they're not required to be
19 reported. They are just collected. In fact, those data
20 are not even collected daily. They're collected like
21 every 15 or 10 seconds, so it is a mountain of data. I
22 got the hourly data for that time period that I reviewed
23 over the weekend, and that's how I determined that there
24 might be a problem.

25 But anyway, those data were then reported for

1 the next 16 weeks. We prepared a weekly report to the
2 Division that was given to Mr. Gonzales and Mr. Jones
3 that tracked and showed exactly what those operating
4 parameters were for that well and demonstrated that we
5 were meeting the requirements of that order.

6 Then in April, as planned, we began a workover
7 of the well to now figure out what was the real problem
8 with the well.

9 Q. So turning to your next slide, just give us a
10 summary of what your analysis revealed about that issue
11 during the workover and what happened during the
12 workover.

13 A. During the workover -- the workover began on
14 April 27th of 2012. As the Commissioners may be
15 familiar, but just to go over what happens during a
16 workover, the idea is we're going to pull the tubing,
17 figure out if there's a leak in the tubing or in packer
18 seals. And in order to do that, we first have to do what
19 is called we kill the well.

20 So that means is we pump brine down the
21 tubing. We stop injecting acid gas. We pump brine down
22 the tubing and displace all the acid gas that is in the
23 tubing back into the formation and put what's called a
24 blanking plug beneath the seal assembly in the packer.
25 And that allows you to now isolate the formation, so you

1 can't get acid gas coming back up at you when you yank
2 the tubing out of the packer.

3 You then yank the tubing, literally. You
4 physically pull it out of the packer seal assembly and
5 you run out all of that tubing. In the case of this
6 well, it's 8,650 feet of tubing. So we did that. We ran
7 out all of that tubing.

8 Now what you're left with is basically the
9 diesel that used to be in the annular space has now
10 filled up the inside of the well casing. And you have
11 brine in there, as well, that you had in the tubing that
12 now is in the well casing. So the requirement is to then
13 circulate all of that out.

14 The reason why is -- we had a specific H2S
15 contingency plan, not the one for operating the well,
16 because a well workover is not a normal well operation.
17 That's something that you have to do when you have to
18 repair a well. So we had a specific H2S contingency plan.

19 We had Total Safety out there. That's not an
20 acronym, that's the name of a company. Total Safety was
21 the company that was doing the H2S monitoring and
22 everything for the workover process itself to make sure
23 that our own employees and the drillers and everybody was
24 maintained safe.

25 When we did that, we had a separator --

1 because we knew that we had a potential for having acid
2 gas in the annulus of that well because we knew that we
3 had some possible communication between the tubing and
4 the well itself. So we had this separator on hand, and
5 we were slowly circulating the diesel out of the well.
6 And at one point on that first day, the 27th, we had --
7 except the way that works is you take that diesel out,
8 you run it through a separator, and you remove any acid
9 gas that's in the diesel. It is routed to a flare right
10 there, a portable flare that is associated with the
11 workover unit, and you incinerate that acid gas.

12 What happened is that that flare that was
13 there was basically overwhelmed by the CO2. When we got
14 a little burp of acid gas that came out of the annular
15 space of the well, it blew out the flare that was
16 associated with the separator, which caused a release of
17 acid gas right there at the workover site.

18 As a result of that, we implemented -- we shut
19 down the operations. That release lasted maybe two
20 minutes. It was a very small amount of largely CO2, but
21 some H2S was released at that point.

22 And we shut down the operations for the night
23 until we could determine what we could do to make sure
24 that if we had any additional acid gas, which we thought
25 we might have a little bit left still in the annular

1 space there or now in the casing, how we would make sure
2 that that flare would operate appropriately.

3 And what we did at that point is we actually
4 re-routed the plumbing from the flare that had come with
5 the workover unit to the main acid gas flare at the
6 facility for one reason and one reason only. And that's
7 because the main acid gas flare has a fuel assist.

8 The small flare that comes with the workover
9 unit has no fuel assist, so that's why it got blown out.
10 The acid gas flare that the facility has has a fuel
11 assist that allows it to basically continue to burn even
12 in high CO2 concentrations. As everybody knows, CO2 is a
13 fire extinguisher, so that's what happened.

14 So the next day, we restarted the operations
15 at about 6:00 a.m. in the morning. After we re-routed
16 this stuff and we removed the rest of the fluid from that
17 inner space, it was routed to the flare, and we continued
18 with the workover.

19 Q. After doing the workover, you continued to
20 look at the situation with the AGI Number 1. And you did
21 an analysis of what happened, what caused that
22 communication between the annular space; is that correct?

23 A. Yeah. Let me just finish with the workover,
24 because there are a few things that are important to
25 note.

1 Q. Sure.

2 A. We had already now pulled the tubing, so we
3 looked at the tubing. And lo and behold, what did we
4 find? What we found is that there had been corrosion in
5 that tubing in the bottom -- it was worse in the bottom
6 joint of that tubing, the first 20 feet above the packer,
7 but we had some corrosion for the next two joints above
8 that.

9 So we had corrosion in the lowermost 60 feet
10 of tubing, and we actually had holes in the tubing from
11 -- that communicated the acid gas that was flowing down
12 the tubing with the annular space above the packer. It
13 stayed contained within the well, but it was out of its
14 designated place, which is inside the tubing.

15 We also carefully examined all of the tubing
16 and the subsurface safety valve and determined that there
17 was no visible evidence of corrosion in the upper portion
18 of that tubing and no evidence of any damage to the
19 subsurface safety valve, which was operating properly, so
20 we put all that aside.

21 And we had all new tubing out there that we
22 had purchased in the interim, in that time frame between
23 January and April of 2012. We also had a new packer
24 because we thought, if there's a problem with the packer,
25 we may have to set a new packer out there.

1 When we pulled out the tubing and we
2 recognized that this corrosion had caused a leak in the
3 tubing in the bottom of that well, we obviously knew we
4 had to replace the tubing, and we also did a casing
5 integrity log at that point. We ran a casing integrity
6 log to see if the production casing itself had become
7 compromised.

8 And what we found is that while we did detect
9 some corrosion in the lowermost 40 feet or so of that
10 casing, it had not lost its integrity. And there had
11 been no leak outside of the well, but we had this little
12 compromised section of casing above the existing packer.

13 And I was concerned, and I said to DCP -- and
14 this was all done in cooperation, very close. I mean
15 literally hour-by-hour communication between us and the
16 District Office while we were doing the workover. They
17 had their people out there periodically. Mr. Gonzales
18 was out there to see the tubing when it was pulled, and
19 he could see for himself what the corrosion looked like.

20 So we still didn't know the cause of what
21 happened, but we knew what the physical problem was. My
22 suggestion as to how to fix it was to do the following:
23 Replace the tubing and put a new packer, stack it above
24 the other packer -- because the packers that we use in
25 these wells are permanent packers. You can't remove

1 them.

2 So my thought was, okay, let's get a seal
3 assembly below a new packer that will actually stab into
4 the old packer. And we'll stack a packer right above
5 that old packer that will isolate that piece of casing
6 that had some corrosion, and so we won't have a problem
7 there. And then we'll put all new tubing in the well.
8 So that's what our intent was.

9 We went and asked Mr. -- we submitted a C-103
10 that said that's what we intended to do. We talked about
11 it with Mr. Gonzales, and he agreed that that was a good
12 approach.

13 So we go back out there and we start to run
14 the new packer. Unfortunately, the new packer actually
15 failed on the -- while trying to set it. This was a very
16 disturbing and expensive situation.

17 We were running the packer on the new tubing,
18 or on a work string, actually. We were running the
19 packer down, and we were going to set it at 8,600 feet.
20 At about 850 feet, the packer set. The packer itself
21 failed. It set at 800 feet. So now we have a packer
22 stuck at 800 feet in the well.

23 We had to remove that packer. That took about
24 another four or five days. We had to mill it out.
25 Because they're permanent packers, we had to mill it out.

1 We then had to fish -- what holds a packer in place are
2 these slips that look like Hershey bars with ridges.
3 They're made of steel. There's six of them. Those
4 dropped to the bottom of the hole when we had to mill out
5 the packer. We then had to fish those little candy bars
6 of steel out. It took about three days to do that. And
7 now we were back to the same situation.

8 We've got -- we know the packer we have in the
9 hole is still good. We have this area of compromised
10 casing that is above the packer, but we have new tubing.
11 We need to get the well back on line. Let's put new
12 tubing in, and then we'll do an MIT. And if it passes,
13 then we know we need to monitor it closely, but that we
14 still had integrity in the well.

15 So we submitted a new C-103. We discussed it
16 with the Division. And at that point, we came up with
17 that approach. We ran the new tubing, stabbed it into
18 the old packer. We did an MIT at 3,000 psi. We tested
19 the tubing and the annular space to 3,000 psi, had no
20 problems there.

21 So we went back. And we said to the Division,
22 "Okay. At some point in the future, we're going to want
23 to work this well over and put a new packer, a stacked
24 packer, just like what we said, to avoid any potential
25 long-term problems with that casing."

1 But unfortunately, these packers take four or
2 five months, when you order one, to get one. So we
3 couldn't just get another one out there and try to redo
4 it again. As a matter of fact, we looked all over the
5 world literally to see if we could have a packer flown in
6 while we had the well down, but we couldn't.

7 So we came up with an approach. We did this
8 high-pressure MIT to assure that that casing had
9 integrity, and we came up with an approach with the
10 Division where we could continue to operate the Linam AGI
11 Number 1 safely.

12 And to do that would require the reporting now
13 on a monthly basis to the agency of the injection,
14 because we had to repair the tubing leak, obviously. And
15 it would require monthly reporting, similar to the weekly
16 reporting that we had done, and we would be required to
17 do an MIT on the well every six months. The first one
18 was done right at the workover. The second one was
19 completed last month, in November.

20 Then we went in to trying to do essentially a
21 failure analysis or a determination of what caused the
22 original failure in the tubing. And that's what we
23 proceeded to do after we got the well back up and
24 running.

25 Q. Mr. Gutierrez, just to recap, so what you

1 determined, based on your analysis, was that there was a
2 communication between the annular space and the tubing,
3 but that the casing integrity log that you ran indicated
4 that the casing integrity remained sound; that the casing
5 actually contained whatever gas leaked had into the
6 annular space because -- you know that because it's
7 burped to the surface; is that correct?

8 A. Yes, sir.

9 Q. And also, that cement bond log that you ran
10 indicated that the entire cement bond along the entire
11 casing was sound. So that indicated to you that the
12 formation did not receive any of the leaked acid gas; is
13 that correct?

14 A. Yes. And furthermore, as importantly as the
15 things that you mentioned, we did a 3,000-pound MIT test
16 for an hour of that casing. So I mean that is a much
17 higher pressure than that casing would ever experience
18 under normal circumstances, and it did not leak.

19 Q. Thank you, Mr. Gutierrez. And real quickly,
20 you said you did an analysis also of what went wrong?

21 A. Right.

22 Q. Can you briefly summarize for the Commission
23 what it was that you determined was the cause of the
24 communication between the annular space and the tubing?

25 A. Yes. As Mr. Gonzales will remember from when

1 he looked at the tubing -- and I actually brought some of
2 that tubing up here and showed it to Mr. Jones and
3 Mr. Ezeanyim, because I think just in the interest of
4 looking at that, because that tubing that had failed, we
5 then took all of the tubing that had failed -- it was a
6 multistep investigation.

7 The first thing we did was take all of the
8 visibly-affected tubing and send it to two metallurgical
9 research companies in Houston that sliced the tubing up.
10 They did metallurgical analyses to try and determine the
11 cause of the corrosion, whether it started from the
12 outside of the tubing coming in or the inside of the
13 tubing going out. And so we did a detailed metallurgical
14 analysis.

15 We still had all of the tubing from -- that
16 had been pulled out of the well. And we were interested
17 in trying to see whether there had been corrosion
18 anywhere else along that tubing, so we did an analysis.
19 We had a tubing inspection company that came out and
20 inspected all of the tubing. And in fact, what they
21 confirmed was it was only that lower portion of the
22 tubing that had experienced any degree of corrosion.

23 The report from the metallurgy companies that
24 came back to us indicated basically three things: First,
25 that there had been -- there was pitting inside the

1 tubing that had not fully penetrated the tubing. In
2 other words, it had not made a hole in the tubing, but
3 was essentially eating out the inside of the tubing in a
4 couple of locations.

5 And then there were holes that had formed in
6 the basal portion of that tubing that had connected the
7 inside of the tubing stream with the annular space.

8 And then there was also corrosion from the
9 outside in, once that inside corrosion had taken place.
10 Because obviously what happened was we had some corrosion
11 happening from the inside. And then once a little bit of
12 acid gas got into that annular space, we had much more
13 corrosion coming from around the outside of that tubing
14 back in just because -- even though we had diesel in that
15 annular space, when you have an 8,600-foot column of
16 diesel, even under normal -- and the best diesel you can
17 get, still has a very small amount of water in it. So we
18 probably had some emulsified diesel at the base of that
19 tubing zone that reacted with that acid gas and caused
20 further corrosion of the tubing.

21 We also determined that the subsurface valve,
22 the tree -- we had the tree completely taken apart. It
23 had not experienced any corrosion. Neither had the
24 subsurface safety valve or neither had the upper 8,600
25 feet, roughly, of tubing out there.

1 But we found that was the indication, from the
2 mineralization that occurred, of where the corrosion
3 occurred. What the metallurgist told us is, "There's no
4 way this could have happened if you didn't have free
5 water inside that tubing to begin with."

6 And then when I went back and looked at all of
7 the data that I had looked back in December of 2011 and
8 looked at all of those data, compared to the data of when
9 we had improved the temperature control of the operation
10 in that interim period between January and when the
11 workover was, what I saw is that there had been very
12 large fluctuations of temperature in the injection stream
13 during the operation of the AGI prior to December 2011.

14 And what I started doing was looking at the
15 phase envelope of the acid gas inside the tubing. And
16 what I determined is that these rapid fluctuations in
17 temperature ended up causing free water to actually come
18 out of the acid gas inside the tubing and basically run
19 down the inside of the tubing and create a corrosive
20 condition at the bottom.

21 So we identified really the ultimate cause of
22 the problem. There had been poor temperature control of
23 the injection stream.

24 In addition to that, one of the other
25 recommendations that was made even before we put in the

1 new tubing while the workover was going on was that we
2 should add both biocides and corrosion inhibitors to the
3 diesel fluid itself before we put it back in the -- I
4 mean to the new diesel that we were going to put in the
5 annular space.

6 So we added corrosion inhibitors to that
7 diesel. We added biocides to that diesel. We put in the
8 new tubing. We put the old subsurface safety valve back
9 in. We put the old tree that had been worked over back
10 on. And we proceeded -- I proceeded then to tell DCP and
11 inform them that we really needed to have a much better
12 control on the temperature of the injection.

13 And we already thought this was a potential
14 issue, but now it was confirmed as having been the cause
15 of the problem.

16 So if you look at the operation of that well
17 since January of 2012, DCP has done an excellent job, and
18 Mr. Boatenhamer will testify to what they did
19 operationally to fix this temperature control problem.

20 Q. You mentioned that there were wide
21 fluctuations in the temperature. But you could get
22 condensation even if the temperature fluctuations are
23 within a reasonable parameter; is that correct?

24 A. Yes, absolutely. What we were trying to do is
25 to understand what was the range that was reasonable to

1 maintain. Because you can't keep it exactly at the same
2 temperature all the time. But what had been happening is
3 it had been fluctuating from like 65, 75 degrees to like
4 115 degrees, the injection temperature.

5 Now our fluctuations of injection temperature
6 are in the range of maybe 6 or 8 degrees. And that's not
7 enough to really cause condensation to take place.

8 Q. Based on all this analysis and your
9 discussions with the Division, looking at your Slide
10 Number 5 of Exhibit Number 3, can you summarize the
11 justifications for having a second injection well?

12 A. Yeah. Basically, as we were doing this
13 workover, we were thinking, "Oh, my God. All these wells
14 are shut in. The plant is down. People are probably
15 flaring out in the field or venting H2S. This is not a
16 good situation."

17 And now we knew that we were also going to
18 have to work over AGI Number 1 again to put the stacked
19 packer in. So that means that another two or three weeks
20 when we finally can get that new packer. The plant would
21 have to be shut down for another two to three weeks.

22 So I think it was kind of an organic
23 discussion that developed while we were out there. I
24 remember very clearly standing around this corroded
25 tubing with Mr. Gonzales, from the Division, and Mike

1 Betz, who was the acid manager for DCP at the time. And
2 we were talking about this, and we were talking about
3 whether we should use different materials in the tubing
4 or whatever.

5 And Mr. Gonzales, at the time, said, "Why
6 don't you guys just have another well out here?"

7 I said, "Yeah. Well, I mean we certainly
8 could do that. That's a pretty expensive proposition."

9 But the more we thought about it, you know,
10 it's not, in the end, as disruptive or -- it would be a
11 real improvement to the AGI facility to have another
12 point of entry for that injection, so that if we ran into
13 a problem, or certainly when we had to work over the
14 Linam AGI Number 1, that we could continue to operate the
15 plant. So that was the fundamental genesis of what we
16 determined.

17 What we determined is that the overall AGI
18 facility would have a much greater reliability. It would
19 reduce flaring events at the plant. It would also
20 prevent a situation where you would have to shut in all
21 these wells by having to shut down the plant in an
22 unplanned shutdown. So that's when we started thinking
23 about a second well.

24 I recommended that that's something we look
25 at, that my client examine. And they tasked us to take a

1 look at that. And the decision was made in the summer of
2 this year to go ahead and proceed with developing a new
3 well.

4 Q. You point out that the facility has other
5 operational redundancies built in, but the well is the
6 one that there is no redundancy existing now. And that's
7 one of the major justifications for this; is that right?

8 A. That's right. It's the critical link.

9 Q. The new application doesn't seek to change any
10 of the existing conditions under the order, is that
11 correct, same injection pressures?

12 A. That's correct.

13 Q. Looking at Slide Number 6, is this sort of a
14 summary of the existing conditions and limits imposed
15 under the order?

16 A. Right. The current order requires a maximum
17 allowable operating pressure of 2,644 psi, with a
18 specific gravity of .8 for the TAG. That MAOP is -- we
19 don't need anything different than that.

20 We also have no injection rate limitation.
21 And that is appropriate in this case because this is such
22 an excellent reservoir, and because there isn't really a
23 need to inject more H₂S. But what the plant has been
24 seeing is an increasing concentration of CO₂ in the inlet
25 gas, so we could have some fluctuations in the injection

1 rate as a result of those fluctuating CO2 concentrations.

2 So the bottom line is we're not proposing or
3 requesting that the Commission change any of the current
4 approved parameters for the AGI facility.

5 Q. Now, as a result of the workover and the
6 issues with the AGI Number 1, were there some additional
7 requirements imposed by the Division through C-103s that
8 you can touch on?

9 A. Yes. We are currently operating under an
10 approved C-103 that requires monthly analysis and
11 reporting of these key injection parameters. Those are
12 reports that -- I get those data, hourly data. Actually,
13 I get the data for every like 15 minutes of -- for every
14 month. I analyze those data, and I report them to the
15 Division usually the first week of the month for the
16 previous month.

17 And we are also required to do an MIT on the
18 well every six months. We just did one on November 14th.
19 It passed fine.

20 Then at some point in the future, we will have
21 to add this stacked packer arrangement to address that
22 one portion of the casing that had been compromised.

23 Q. Thank you, Mr. Gutierrez. Now, let's move on
24 to the geology and the setting for the proposed
25 injection.

1 CHAIRMAN BAILEY: Is this a good place for
2 a 10-minute break?

3 MR. RANKIN: Absolutely.

4 CHAIRMAN BAILEY: Why don't we take 10 and
5 come back at 20 until?

6 (A recess was taken.)

7 CHAIRMAN BAILEY: Shall we resume?

8 MR. RANKIN: Thank you, Madam Chair.

9 Q. (By Mr. Rankin) Mr. Gutierrez, right before
10 the break, we were about to enter into a discussion about
11 the geology and the setting for the injection of this
12 acid gas into the Lower Bone Springs formation, the
13 formation that's already been approved by the Commission
14 for these purposes.

15 Can you briefly summarize for the Commission
16 the geology of the Lower Bone Springs and the surrounding
17 area?

18 A. Sure.

19 Q. This is on Slide Number 8 of Exhibit 3?

20 A. Yeah. Basically, the detail on the geology
21 was all presented in the original hearing, and so I'm
22 going to try to abbreviate it now to the extent that we
23 can.

24 But basically, the Lower Bone Springs is a
25 carbonate -- detrital carbonate formation draped off of

1 the Central Basin Platform, as I described earlier. It
2 is overlaying by approximately -- by a portion of the
3 upper Bone Springs and a series of interbedded zones
4 within that and into the Abo above it that constitute
5 essentially about a 3,000-foot caprock or layered
6 sequence, which serves as the caprock for the reservoir.

7 The Lower Bone Springs has proven to be a much
8 better reservoir than we originally anticipated. As a
9 matter of fact, one thing I failed to mention when we
10 were talking about the workover is that when we killed
11 the well, it went on vacuum, even after three years of
12 having injected acid gas into that well.

13 So clearly it is an underpressured zone, one
14 that is fully capable of the kinds of rates of injection
15 that we have there. It's got a good caprock. There's a
16 whole combination of geologic conditions and well design
17 factors that we'll mention in a little bit that provide
18 full protection of fresh groundwater in the area.

19 And there are no new wells that have been
20 drilled into that injection zone within a mile of the
21 Linam AGI since the last permitting.

22 Q. Your next slide is sort of a representational
23 overview of the geology. Can you review that briefly?

24 A. We talked about this. It's a -- just so that
25 you can see it visually, this is the Central Basin

1 Platform right here. This is the Permian Basin. The
2 Central Basin Platform is this area here, with the
3 Delaware Basin to the west, as I mentioned, and the
4 Midland Basin to the east. And the plant is located off
5 the north end of this Central Basin Platform.

6 And in cross-section, it kind of looks
7 something like this. As you go from east to west or, in
8 our case, from south to north here, you drop off into
9 that Delaware Basin. And you basically have this Lower
10 Bone Springs right here, and you have the Abo terrigenous
11 sediments that provide the caprock right behind the Abo
12 reef, which is located further to the west of where we
13 are.

14 And from there, you go into the normal
15 Permian -- strata of the Permian Basin, including the
16 Glorieta, the Grayburg, San Andres, Seven Rivers, Queen,
17 from there to the surface. And then you have the Dockum
18 Group and the fresh water zones above that.

19 Q. And the next slide is a more detailed geologic
20 representation of the area. Can you briefly review the
21 features of this map for the Commissioners?

22 A. Sure. This map was included in the C-108. It
23 was also included in the original C-108. And this was
24 based on the seismic work that we had done and all of the
25 well logs in the area.

1 What you can see is there's this what we call
2 the Abo Productive Fairway. It's this north/south
3 trending line of Abo producing wells that goes west of
4 where our AGI facility is located. It peters out about
5 here, somewhere between where the plant is and where the
6 AGI facility is.

7 And this was the area identified in green that
8 was the area that was most likely to be productive for an
9 acid gas injection reservoir. And in fact, within this
10 box is where we had identified originally would be the
11 best location for an AGI there. We identified two zones
12 originally. One was what we call the Brushy Basin, which
13 is the Glorieta equivalent in that area, and the Lower
14 Bone Springs as potential candidates.

15 As it turned out, when we drilled the well, we
16 opted for the Lower Bone Springs and to keep the Brushy
17 Basin behind pipe. Which, as it turns out, is another
18 important feature that protects fresh water here, because
19 it is a grossly underpressured and thief zone in this
20 area.

21 In fact, when we drilled the AGI Number 1 --
22 this is what I'm saying. When we drilled the well and
23 got data from the new well, we learned a lot more about
24 the reservoir and the geology out there.

25 But in that zone, which is about 5,000 feet,

1 we lost circulation for two and a half weeks when we were
2 drilling the well. So it was taking everything that we
3 could give it, any kind of loose circulation material,
4 to -- so basically, that zone also provides -- it's above
5 the caprock, and it provides another significant
6 protection for anything that could have possibly come up.

7 You see a couple of faults in this area.
8 These are all faults that are below our injection zone.
9 They peter out before you get to the Bone Springs. And
10 we identified those based on the seismic.

11 Q. Now, based on your analysis originally and
12 three years of injection and subsequent study, have you
13 confirmed your original analysis that the Lower Bone
14 Springs is an appropriate reservoir to receive this acid
15 gas injection at the volumes and pressures that you
16 originally determined?

17 A. Yes. It's below all the existing potential
18 oil and gas production. It's got an excellent caprock
19 and geologic seal that contains that gas. It's got very
20 compatible fluid chemistry. It's isolated from fresh
21 groundwater. It's laterally extensive and permeable and,
22 in fact, underpressured. And we've got about 25 feet of
23 gross porosity about 14 feet after you consider the
24 saturated irreducible water.

25 And we anticipate a radius of injection at 7

1 million, which is currently what we anticipated would be
2 the maximum that would be injected. It depends on the
3 CO2, but that's a good working number. And that is --
4 would result in about a little less than half a mile
5 after 30 years. We presented this in detail in the 2011
6 hearing, as well.

7 Q. Based on the January 2008 step rate test,
8 which is presented in your next slide, maybe you could
9 review for the Commissioners what this step rate test has
10 allowed you to conclude?

11 A. Basically what it allowed us to conclude is
12 that the MAOP that was set for the well was well under
13 the potential fracture pressure. And in fact, what we
14 see is that our projected range of injection rates
15 originally were in here, that we would be seeing
16 pressures around 4,500 feet of bottomhole for the well.

17 And as it turned out, what we have seen is,
18 frankly, that it's a lot better than this. I think we're
19 seeing those kinds of pressures, 4,500 or so bottomhole
20 pressure, and actually with injection rates that are more
21 like around 5 million. And we're seeing that we're able
22 to do that at less than 1,500 psig of injection pressure,
23 which is -- it just speaks to how good the reservoir is.

24 Q. Mr. Gutierrez, your summary of this step rate
25 test is on the next slide. But in sum, your conclusions

1 are depicted here; is that right?

2 A. Basically, we could take maybe as much as 20
3 million cubic feet a day into that zone, and we would not
4 reach the MAOP, and we would not reach the fracture
5 pressures. But that's way above what we anticipate
6 putting in there. It just means that we've got a lot of
7 room to put stuff in.

8 Q. Mr. Gutierrez, in the previous slide you
9 mentioned that you calculated a radius of injection of
10 approximately .47 miles over 30 years. Do you have a
11 slide that discusses the methodology behind that
12 analysis?

13 A. Sure.

14 Q. That's this next one here; is that right?

15 A. Right. It's calculated down here, in the area
16 that's highlighted in yellow. This was included in the
17 C-108.

18 It's basically our radial model of injection
19 for this well. Assuming that that injection was to take
20 place at a maximum 7 million rate for 30 years, we wind
21 up with about .47. And what this lays out is the overall
22 pressure and composition of the injection stream and how
23 we calculate that.

24 Q. The next slide, Mr. Gutierrez, that basically
25 is a map depicting the projected range of the radius of

1 the injected area?

2 A. Yes. This large blue circle is just a
3 one-mile circle around -- just for reference, a one-mile
4 circle around the AGI Number 1. This is kind of a skewed
5 plume depiction after 30 years.

6 This interior one was when we did it at 4.6
7 million for 30 years, and this was 7 million for 30
8 years. You can see it doesn't change a lot. Because
9 what happens is as you get farther and farther out from
10 the initial injection, you encompass a lot more area for
11 every little bit of radius that you add.

12 So you can see there that we anticipate no
13 more than about a half-mile radius.

14 Q. In prior testimony before the Commission, you
15 testified about your expectation that the injected acid
16 gas would stay in roughly that location. Can you just
17 briefly summarize for the Commission your basis for that
18 belief?

19 A. Yeah. Basically, we've got a pretty
20 homogeneous reservoir in that area that is taking acid
21 gas at much lower pressures than what we originally
22 anticipated. It's got a very good caprock. We confirmed
23 that by not only the detailed geophysical logs that we
24 did of the well when we drilled it, but we also did core
25 analyses of the caprock and the injection zone. So based

1 on all of those data is how I concluded that that was an
2 excellent reservoir with a good caprock.

3 Q. Now, your next slide, Number 16 of Exhibit 3,
4 is just a summary of what we just discussed and why the
5 injection is appropriate?

6 A. That's correct. The only point that I would
7 make on this slide that we haven't talked about is that
8 the new well, I just want to emphasize it adds no
9 additional capacity. And it's expected to operate
10 exactly as the Linam AGI Number 1 does, pursuant to the
11 current order and its amendments, but it does also
12 represent some significant design and monitoring
13 improvements over the existing AGI Number 1.

14 Q. We'll get to those in just a little bit. You
15 mentioned earlier in your testimony that there is no
16 existing production of oil and gas within the Lower Bone
17 Springs; is that correct?

18 A. Yes.

19 Q. So the production -- the injection zone would
20 be below any existing production; is that right?

21 A. That's correct.

22 Q. Are there any oil and gas wells in the area
23 within one mile?

24 A. Yes, there are quite a number of them.
25 There's about 19 wells within a mile. Most of them are

1 plugged and abandoned. There are some Abo wells. All of
2 the wells -- all of those 19 shallow wells are completed
3 well above the Lower Bone Springs injection zone, and
4 there are only three wells that penetrate the injection
5 zone in the area.

6 There were only two when we did the
7 application originally. And then, of course, now we have
8 one that we drilled there, the Conoco State Number 1,
9 which is located about a mile away, a little less than a
10 mile away, and Goodwin's Number 3, as well.

11 Those are plugged and abandoned wells that
12 have been plugged for a long time. We reviewed the
13 plugging records and felt confident about the integrity
14 of those wells when we did the initial application, and
15 there's no reason to question any further whether they
16 have a problem.

17 Q. In your opinion, based on your analysis,
18 there's nothing that's changed from the time the original
19 application was granted with regards to these two
20 existing wells?

21 A. No, absolutely not.

22 Q. On Tab 8 of Exhibit Number 4 is the Goodwin
23 Number 3 well, which was in existence at the time the
24 original application was approved?

25 A. Yes.

1 Q. And Tab Number 9 is the Conoco State Number 1
2 well?

3 A. Right. These were provided in the C-108
4 application, both the original one and the current one.

5 Q. Your next slide, Mr. Gutierrez, Number 18 of
6 Exhibit 3, represents the current design and plan for the
7 AGI Number 1?

8 A. Yes. This is the AGI Number 1 as it's
9 currently constructed. It is basically -- as I
10 mentioned, it has three strings of casing that are
11 cemented to the surface. We have a packer set at 8,650.
12 We have new tubing in the well. We have a subsurface
13 safety valve. We have that zone of compromised casing
14 that we talked about that had been affected by corrosion,
15 but did not experience a leak, which is down immediately
16 above the packer here, which we intend to isolate when we
17 put a new packer in. And we've got L-80 tubing that we
18 replaced in May of 2012. And like I mentioned, we
19 inspected and re-worked the tree and the subsurface
20 safety valve and put those back in the well.

21 Q. For the benefit of the Commissioners, Tab 10
22 of Exhibit 4 is the table indicating the cement and
23 casing details for each of these wells; is that correct?

24 A. That's correct.

25 Q. As you said, nothing has changed to alter your

1 opinion that the completion and casing of these wells
2 would compromise any fresh groundwater sources or impact
3 their production?

4 A. Absolutely not.

5 Q. You reviewed just briefly the wellbore
6 schematic for the AGI Number 1. What are some of the
7 lessons learned -- we discussed some of these at
8 length -- but just briefly, some of the lessons learned
9 from the design of the AGI Number 1?

10 A. The first and most important one is the
11 importance of temperature control in the TAG stream to
12 prevent any free water in the tubing.

13 The second added feature is adding some
14 corrosion-inhibited diesel, corrosion inhibitors and
15 biocides to the diesel in the annular space. We could
16 use some improved materials in the casing and the tubing
17 that will provide additional protection against
18 corrosion, in case we should somehow not be able to
19 maintain pressure or have a problem with that.

20 Also, the corrosion is primarily an issue only
21 in the casing and tubing immediately above the packer.
22 That's another thing we have learned. So we have
23 modified the design of Linam Number 2 to add some
24 corrosion-resistant materials in that area.

25 And then we've also incorporated just some

1 general improvements in how we design and operate these
2 wells since 2005. And we'll go through those when we get
3 to the Linam AGI Number 2 design.

4 Q. That's been eight years. So of course, you
5 think there will be some design improvements and
6 technology and so forth?

7 A. It's a rapidly-changing field. In fact, I've
8 been working for the last four months with a group of
9 stakeholders with the Division to develop new AGI
10 regulations, because it is a rapidly-changing field.

11 This is a technology that has been in use
12 since -- for about 25 years. It started primarily in
13 western Canada and -- yeah, there is a lot of work being
14 done and a lot of -- a better understanding of how these
15 wells work and how to improve them.

16 Q. But your design enhancements for the proposed
17 AGI Number 2 don't indicate any failing or problem with
18 the existing AGI Number 1?

19 A. No, they don't. They're just real
20 improvements in the design.

21 And one of the other things that -- I don't
22 want to let the cat out of the bag early. But when I
23 talk about one of these improvements, one of the things
24 we intend to do that has not been done on any AGI yet in
25 New Mexico, and I think will give great data, is that

1 we're going to put a fiber optic line down into the
2 reservoir and be able to monitor bottomhole temperature
3 and pressure real time during the whole injection
4 process.

5 Q. Let's go to your next --

6 A. That's a big addition.

7 Q. -- and talk about some of those elements here.

8 A. We're going to use essentially the same tubing
9 material and casing material from about 1,000 feet above
10 the injection zone to the surface that we have in the AGI
11 Number 1.

12 But just for added protection, we are going to
13 put a specific corrosion -- additionally
14 corrosion-resistant, much more than just L-80 casing, in
15 the thousand feet that go from the -- of the tubing from
16 the packer to 1,000 feet above. We're going to do that
17 in the tubing and the production casing all the way
18 through that injection zone and up through that same
19 level.

20 We're going to use a Sumitomo 2235, which
21 doesn't mean anything to anybody, except for the fact it
22 is a very high-nickel casing and tubing that is
23 significantly more corrosion resistant than the normal
24 sour gas tubing that would be L-80 type tubing.

25 We're basically going to use the same

1 subsurface safety valve and packer, et cetera, because we
2 feel that there really hasn't been any substantial change
3 in those, or the tree.

4 We're going to use a little bit different
5 connection in the tubing, which is a VAM connection, and
6 in the casing, versus a flush joint. And that's just
7 because it makes it easier to install, and it has the
8 same integrity as a flush joint seal.

9 So those are -- and then as I mentioned, we're
10 going to put downhole instrumentation in that well, a
11 fiber optic line, that will allow us to have real time
12 measuring of that pressure and temperature in the
13 injection zone, which will just give us a better
14 understanding of how these wells work. I'm really glad
15 that DCP is willing to do that, because it will provide
16 us some good data going forward.

17 And then the surface facility design doesn't
18 change much. It just adds this new well. But one of the
19 things that Mr. Boatenhamer will testify to is that we
20 did make a fundamental change.

21 The problem that was causing the temperature
22 control was that these temperature controls, the actual
23 box that controlled them, if you will, was mounted on the
24 compressor skid, and it was subject to a lot of vibration
25 from normal operations. And that was partially the cause

1 for not being able to control that temperature. So
2 that's been completely moved already. That was done last
3 spring and has really improved the operation.

4 Q. Now, this next slide is just a graphical
5 representation of those design elements that you already
6 discussed?

7 A. Yes. And I want to emphasize that there are
8 just a couple of minor changes that have been added here,
9 if you will, to this design that were not in the original
10 C-108. And those I've already discussed.

11 That's basically that we're going to put that
12 corrosion-resistant casing all the way up to -- the
13 production casing will go to inside the intermediate
14 casing. And we will extend approximately 1,000 feet of
15 corrosion-resistant tubing above the packer, in addition
16 to having the strings of cement, as normal, circulated to
17 the surface for all of these strings.

18 One thing you'll notice that's a little
19 different, and this is not really an added design feature
20 for the well for the purposes of long-term operating of
21 the well, but it's more a safety feature. It's going to
22 improve the overall design, but it's really a safety
23 feature for drilling the well.

24 Here's the situation: We know we're going to
25 drill into a zone that we've been injecting acid gas into

1 for three years, and we're going to do it very close to
2 the original well. So what we're going to do differently
3 in this well is we're going to take this intermediate
4 string -- if you'll notice, this has four strings of
5 casing, instead of three, which is what Linam AGI Number
6 1 has.

7 And the reason why we're adding that fourth
8 string is basically, we're going to take the
9 nine-and-five-eighths-inch casing all the way down --
10 right now in the Number 1, it's only down to 4,200 feet.
11 Here we're going to bring it down to 8,600 feet,
12 immediately above the injection zone.

13 The reason why we're doing that is one reason,
14 a simple reason. That is that when we drill into that
15 acid gas reservoir that we've been injecting acid gas
16 into, we will encounter acid gas. We've got to keep that
17 well under control while we're constructing the well. So
18 for that reason, we're going to take that intermediate
19 string, at a cost of almost \$2 million additional, all
20 the way down to 8,600 feet, because we know, as I
21 mentioned earlier, that below the current 4,200-foot
22 depth that we have the casing in Number 1, we encounter
23 this lost circulation zone in the Glorieta. And our
24 concern is that we might not be able to keep enough mud
25 on that hole, open hole, to control the acid gas in the

1 reservoir when we drill into that reservoir.

2 So what we want to do is have casing set
3 already, before we ever penetrate that injection zone,
4 all the way to the top of the injection zone, so it will
5 facilitate us being able to set production casing with a
6 minimum of safety concerns to the workers on the rig.

7 That was part of the original design that was
8 presented in the C-108. The only difference that is
9 shown here is the addition of these strings of
10 corrosion-resistant casing in the tubing and in the
11 casing, and then also the fact that we will be using this
12 downhole pressure and temperature monitoring via fiber
13 optic.

14 Q. In your opinion, will the design of the AGI
15 Number 2 enhance the reliability and overall
16 effectiveness of the AGI facility and the operations of
17 the plant?

18 A. Just the fact of having a second well itself
19 will significantly increase the reliability of the AGI
20 facility, because it simply allows you to use one well
21 while the other is being worked over and minimize any
22 kind of flaring or shut-in events.

23 But clearly, we will learn more about this
24 reservoir, that we've already learned quite a bit about,
25 by having this additional instrumentation put in it. So

1 yes, I do believe it will.

2 Q. Have you reviewed the six conditions that the
3 Division has proposed be incorporated or being part of
4 the requirements that DCP meet for this well?

5 A. Yes, I have.

6 Q. Do you have an opinion on those?

7 A. Sure. Basically, I think all of the
8 conditions are reasonable. And we don't really have a
9 problem with any of them, except for Condition Number 3,
10 which relates to the monthly reporting.

11 My understanding is that the reason we were
12 doing that in Linam AGI Number 1 is that it would be a
13 temporary procedure to make sure that we're keeping that
14 well being operated safely, an every-six-month MIT,
15 combined with that monitoring, until we can stack another
16 packer and finish and effect the workover that we had
17 planned there. So I think that's entirely appropriate
18 for the Linam AGI Number 1 until we complete that
19 workover. I don't think there's any problem. We collect
20 that data anyway.

21 But I think monthly reporting of it on a brand
22 new AGI well is not necessary. But I mean we collect
23 that data anyway, and it's certainly available for the
24 Division to see at any time.

25 Q. Thank you, Mr. Gutierrez. Just a couple of

1 quick issues. The source of the injection fluids will be
2 the treated acid gas in the plant; is that correct?

3 A. It's the same source as the AGI Number 1.

4 Q. Have the constituents of that source changed
5 at all? Are the components roughly the same, or how have
6 they changed? What is the component makeup now of
7 that --

8 A. The H2S concentration hasn't changed much.
9 But what we're seeing in the inlet gas is some increases
10 in the CO2 concentration, so we talked about this at the
11 July 2011 hearing.

12 But right now the well -- the plant is running
13 at about 225 million, which is its full capacity, and
14 we're only producing about 5 million -- 5 to 5 and a
15 quarter million a day acid gas, rather than the 7
16 million. However, it might eventually get to 7 million
17 if we continue to see increases in the CO2.

18 But right now we're injecting roughly 88
19 percent CO2 and 12 percent H2S. If the CO2 concentration
20 increases, then we'll probably wind up maybe at 8,911 or
21 somewhere in that range.

22 Q. Is this an open or closed injection system?

23 A. It's a closed system. The Lower Bone Springs
24 is a closed system.

25 Q. Let's move on to some of the fresh water

1 issues that we've reviewed and analyzed. Are there any
2 fresh water zones in the area of injection?

3 A. Yes.

4 Q. Can you identify those, please?

5 A. Sure. There's fresh water in basically three
6 zones: Quaternary Alluvium, where it exists, essentially
7 the alluvial unconsolidated deposits at the surface. And
8 then below that, we're in a kind of transition zone. The
9 Ogallala Aquifer is pinching out in this area. So in
10 some locations, you have a little bit of Ogallala below
11 the Alluvium and between the Alluvium and the Dockum
12 Group, the red beds. But in other areas you have it
13 going directly from the Alluvium into the red beds.

14 So we basically have three fresh water zones:
15 The Alluvium, the Ogallala and the top portion of the
16 Dockum Group. That lowermost of those would be the top
17 portion of the Dockum Group, which is at about 300 feet.
18 It would be the base of that fresh water zone.

19 Q. Your next slide, 22, of the Exhibit 3, is
20 basically a review of how the AGI will -- how the geology
21 in the AGI Number 2 will help protect fresh groundwater
22 sources; is that right?

23 A. Yes. With all of these AGI wells, we work
24 with two things. We use man-made features, i.e., the
25 well design, to protect these fresh water zones and

1 producing zones, and we use the geologic environment
2 itself. Selecting a good location and the appropriate
3 reservoir is key to doing that. So those two features in
4 here are summarized on this slide.

5 Basically, the well design features we've
6 already talked about: The four strings cemented to the
7 surface, cement in the injection zone, and caprock that
8 is corrosion resistant, and we've got maximum fresh water
9 at less than 300 feet.

10 Just to give you an example, the current AGI
11 Number 1, the surface casing goes down to 550 feet. So
12 it's already 250 feet, approximately, below the fresh
13 water there.

14 In the new well, we have the same basic
15 surface casing, and then we have these additional strings
16 of casing that I already talked about.

17 We also have an injection zone that's more
18 than 8,300 feet below the base of any fresh water. And
19 we have an excellent caprock above -- almost 3,000 feet
20 of caprock above the Lower Bone Springs, with another
21 underpressured zone, the Brushy Basin, immediately above
22 it.

23 And then above that, we have production zones,
24 about 2,000 feet of zones that are productive out there,
25 some of which are sour, some of which are sweet.

1 Then above that, we have 1,000 feet of salt in
2 the Castillo Formation and the Salado Formation, and then
3 we have the Dockum Red Group.

4 Q. Your next slide identifies the location of the
5 fresh water wells that you were able to find?

6 A. These are the ones that are listed in the
7 State Engineer's office. And then Mr. Smith's well is --
8 the well that he has brought up in this location is
9 located right in this location, approximately here.

10 These are different types of fresh water
11 wells. Some are domestic wells, some are production
12 wells, some are irrigation wells. But those are the ones
13 that were identified from the State Engineer's records.

14 Q. Just for the Commissioners' benefit, Tab 14 of
15 Exhibit 4 is a table identifying the location and the
16 details on those wells; is that right?

17 A. That's right. From here, you can see that the
18 maximum well depth of any of these wells is about 200. I
19 think the deepest one is this Markwest Pinnacle well,
20 which is about 270 feet.

21 In fact, most people that drill water wells
22 out there, they really don't want to go too far into the
23 Dockum Group, because the quality of water in the Dockum
24 Group is far worse than the quality of water in both the
25 Alluvium and the Ogallala. We can see that in the

1 results of water analyses out there.

2 When you look at just the general water
3 quality in the area, what you see is that the Dockum
4 Group has pretty elevated sulfates and chlorides relative
5 to the Ogallala and the Alluvium that you see out there.

6 Q. Have you provided some water samples from the
7 area within one mile to the Division?

8 A. We included those in the original C-108. And
9 then we also -- as a result of the conversation I had
10 with Mr. Jones about -- basically, I think it was last
11 week, on Wednesday or Thursday, I agreed that -- I told
12 him we can get some more recent samples. We got those on
13 Friday and Monday and transmitted the results when we got
14 them on Tuesday.

15 Q. Exhibit 7, which I have here, is the result of
16 those analyses?

17 MR. RANKIN: Madam Chair, may I approach?

18 CHAIRMAN BAILEY: Yes.

19 Q. (By Mr. Rankin) Mr. Gutierrez, have you
20 anything to point out on these samples?

21 A. I guess just to point out that these are
22 samples from two wells. Actually, if we could put up
23 that slide that has the map of the wells in the area?

24 Q. Twenty-three?

25 A. Right. Just for reference, these two

1 wells -- one is located right here, and one is located
2 right here, east of the AGI well. Both within --

3 CHAIRMAN BAILEY: For the record, could
4 you be a little more specific? Because she has
5 difficulties knowing where "right here" is.

6 THE WITNESS: I'm sorry. Yes.

7 One well is located approximately
8 three-quarters of a mile east, directly east of the Linam
9 AGI Number 1. And one well is located approximately
10 two-thirds of a mile south of the AGI Number 1 and
11 slightly west, located near the Hobbs plant for DCP
12 there.

13 These two wells are both pretty much
14 representative of the kind of water that we see in
15 general in the area. One of them has much higher
16 sulfates than the other well does. One has sulfates that
17 are running around 60 parts per million, the other one is
18 about 213 parts per million, both of which are normal.

19 We have some quite elevated -- basically, if
20 you look at the published literature in the area where we
21 got the original samples that were in the C-108, and the
22 USGS has done some studies out there, as has the Bureau
23 of Mines, the range of sulfates is -- for example, in the
24 Ogallala, probably about 30 to 60 parts per million
25 sulfate; in the Alluvium, probably about a similar range,

1 maybe slightly less.

2 However, in the Dockum Group, those range from
3 100 parts per million to as much as 6,800 parts per
4 million throughout Lea County. We also have higher
5 chlorides in that Dockum Group. It's just generally
6 harder water.

7 Q. Mr. Gutierrez, based on your original analysis
8 of the area and your engineering data and the geology,
9 have you determined that there are no apparent faults or
10 geologic conduits that would act as a conduit for the
11 injected acid gas?

12 A. Yes.

13 Q. And that's based on your seismic survey and
14 other analyses?

15 A. It's based on all of the geologic data out
16 there, seismic, the well logs, the correlations and the
17 cross-sections that we've done out there.

18 Q. Based on your opinion, will the proposed
19 injection pose a threat to any underground source of
20 drinking water or fresh water?

21 A. No, neither the proposed injection nor the
22 injection that we've been doing to date.

23 Q. In your opinion, will the granting of DCP's
24 application further the protection of human health and
25 the environment?

1 A. Yes, because it will reduce the likelihood of
2 flaring events both at the Linam gas processing plant and
3 all of the wells that are upstream from those.

4 Q. Mr. Gutierrez, would the granting of DCP's
5 application require any changes or modifications to the
6 approved H2S contingency plan?

7 A. Yes, it will. Because when the well is moved,
8 when there is another well added, that will slightly
9 shift the ROE for that H2S contingency plan, depending on
10 where the final exact location of that well is.

11 Q. Can you define ROE?

12 A. I'm sorry. The Radius of Exposures at the
13 hundred and 500 ppm level.

14 Q. The amendment of the contingency plan is
15 something that would be done between DCP and the
16 Environmental Bureau of the Division; is that correct?

17 A. It's done pursuant to Rule 11. There is an
18 approved Rule 11 plan currently for the AGI facility as
19 it exists. We will modify that plan and have it approved
20 prior to initiating injection in the new well.

21 Q. And that's nothing that the Commission needs
22 to address at this hearing; is that correct?

23 A. That's correct.

24 Q. Mr. Gutierrez, can you please summarize from
25 Slide 26 the environmental and operational benefits?

1 A. Right. To really bring the whole thing
2 together, I think the addition of another point of
3 injection into that reservoir significantly enhances
4 protection of the public by assuring a greater
5 consistency in the ability to inject acid gas and to
6 switch live from a well that may require maintenance to
7 another injection point without causing the plant to be
8 shut down and all of these upstream wells to be shut in.

9 The improved design of this particular well
10 and the downhole monitoring of pressure and temperature
11 is going to give us a lot of additional data on that
12 reservoir which will be useful not only for this well,
13 but just for a better understanding of how these wells
14 behave for use in future applications and in the future
15 understanding of how the well will behave.

16 The Linam AGI Number 2, as I mentioned, will
17 provide additional reliability and uptime. And the H2S
18 is being returned to the geologic reservoir where it came
19 from, as is the CO2, and no additional wastes are being
20 generated.

21 And again, the CO2 which was being released
22 when we had a Sulfur Reduction Unit or when these flaring
23 events occurred or whatever was being sequestered, it's a
24 greenhouse gas that's being sequestered.

25 Q. In your opinion -- let me back up real quick.

1 Can you also quickly summarize what it is that DCP is
2 requesting of this application?

3 A. Sure. Basically, as you know from the C-108,
4 we're basically requesting the ability to have another
5 well that will serve as a redundant or backup. And that
6 will allow us to inject while we are doing maintenance on
7 these wells, or it will allow us to cycle from using one
8 well to another and back and forth. That will allow
9 both wells to be on kind of a preventative maintenance
10 schedule and inspection that will allow for a better
11 overall operation.

12 And of course, it will allow us to work over
13 the Linam AGI Number 1 without having to shut in
14 producers.

15 Q. In your opinion, will the granting of this
16 application result in waste or impair any correlative
17 rights?

18 A. No, not at all.

19 Q. Were Exhibits 1 through 7 prepared by you or
20 compiled under your supervision --

21 A. Yes.

22 Q. -- or do they represent business records of
23 Geolex and/or DCP?

24 A. Yes, sir.

25 MR. RANKIN: Madam Chair, I'd like to

1 tender for admission Exhibits 1 through 7, with the
2 exception of Slide Number 25 from Exhibit Number 3, which
3 we did not offer.

4 CHAIRMAN BAILEY: Any objections?

5 MR. ALVIDREZ: No objection.

6 MR. RANKIN: One additional comment. We
7 did not offer Exhibit 6, which was a DVD of the cement
8 bond logs. So we won't offer Number 6 for admission.

9 CHAIRMAN BAILEY: Did you have any
10 objections?

11 MR. ALVIDREZ: No objection.

12 MS. GERHOLT: No objection.

13 MR. RANKIN: Madam Chair, I pass the
14 witness.

15 CHAIRMAN BAILEY: The exhibits, as you've
16 described them, are accepted.

17 Do you have any cross-examination,
18 Ms. Gerholt?

19 (DCP Exhibits 1 through 5 and Exhibit 7 were admitted.)

20 MS. GERHOLT: I do, Madam Chair.

21 CROSS-EXAMINATION

22 BY MS. GERHOLT:

23 Q. Mr. Gutierrez, in layman's terms, would you
24 please explain what's happening in a reservoir when a
25 well goes on a vacuum? You talked about when you were

1 completing the workover for the AGI Number 1, it went on
2 a vacuum. I'm just trying to understand what that means
3 and what that means for the reservoir.

4 A. Sure. What it means is that the reservoir --
5 going on a vacuum means that it's taking fluid without
6 having to have any pressure applied to it. In other
7 words, it means that that reservoir is underpressured
8 relative to the zones around it and that it will take
9 fluid at a lower pressure.

10 What it means is that it is a reservoir that
11 is transmissive and that is not reaching its capacity in
12 terms of what it can hold.

13 Q. If something is not being injected into that
14 reservoir, does anything change within that reservoir?

15 A. What it means is that whatever fluid that is
16 in that reservoir is not likely to be migrating anywhere.
17 Because it is essentially underpressured, there's no
18 force to make it move away.

19 Q. Again, in regards to the workover of the AGI
20 Number 1, after sending the tubing to the metallurgic
21 company, it was determined that there was pitting inside
22 the tube. Was that pitting caused by the free water in
23 the tubing?

24 A. It was caused by the free water mixing with
25 the acid gas that we were injecting in the tubing, yes.

1 Q. And you're of the opinion that managing the
2 temperature will stop that free water from coming out; is
3 that correct?

4 A. Yes. And in fact, that's what we've observed
5 in the operation of the well since we got that
6 temperature under control. Because we just did an MIT on
7 November 14th, after almost the entire year of operating
8 under those conditions, and it passed without any
9 problem. So we don't have any additional corrosion.

10 Q. What is that current temperature range?

11 A. Roughly about 120 degrees. It varies from 115
12 to maybe 125, in that range. But it's roughly about 120,
13 121 degrees.

14 Q. So at the most, a range of between 5 degrees
15 you're seeing, more or less?

16 A. Well, it is -- under a normal operating
17 system, when you stop injecting, the temperature of the
18 acid gas that's in the well itself, you know, does tend
19 to start equalizing somewhat. But the reservoir
20 temperature is about 130 degrees anyway.

21 So the variation that we see in that
22 temperature, I'd say, is plus or minus 5 degrees, yes,
23 somewhere in that range. About a 10-degree variation,
24 from about 115 to 125.

25 Q. You mentioned that in December of last year,

1 DCP discovered that there was an issue when they went to
2 conduct the MIT and that you reviewed the data that was
3 collected on this real time injecting; is that correct?

4 A. Yes, that's correct.

5 Q. Was this data also provided to the Oil
6 Conservation Division?

7 A. It was, in December, along with that December
8 19th letter.

9 Q. I'm not certain if you're the right person to
10 direct this to. So if you're not, please let me know who
11 is.

12 You mentioned in drilling -- if the Commission
13 were to permit a second AGI well, that in the drilling of
14 this second well, you would place an additional
15 intermediate string that would be placed further down
16 than in the current AGI Number 1; is that correct?

17 A. That's correct.

18 Q. Can you explain the safety procedures that
19 will be in place during the drilling of the second well,
20 because you will encounter an acid gas plume?

21 A. Sure. First of all, we will have -- just like
22 we did during the workover, we will have a safety
23 company, like Total Safety -- I don't know if it will be
24 Total Safety, but somebody like that -- that will have
25 developed -- and we will have developed a specific H2S

1 contingency plan for the drilling of the well. That's a
2 different thing than the H2S contingency plan associated
3 with the operation of a normal injection well.

4 For any -- you're required, under New Mexico
5 rules, to develop an H2S contingency plan any time you
6 think you might encounter H2S when you're drilling a
7 well. So here we don't only think we will encounter it,
8 we probably will probably encounter it. We may not. It
9 may not have extended as far away as where we put this
10 additional well.

11 It's right on the edge of where I calculated
12 is the extent of the acid gas that we have in the
13 reservoir right now. So we may or may not encounter it,
14 but we want to ready for it. So we'll have an H2S
15 contingency plan that deals with that.

16 One of the big advantages is that we're
17 drilling so close to the existing well that we don't
18 anticipate any significant differences in the geology
19 between the two, so we know at exactly what depth we're
20 going to hit the top of the injection zone. So we're
21 going to stop before we get there, and we're going to set
22 this casing.

23 And the main reason for that, if I were
24 drilling this well and we had not already been injecting
25 acid gas, I would have not recommended this deeper

1 casing. But the problem is that we've got -- it's not a
2 problem; frankly, it's an advantage to us -- is that we
3 have this lost-circulation zone above the caprock.

4 If we were drilling the well like we drilled
5 the AGI Number 1, my fear is that I would not be able to
6 maintain enough mud weight in the hole to be able to
7 control the injection zone while I'm setting the
8 production casing, and I have 5,000 feet of open hole
9 between the intermediate casing and the injection zone.

10 So for that reason, I'm extending and drilling
11 a larger-diameter hole deeper, to just above the
12 injection zone. I will set casing and cement that. And
13 that means that I will only have a very small open hole
14 when I penetrate that injection zone.

15 Q. Mr. Gutierrez, if I can draw your attention to
16 DCP Exhibit 4, the C-108 application, specifically to
17 page 3. The bottom says, "page 3." It's not actually
18 the third page within the application.

19 If I can draw your attention to the third
20 paragraph from the bottom, it begins, "In addition to
21 providing a safe and adequate reservoir." Do you see
22 that sentence?

23 A. Yes.

24 Q. Just for clarification of the record, DCP is
25 here today only on a Class 2 disposal well; is that

1 correct?

2 A. Yes.

3 Q. They are not seeking a Class 6 authority?

4 A. Absolutely not.

5 MS. GERHOLT: Those were my only
6 questions. Thank you, Madam Chair.

7 CHAIRMAN BAILEY: Mr. Alvidrez, do you
8 have any?

9 MR. ALVIDREZ: Yes, Madam Chair.
10 Good morning, Mr. Gutierrez.

11 THE WITNESS: Good morning.

12 CROSS-EXAMINATION

13 BY MR. ALVIDREZ:

14 Q. If I could have you flip to Slide 18 of your
15 presentation? And I believe you testified earlier that
16 this is sort of a graphic depiction of the existing AGI
17 Number 1 well?

18 A. Yes, sir.

19 Q. This is the AGI well that you described
20 earlier as having, I guess, suffered a failure or having
21 a leak; is that correct?

22 A. The tubing within the well leaked, yes, sir.

23 Q. In reference to the graphic depiction, when
24 you say, "the tubing had a leak," can you show us where
25 the leak area was?

1 A. Yes, sir, I can. It was right here,
2 immediately above the packer, and right here on the wall
3 of this tubing.

4 As a matter of fact, it wasn't even all the
5 way around the tubing, but it seemed to be almost in a
6 line of pinholes and then holes that ranged up to about
7 this size in the tubing -- "this size" being about an
8 inch and a half or so in diameter -- and they were
9 restricted to the bottom 60 feet of the tubing, right
10 here.

11 Q. So there were 60 feet of area where the
12 integrity of the tubing had been compromised?

13 A. Yes. As I mentioned, the bottom most joint,
14 the 20 feet, is the one that had the most holes that
15 actually penetrated the tubing. But the next 42 joints
16 also had pitting and corrosion and some pinholes -- small
17 holes in them.

18 Q. Just so we can kind of tell what the schematic
19 is, or so I can, you've got the center tubing here.
20 You've identified where the perforations were?

21 A. Yes, sir.

22 Q. And then you've got these little boxes
23 depicted. Are those packer -- or is that the packer?

24 A. This X here, that is the packer, yes, sir.

25 Q. What does that do? What function does that

1 serve?

2 A. To put it simply, it's like if you remember in
3 chemistry, where you put a rubber stopper, and you put a
4 piece of glass in a flask. That rubber stopper is what
5 prevents the material that you're injecting through the
6 tubing into the perforated interval, the well, from
7 coming back at you. It's essentially like a stopper.

8 Q. From your earlier testimony, I understood that
9 there was a plan to put another packer in, and that plan
10 didn't work out so well. Where was the second packer
11 going to be put in?

12 A. Immediately above the original packer. So
13 essentially what we would do if -- I don't know if -- I
14 could draw it on that board for you.

15 But basically what it was going to do was
16 have -- the existing packer would be sitting there, and
17 we would have -- if you notice, the existing packer has
18 tubing that extends below it. This is not actually part
19 of this same tubing. It's what's called a seal assembly,
20 and it's permanently in the packer.

21 So what we were going to do is take another
22 packer that would also have a seal assembly, stab the
23 seal assembly into the existing packer, and then have
24 another packer right above it. So basically, there would
25 be a continual tubing going through both packers and into

1 this zone.

2 And the other packer was going to be set at
3 8,600 feet. This one is set at 8,650.

4 Q. The plan, when this AGI Number 1 well is
5 re-worked, is to attempt to re-insert that packer?

6 A. We will get a packer in there. The problem
7 that occurred is we actually had -- my own opinion is
8 that we had a failure.

9 These packers are set up so that you basically
10 slide them in the well, and then you set them
11 hydraulically. I don't need to go into all the details.
12 I'm not sure that I even understand exactly how these
13 things work. But the bottom line is they're set
14 hydraulically.

15 But when you're sliding the packer down the
16 hole, if it encounters an area where the casing might be
17 slightly out of round or where there is a little
18 constriction or bend in the casing, then what can happen
19 is it's almost like you get it; it gets stuck. And then
20 as you try to move it further down or up, it shears off
21 these -- what are called setting pins, and it allows
22 these grippers, if you will, to grip the casing. And
23 then the packer is -- and then it's there, and it's not
24 going anywhere.

25 Q. And that's what happened?

1 A. That's what happened here, and it happened at
2 about 800 feet. So obviously, we were not going to set a
3 packer at 800 feet, so we had to mill it out of this
4 well.

5 Q. This second packer that you recommended is for
6 reliability and safety purposes; correct?

7 A. In order to -- as I mentioned, while this
8 tubing had holes in it, there is casing opposite that
9 tubing above the packer. That casing did not have any
10 holes in it, but the casing integrity log showed that it
11 did experience some corrosion.

12 So what we want to do is isolate that so that
13 we don't have a chance, if any acid gas were ever to
14 escape into that annulus again, to attack that piece of
15 casing that's already had some corrosion. Because the
16 casing that is below here, by the way -- I mean anything
17 that's below the packer you can expect a lot of corrosion
18 in, because that's just how these wells work. But what
19 we don't want is for that to occur above the packer.

20 Q. Your analysis and the analysis that the
21 metallurgist did indicated that you were getting
22 corrosive effects from both the inside and the outside of
23 the tubing?

24 A. We had initially free water in the tubing. It
25 caused some communication with the annular space here.

1 And then once you added acid gas in this annulus, it was
2 working at it from both sides, so to speak.

3 Q. Once it started leaking, the water got
4 outside, into the annular space. And that just sort of
5 accelerated the corrosive activity; is that --

6 A. That's basically it. Yes, sir.

7 Q. And as I understand it, in terms of how the
8 water got in there, it was due to a failure to control
9 the temperature within a close enough range to keep water
10 from forming?

11 A. Yes. When you compress acid gas prior to
12 putting it in the hole, you do it in five stages. And at
13 each one of those stages, the free water is dropped out
14 and taken out of that acid gas.

15 Now, once it goes in the last stage, you have
16 this gas compressed to what we call a supercritical
17 phase. What that means is it's in a phase envelope,
18 which is a pressure/temperature envelope, that gas is in
19 that makes it behave -- even though it's still a gas,
20 it's a dense phase and it behaves like a liquid.

21 If you have fluctuations where that gas can
22 get out of that phase envelope, you can have some very
23 small amount of water that is still left in that gas that
24 essentially condenses out. And that's called free water,
25 and that's what caused the corrosion.

1 Q. I guess is the combination of the water and
2 the acid gas a very corrosive substance?

3 A. Yes.

4 Q. As I understand it on the new well, the
5 proposed well, AGI Number 2, you're using some type of
6 treated or conditioned tubing, at least in a portion of
7 it, that is resistant to corrosion?

8 A. Yes. It's not -- I think it's not necessary
9 with respect to the -- with the current ability to
10 control the temperature better. In fact, we don't use it
11 in a lot of other AGI wells. But it basically provides
12 for additional safety in terms of the tolerance of that
13 material to handle some occasional corrosive condition.

14 Q. As I understand it, when this AGI Number 1 was
15 re-worked in April of this year, all 8,000-plus feet of
16 the tubing was pulled out; is that correct?

17 A. That's correct.

18 Q. Was entirely new tubing installed, or did you
19 put the old tubing --

20 A. We installed 8,650 feet of brand new tubing.

21 Q. I take it the new tubing that was installed
22 doesn't have this corrosion inhibitor that you're
23 planning for the new one?

24 A. It is the same type of tubing that we had in
25 there before. It's L-80 tubing.

1 Q. It doesn't have the corrosion inhibitor
2 protection that you talked about with respect to the
3 proposed design on the second well?

4 A. That's correct.

5 Q. In terms of -- you've identified an issue in
6 terms of temperature variation and the formation of
7 water.

8 You would agree, would you not, that it would
9 be prudent to have an operational parameter with respect
10 to this well, where you would operate within an
11 acceptable range, temperature range, to avoid the
12 formation of water in the tube, would you not?

13 A. Yes. And as a matter of fact, that was my
14 recommendation to DCP and, in fact, what we they
15 implemented and have been continuing to do.

16 Q. You would recommend that the Commission, as
17 part of its oversight in ensuring safety, health and the
18 environment, would impose an operational parameter or
19 requirement that operations be maintained within that
20 acceptable range, would you not?

21 A. I wouldn't see a problem with that, except
22 that one of the things that we have to recognize is that,
23 you know, in a situation where you have a startup
24 condition or a -- when you have to cease injection and
25 then start again, it will take some time to get that

1 reestablished. But yes, I think the goal is to operate
2 that within a specific temperature range.

3 Now, it's important to remember it's not just
4 temperature, but it's a pressure/temperature
5 relationship. So as long as you have a combination of
6 those two factors that allows you to stay in that phase
7 envelope, you won't develop any free water.

8 But the bottom line is yes, I think you can
9 operate -- if you can operate it within that temperature
10 range, it is significantly helpful.

11 Q. In terms of operational parameters -- let me
12 step back.

13 You talked about depending on the pressure,
14 one temperature, I guess, would be less conducive to
15 water formation. Is there an inverse relationship? The
16 higher the pressure, the lower the temperature?

17 A. It's a complicated phase diagram. But
18 basically you can raise the pressure and lower the
19 temperature and you still will be within the phase
20 envelope, or you can raise the temperature and slightly
21 lower the pressure and still be in that same phase
22 envelope.

23 But in effect, when you are controlling all of
24 those program parameters, the real key is establishing a
25 differential pressure between what you observe in the

1 annular space and the tubing. And as long as you keep
2 that temperature constant, maintaining that differential
3 and knowing that operating range, that's the most
4 effective way of controlling this, rather than strictly a
5 temperature control.

6 Q. How are those operating conditions monitored?
7 Let me ask it with respect to the AGI Number 1 well.

8 A. Sure. There are sensors that are placed
9 immediately at the wellhead. So above the well tree and
10 in the tubing that leads from the compressor to the
11 wellhead, there are monitors in those lines. And they
12 monitor pressure, so you know your injection pressure.
13 We have to monitor that because we know we can't exceed
14 the maximum operating pressure.

15 And those are connected electronically to
16 what's called the Scadar PLC system at the plant, so
17 those are taking readings. Every like tenth of a second,
18 I think they're taking readings. So they're reading
19 continuously the injection pressure.

20 The injection temperature, the annular
21 pressure that is in the space between the tubing and the
22 casing, right in here, that's being monitored at the
23 wellhead. And those are being fed back to the plant, and
24 they're also recorded. That data is stored
25 electronically.

1 Right now I get essentially an electronic dump
2 of that data every month for the previous month, and
3 that's what I use to prepare my report to the OCD that
4 gives the graphs and the actual monitoring conditions.
5 And I reduce it to only providing hourly data, just
6 because otherwise, it would be huge.

7 Q. Do you provide that in electronic format or a
8 written report?

9 A. Both.

10 Q. In terms of the operational parameters you
11 talked about, controlling pressure and temperature, is
12 that something -- a report or some analysis that you've
13 prepared and provided to DCP for their operations?

14 A. I'm sorry, I don't understand that.

15 Q. I understood that you talked to DCP and said,
16 "The cause was because of a great temperature variation.
17 You need to maintain operations within a given parameter
18 so that we don't have this water produced"?

19 A. Yes.

20 Q. I'm asking, did you have a written report or
21 something like that that you gave to them?

22 A. No, I didn't. I communicated that verbally
23 and in several meetings where we went over the
24 metallurgical results and the metallurgical analyses that
25 we got.

1 And I used basically the C-103s and the graphs
2 that we prepared along with those reports to the agency,
3 to frame that discussion with DCP. I said, "See how we
4 maintain this pressure here? See, when it gets out of
5 this range, we have a change in the annular pressure?"
6 So I did it basically that way, verbally.

7 Q. How is DCP able to confirm that it's operating
8 within the parameters that you suggested for them?

9 A. They're -- like I said, they've got real time
10 monitoring continuously. So they've set -- and maybe you
11 can ask Mr. Boatenhamer specifically. But I know that
12 they've got alarms set up so it allows them to see if
13 they're in the band, so to speak.

14 Q. Are you able to tell the Commission today what
15 the parameters are? Is that something that you can talk
16 about, an upper end of the pressure versus temperature?

17 A. Sure. I think if we looked at one of the
18 C-103 reports that shows that for the monthly, you could
19 track it. But generally, I think it's, as I answered
20 Ms. Gerholt's question, that the temperature band was
21 roughly between 115 degrees and 125 degrees.

22 Q. That would be more of an optimum temperature
23 band?

24 A. Yes. It's not so much that the temperature
25 was out of that band at any one point in time.

1 It was more that when they were operating the
2 well initially, there was very poor control on that
3 temperature because of the problems with the control
4 systems that I described, and it was ranging very
5 dramatically.

6 It's really the huge fluctuations that caused
7 the problem, rather than -- I mean you could have
8 accomplished the same thing by staying in a lower
9 temperature band with a higher pressure, but as long as
10 you didn't fluctuate very dramatically there.

11 Q. One of the parameters that you want to build
12 into an operational requirement would be not allowing the
13 temperatures to fluctuate outside a given band?

14 A. Right, right.

15 Q. What would that fluctuation amount be?

16 A. Like I said, I think ideally it would be
17 probably between 115 and 120 degrees, the temperature.
18 But I wouldn't see a problem with necessarily going down
19 to like 100 degrees and then going back up. I would not
20 want to be seeing anything certainly lower than 100
21 degrees.

22 Q. In terms of when you -- you talked about -- I
23 think you suspected there was emulsified diesel. And I
24 understand that to mean that there's water in the diesel,
25 and it becomes kind of a congealed substance down there.

1 Is that something that you actually saw when
2 the tubing was pulled up?

3 A. Yeah, we did. I couldn't tell you exactly --
4 obviously, when it came out, we had emulsified it
5 ourselves because we killed the well with brine. So I
6 couldn't tell you that what I saw was specifically what
7 was sitting down there at the bottom of the hole.

8 But what I did to determine that was basically
9 I went to what the standard was for the diesel that we
10 purchased, which is a normal diesel standard. And what I
11 found is that the allowable amount -- now, I don't know
12 if that's how much water was in the diesel or not.

13 But I mean the allowable amount for diesel to
14 pass standard would result -- when you put 8,600 feet of
15 diesel in that column, would result in about the
16 equivalent of about a foot of free water, if you were
17 able to take all the water out of the diesel, so to
18 speak.

19 So my hypothesis is that what happened after
20 the diesel sat essentially immobile in that annular space
21 over an extended period of time, whatever water could
22 separate out of that diesel, if any, would have settled
23 at the bottom, above the packer. Because of course, that
24 diesel can't go out of this closed system, so it would
25 have settled down there.

1 And the emulsified diesel down there, once we
2 had acid gas in that annulus, then that acid gas takes
3 advantage of whatever water is down there to make a more
4 corrosive situation.

5 So what we've done -- another thing that we
6 did when we put the new diesel back in was to add further
7 corrosion inhibitors. And we got as good a diesel as was
8 available, and we added corrosion inhibitors and
9 biocides, too.

10 Q. The biocides are to control, I guess, the
11 formation of any biological material, bacteria?

12 A. Yeah, because bacteria can cause corrosion
13 also. We didn't see any evidence of bacterial corrosion
14 when we got the metallurgical results because we didn't
15 have the metallurgical results when we were putting the
16 well back together yet.

17 Q. So I'm clear, is my understanding correct that
18 there are really two potential sources of water with
19 respect to this? There's the source of water or some
20 sort of water condensate that forms on the inside of the
21 tubing, and then there is also the water that would be in
22 the diesel, in the annular space? Is that -- is my
23 understanding correct about that?

24 A. Those are the two potential sources. However,
25 the water that would be the emulsified diesel, if you

1 will, in that annular space, as long as it's not exposed
2 to any acid gas, it really doesn't have much of a
3 corrosive effect.

4 Q. As I understand it, the Linam AGI Number 1
5 went into operation in 2009?

6 A. In December 2009, roughly, yes, sir.

7 Q. And so I guess roughly two years after initial
8 operation, we had this problem here with the leaking as a
9 result of the corrosion; correct?

10 A. We had a tubing leak, yes, that had manifested
11 itself.

12 Q. Were you able to determine how long that leak
13 had persisted?

14 A. Not really. And that's why I had mentioned
15 that when -- it wasn't until the attempt to bleed diesel
16 to lower the pressure on the back side from the MIT,
17 until we did that, there really was no indication that we
18 had a problem there, and in part, it is because, as I
19 mentioned earlier, these wide fluctuations of temperature
20 caused some significant fluctuations on the back side of
21 that well in terms of pressure, and it was just difficult
22 to determine whether we really had a potential problem
23 there or not.

24 Q. As I understand it, the original schedule for
25 the integrity test, the MIT, was every five years?

1 A. That's correct.

2 Q. And you saw a problem manifest itself well
3 sooner than the five years?

4 A. Yes, sir, we did.

5 Q. So in terms of the increment of time, as I
6 understand it, DCP is willing to agree to do the testing
7 at least once a year?

8 A. Yes. And as a matter of fact, in the working
9 group that we've had that's developed the draft
10 regulations that we will propose to this Commission, that
11 group decided it would be appropriate for AGIs in
12 general, all AGIs, to require an annual MIT test.

13 Q. Now, you indicated, when you were originally
14 going to -- I guess when you originally proposed a second
15 well, the Linam AGI Number 2, that there was a location
16 that you suggested. But then I guess, in consultation
17 with representatives from DCP, they wanted it moved to a
18 different location than the present location where
19 they're proposing to drill.

20 As I understand it, that was because they
21 wanted it downwind? They wanted the new location
22 downwind of the existing well?

23 A. No, not downwind. They wanted a situation
24 where -- the way I had positioned these two wells, the
25 Linam AGI Number 2 would be located almost directly

1 downwind of the Linam AGI Number 1, given the prevailing
2 winds out there. Of course, you can have wind going in
3 any direction at different times.

4 So what they said is it would be a lot better
5 if we had it to the south, where neither one of them is
6 in the direct path of the prevailing winds.

7 Q. That's because H2S is a very toxic gas?

8 A. Yes. It's because you want to avoid, to
9 whatever extent possible, putting anybody in a position
10 where they might be downwind, yes, sir.

11 Q. So it's a legitimate concern if you're
12 downwind of a potential source of H2S gas?

13 A. It's a legitimate concern. That's why there
14 is a Rule 11 H2S contingency plan and why there are all
15 the safety factors, including these monitors all around
16 the wellhead and at the boundaries of the AGI facilities.

17 Q. When the Linam AGI Number 1 well was re-worked
18 back in April, were you on site?

19 A. Yes, sir. I was on site for three weeks.

20 Q. And as I understand it, there was actually a
21 situation where a bubble of the gas escaped during the
22 re-work?

23 A. As I described in my testimony earlier, what
24 happened is we were set up to displace all of that
25 diesel. Once we pulled the tubing -- killed the well and

1 then we pulled the tubing, we had to displace the diesel
2 in the well. Actually, I'm sorry, I got the steps
3 backward.

4 We displaced the diesel before we pulled the
5 tubing. So we wanted to get all the diesel and all of
6 the potential acid gas that had leaked into that annular
7 space out of that annular space before we pulled the
8 tubing.

9 So we killed the well, put a blanking plug in.
10 And then we started circulating the diesel which fills up
11 all of this annular space above the -- so we started
12 pushing brine here, pushing diesel down and u-tubing it
13 back up. And the diesel that was coming back up -- this
14 was all contained. It was all within piping, of course.

15 And then the diesel would be put into a
16 separator, a portable separator, that would separate the
17 diesel from the acid gas, route the diesel to some
18 holding tanks, and route the acid gas to a portable flare
19 and flare the acid gas. And that portable flare is what
20 went out.

21 Q. And I guess it was overrun by the gas, the CO2
22 and the gas and what have you?

23 A. That's right. Basically, the CO2 in that TAG
24 bubble blew out the flame, if you will.

25 Q. And as a result, there was a leak into the

1 atmosphere of H2S and CO2; correct?

2 A. That's correct.

3 Q. And it was sufficient that it triggered the
4 monitoring at the well and the fence line monitors;
5 correct?

6 A. It triggered the monitoring that was set up
7 portably by Total Safety around the well, and it
8 triggered the monitors right at the well, and it
9 triggered one monitor at the fence line, yes, sir, on the
10 northeast side.

11 Q. While you were working on this well, did you
12 have -- did you utilize the personal H2S monitors?

13 A. Yes.

14 Q. What are they for?

15 A. Anybody that works in a sour gas plant has a
16 personal monitor. Typically, they carry it on their hard
17 hat or in their pocket. I had one when I was out there.

18 And what it does is it alarms at 10 ppm and at
19 15 ppm. It's basically to provide you with an early
20 warning that hey, there's a problem, and you better get
21 out of the way.

22 Q. And in your experience, are these monitors
23 fairly reliable?

24 A. My experience is they are, yes, sir. They're
25 set far below the OSHA standard. For example, the OSHA

1 standard is that you can be exposed to up to 80 ppm of
2 H2S for eight hours. So these things are set at 10 ppm
3 and 15, so they give you plenty of warning.

4 CHAIRMAN BAILEY: Mr. Alvidrez, do you
5 have many more questions?

6 MR. ALVIDREZ: I'm guessing I'll probably
7 have about 30 minutes.

8 CHAIRMAN BAILEY: Why don't we take a
9 lunch break now and then return at 1:00 for your
10 continued cross-examination? We will reconvene at 1:00.

11 (A recess was taken.)

12 CHAIRMAN BAILEY: We're back in session
13 now.

14 Mr. Alvidrez, you were in the process of
15 cross-examining Mr. Gutierrez.

16 MR. ALVIDREZ: Thank you.

17 Good afternoon, Mr. Gutierrez.

18 THE WITNESS: Good afternoon.

19 Q. (By Mr. Alvidrez) If we could go back to
20 Slide 18 of your presentation with respect to the leak
21 that occurred on the Linam AGI Number 1 well, I take it
22 that the acid gas escaped into the annular space. Is
23 that a correct assumption?

24 A. Yes, sir.

25 Q. In this area here, or on the other side?

1 A. It would be in that area right there, between
2 the tubing and the production casing.

3 Q. And I guess from there, it formed a bubble in
4 the diesel?

5 A. I don't know if a bubble is a good analogy,
6 but it was a -- there was some -- like for example, what
7 probably occurred when the well was still operating is
8 that we had had some acid gas that had accumulated in
9 this area right here. As we circulated it out, that acid
10 gas basically traveled up the annular space. Yes, sir.

11 Q. And the acid gas is in a gaseous state;
12 correct?

13 A. It was probably in a -- it was probably
14 somewhere not in a complete dense phase, but not
15 necessarily completely a gaseous phase, either. But it
16 would get into a gaseous phase as it traveled up the
17 wellbore.

18 Q. As it traveled toward the surface, it would
19 become gaseous?

20 A. Yes, sir.

21 Q. And it would naturally migrate upwards, I take
22 it?

23 A. No. Actually, it was denser than the diesel,
24 so that's why it stayed at the bottom. That's why we had
25 to circulate it out. It would not just go up on its own.

1 Q. Now, if I understood your testimony earlier
2 today, the first time at which you became aware of a leak
3 on the Linam AGI Number 1 well was when you were notified
4 in December about the problems with the integrity
5 testing. Is that a correct understanding?

6 A. No. That's when I first became aware that
7 there could be a problem. I could not confirm that there
8 was a leak either in the tubing or the packing until we
9 actually did the workover itself.

10 Q. So it wasn't really until April, when you
11 pulled the tubing up and saw there was holes in it?

12 A. That's right. We -- well, no. I'm sorry,
13 that's not correct.

14 When we attempted to do the MIT and could not
15 bleed the pressure off, that was some indication to me
16 that there was communication between the tubing and the
17 annular space.

18 At that point, I didn't know, though, whether
19 that communication would be as a result of a tubing leak
20 or possibly a packer seal leak.

21 Q. But it did suggest to you that there was a
22 failure in the integrity of the well in some location?

23 A. Of the internal components of the well, yes,
24 sir.

25 Q. I think you said you were given a lot of data

1 and spent a weekend poring over it. Can you tell us what
2 data you reviewed?

3 A. Sure. Injection pressure over time, injection
4 temperature over time, annular pressure over time, and
5 injection rate.

6 Q. And what conclusions did you draw, based on
7 that data?

8 A. Well, based on those data, I could not
9 determine -- because of the temperature fluctuations and
10 the resultant fluctuations of pressure on the back side,
11 it was not possible to determine exactly when that
12 behavior might have been indicative of the initiation of
13 a potential problem.

14 But when we had bled diesel from the back side
15 and we didn't see a drop in the pressure on the back
16 side, that was, in my mind, diagnostic that we definitely
17 had some potential communication in there.

18 Q. Can you explain for me what you mean by, "the
19 back side pressure drop," and that sort of thing --

20 A. Yes.

21 Q. -- some idea how it works?

22 A. The way you really monitor these wells is to
23 look at the differential between the tubing pressure --
24 that's the injection pressure that you're causing when
25 you're compressing the gas and putting it in under

1 pressure.

2 The back side of the tubing is what we call
3 the annular space. I call it the back side. I may call
4 it different things, but it's the space between this
5 casing and the tubing. That is a completely closed
6 system. And diesel is noncompressible fluid. That's why
7 we put that in there. That allows us to measure the
8 pressure in that zone.

9 When you start injecting, the tubing actually
10 physically balloons a little bit, plus it heats up,
11 because you're putting hot acid gas down that tubing.
12 That causes the diesel immediately in contact with the
13 tubing on the outside to also heat up. And the swelling,
14 if you will, of the tubing, also pushes against the
15 diesel. And since there's no place for that diesel to
16 go, what you see is an elevated pressure on that back
17 side. And that's what we call when we monitor the back
18 side pressure.

19 So what you're looking for, really, you know,
20 much more so than -- you know, before lunch we were
21 talking about the temperature fluctuations. And while
22 the temperature, I think, was the root cause of the free
23 water that we had in the tubing that caused the
24 corrosion, the real fundamental way to monitor these
25 wells is to monitor the differential between the tubing

1 pressure and the back side pressure and to understand
2 that that's affected by temperature.

3 But if you monitor that closely, you can get
4 an indication that you may have a problem. But really
5 what is definitive, and the reason why I think the
6 practice has evolved to require annual MITs, is because
7 an MIT is really what will tell you if you have a problem
8 or not in a well.

9 So while it's important to have these kind of
10 operational parameters and monitor those, and, in fact,
11 the conditions that the Division has proposed, are to
12 establish what are those normal operating procedures and
13 ranges that you would expect. What it would lead you to
14 do is to say, "Okay, look. Based on what's happening on
15 the back side and the injection pressure, it looks like
16 this doesn't look exactly right to me. We better take
17 some further steps to try and diagnose if we really have
18 a problem or not."

19 And fundamentally, the real key step that you
20 can't argue with, you can't argue with the results, is an
21 MIT. If the MIT is good, the well is good. If the MIT
22 is bad, you've got a problem.

23 So the goal and what we have worked with the
24 Division on other AGIs, not this one, but -- well, this
25 one, as well -- but I mean is to formally go through some

1 discussions to identify what those normal operating
2 parameters are and provide for if you step outside those
3 operating parameters, to call the Division and say,
4 "Okay, here's the data that we've got. Let's take a look
5 at this data and determine if we need to do an
6 unscheduled MIT to confirm whether we have a problem or
7 not."

8 For example, this happened just recently,
9 about six months ago, with Targa, with their injection
10 well. There was some odd behavior on the back side of
11 that well, and they didn't know whether there was a
12 problem or not. They met with OCD. They got us
13 involved, and we went out there and did an MIT. And we
14 confirmed that indeed, there wasn't a problem, but we
15 better understood what was causing some of those
16 fluctuations. So really, the MIT is the definitive
17 diagnostic tool.

18 Q. So if I understand, the MIT will help
19 conclusively either rule in or rule out whether you've
20 got an integrity problem.

21 But weren't there indications, just based on
22 the data that you were gathering, between the pressure
23 differentials in these areas that we talked about, that
24 there was a problem with this well for quite some time?

25 A. In hindsight, after we could not reduce the

1 pressure on the back side, when you looked at the data,
2 there is indications that you might have had a problem.
3 But frankly, you couldn't really discern that from those
4 data alone because of the temperature fluctuations that
5 you were seeing.

6 Q. How do you control the temperature in terms of
7 the gas injection?

8 A. That would probably be a better question to
9 ask Mr. Boatenhamer from an operational perspective.

10 But fundamentally, they have coolers that are
11 set up with a louvered type of system that actually
12 controls that temperature. But he would be a better
13 person to answer that.

14 Q. Are you aware of the current plans or timeline
15 for installing the second packer you discussed as
16 recommended?

17 A. Yes. We are -- the intent is to drill the AGI
18 Number 2, complete the AGI Number 2, and to -- once we
19 begin injecting into that, to then go back and work over
20 the AGI Number 1. And in the interim, we are providing
21 that monthly data to the OCD and doing MIT tests every
22 six months on the AGI Number 1.

23 Q. Now, you talked about, I guess, when the AGI
24 Number 1 was initially installed, I think you said you
25 had examined a location at the actual Linam gas plant or

1 very close to it. But that wasn't a suitable location,
2 so the actual well location was moved out some distance
3 from the plant.

4 And I think what I'm trying to get an idea of,
5 was one of the reasons why the location or a location
6 near the gas plant wasn't ideal was because of faults in
7 the geologic formation in the vicinity of the plant?

8 A. Not really. The reason is that in the
9 vicinity of the plant, the Lower Bone Springs is absent.
10 I mean it's just flat out not there. Because once you
11 get closer to the plant, you're up on this Central Basin
12 Platform. So it's just missing.

13 Q. So I take it the Linam AGI Number 1 is
14 operating right now?

15 A. Yes.

16 Q. What pressures is it producing?

17 A. Roughly about 1,450 pounds injection pressure.

18 Q. Have you recommended to DCP, during this
19 interim period before you got the packer in and finished
20 all of the steps that you want to finish with respect to
21 the AGI, any operational parameters that they should
22 follow for safety purposes?

23 A. No, none, other than the ones that we've
24 discussed, which is looking at this data every -- on a
25 regular basis, every month, and doing these MITs every

1 six months.

2 Q. So what are you looking for in this data that
3 you're reviewing each month?

4 A. I'm looking for a -- maintaining a pressure
5 differential between the injection pressure and the
6 annular pressure, and I'm looking for no anomalous
7 behavior of the annular pressure or no consistent
8 increase.

9 So I'm basically looking for what I call
10 railroad tracks. In other words, the trend for the
11 injection pressure and the annular pressure, that they're
12 staying consistently separated by a certain pressure
13 differential, and that barring a change in injection
14 rate -- because as the injection rate increases, the
15 injection pressure will increase, and so will the back
16 side pressure. But I'm looking for essentially parallel
17 behavior of those parameters.

18 Q. What are the data showing to date?

19 A. Well, since the plant worked out the
20 temperature fluctuation issues, what we see is that
21 indeed, we are maintaining a pressure, injection
22 pressure, roughly in the 12- to 1,500 range, depending on
23 injection rate and temperature, and a back side pressure
24 somewhere in the zero or 50 to -- I'd say, zero to 5-,
25 600 pounds on the back side, and a pressure differential

1 between the injection pressure and the back side pressure
2 of somewhere in the 7-, 800-pound range. And then, of
3 course, we were confirming that we don't have a problem
4 by doing an MIT every six months.

5 Q. What's involved in doing the integrity tests?

6 A. The mechanical integrity test is done as
7 follows: Bleed off any pressure on the back side down to
8 zero. In other words, remove some of the diesel so that
9 the pressure on the back side goes to zero.

10 The first diagnostic part of the MIT is
11 determining whether or not that pressure bleeds off. It
12 should bleed off immediately, as soon as you start taking
13 diesel out. That's the first behavior you look for.

14 So if that bleeds off fine immediately, then
15 you pressure it back up by re-introducing diesel into
16 that space to a pressure of 500 pounds. This is standard
17 in terms of the OCD's testing methodology.

18 Once you've got it at that pressure, you put a
19 chart on it, which is essentially a pressure chart, and
20 you chart it for 30 minutes. And the determination of
21 whether or not the MIT passes is: Does it stay at that
22 pressure that you pressured it up to within 10 percent,
23 plus or minus, for that 30-minute period?

24 Q. I had asked about the ultimate location for
25 the AGI Number 1 well. And you talked about this was, I

1 guess, the location where you could access the preferred
2 location, which is the Lower Bone Springs, I guess,
3 formation?

4 A. Yes. In fact, we originally identified two
5 potential formations, one being the Brushy Basin --
6 Brushy Canyon member of the Glorieta, and then the Lower
7 Bone Springs as a lower zone. Either one would work as
8 an injection zone, but we selected the lower one.

9 Q. As I understand it, in terms of wells, I
10 think, within a one-mile radius of the AGI Number 1,
11 you've got three wells that penetrate to that location?
12 One is the Linam AGI Number 1; correct?

13 A. Yes, sir.

14 Q. And there's also the Conoco -- I guess it's
15 called State Number 1?

16 A. That's an old plugged and abandoned well, yes,
17 sir.

18 Q. And the Goodwin Number 3?

19 A. That's correct. That's also a plugged and
20 abandoned well.

21 Q. As I understand it -- let me ask you about
22 what you did with respect to that. I suppose if these
23 wells were not -- had never been plugged or abandoned,
24 that they would form a conduit from that formation to the
25 surface, assuming they're not plugged and abandoned?

1 A. They might. They might not. I mean if
2 they're properly cemented, even if they're not plugged
3 and abandoned, they wouldn't necessarily present a
4 conduit.

5 Q. What's the history on these? I think you put
6 up a slide previously showing both of the wells, the well
7 configurations. Can we put those up?

8 MR. RANKIN: Those are Tab 8 and Tab 9 in
9 Exhibit 4, the wellbore schematics.

10 MR. ALVIDREZ: Right. Tab 8 and 9 in the
11 application; correct?

12 MR. RANKIN: Yes.

13 Q. (By Mr. Alvidrez) We've got a schematic here
14 with regard to the Goodwin Number 3. Is this something
15 that you prepared?

16 A. From the records available that OCD has, yes.

17 Q. So what you did is you looked at the OCD
18 records and then came up with a schematic depicting some
19 history and, I guess, the anticipated current
20 configuration of the well; is that correct?

21 A. That's correct.

22 Q. And you did the same thing for the Conoco
23 State Number 1 well?

24 A. That's correct.

25 Q. So I take it that there's -- other than

1 reviewing the records, you haven't done anything else to
2 assess the integrity of either of these wells; is that
3 correct?

4 A. That's correct. But I think it's important to
5 notice that on the Goodwin Number 3, for example, this
6 well did not even really penetrate the injection zone.
7 It was drilled to a total depth of 8,582 feet. We
8 presented it as having penetrated the injection zone
9 because it was close enough that we thought we should
10 present that data.

11 But it was plugged back to a depth of 7,920
12 feet, which is a good 700 feet above our injection zone.
13 And that's when they attempted to make a producer out of
14 this well. And when they couldn't, they went ahead and
15 abandoned the well and then plugged it, as you see on
16 this diagram. This one actually never really even
17 penetrated the injection zone. It's above it. But it
18 did penetrate the caprock.

19 Q. It's into the formation? You've identified it
20 as being in the same formation as the AGI Number 1 well;
21 correct?

22 A. The total depth of it is in the upper portion
23 of the Lower Bone Springs. That's our caprock. It's not
24 in the injection zone. Our injection zone starts at
25 8,700 feet.

1 Q. With regard to Goodwin Number 3, can I have
2 you take a look at what is Figure 8 in the DCP
3 application?

4 A. Yes, sir.

5 Q. So am I correct that this map actually depicts
6 the location of Goodwin Number 3, as well as Conoco State
7 1 that we talked about?

8 A. Yes, sir.

9 Q. And the Goodwin Number 3 is -- I've got a
10 color copy. But it's located very close to, I guess, the
11 highway that's depicted on the map, the broken line --
12 State Road, I should say, GG30. Maybe that's not the
13 highway.

14 A. No. This is a dirt road. But this is where
15 the Goodwin Number 3 is located, right here.

16 Q. I take it you haven't been out to the location
17 of the Goodwin Number 3?

18 A. Not recently, no.

19 Q. Do you know on whose land the Goodwin Number 3
20 is located?

21 A. I believe it's on Mr. Smith's land.

22 Q. And it's --

23 A. It's right up here.

24 Q. And I think you testified earlier, I guess,
25 that you've looked at some of the water sampling that's

1 been done at one of the wells on Mr. Smith's property?

2 A. Yes, sir.

3 Q. And I think you identified that water sample
4 as having come from a well in that general vicinity?

5 A. My understanding is it is a well that is
6 located at the trailer house that is -- and the barn
7 facility that's located here, at the end of this road.

8 Q. And the Goodwin Number 3 is in the vicinity, I
9 guess?

10 A. It looks like it's within a few hundred feet
11 away. Yes, sir.

12 Q. Now, have you ever recommended to DCP that
13 they go and do any testing on Mr. Smith's water?

14 A. No.

15 Q. Or do any other type of testing about whether
16 there are any possible excursions of H2S on his property?

17 A. No, sir.

18 Q. You're aware that he has come before this
19 Commission previously and testified that he's got
20 problems with H2S on his property; right?

21 A. That's correct, I am.

22 Q. So part of your analysis with respect to the
23 present application was not to do water sampling on
24 Mr. Smith's property?

25 A. That's correct. I don't think it's necessary.

1 Q. What was the initial test that was done in
2 2008 to assess the integrity of this formation?

3 A. We did several things. We did a detailed
4 geophysical logging of the formation, using a formation
5 microimaging log that would determine if there were
6 fractures or faults in the formation.

7 We cored numerous locations within the
8 injection zone and the caprock and did detailed analyses
9 of those cores for permeability and porosity.

10 We looked at the geophysical logs for the
11 entire geologic section out there and identified the
12 thickness and integrity of the caprock from looking at
13 those logs.

14 And we did a long-term injection test of the
15 reservoir, a five-day injection falloff test, and we also
16 did a step rate test that looked at the analyses for
17 recently.

18 Q. What is a step rate test?

19 A. That's a type of injection test. It's a
20 routine injection test that is performed to evaluate the
21 ability of a formation to accept fluid and at what point
22 that formation would pass what is called its parting
23 pressure or its fracture pressure, to determine what is a
24 safe pressure to be able to inject into the formation.

25 Q. Now, would it be feasible to conduct a step

1 test now, after we've had this formation subject to
2 injection for some years?

3 A. Sure, it could be done.

4 Q. Why wasn't an updated step test done to check
5 for the integrity of this formation, now that we've got
6 some operational history?

7 A. Because a step rate doesn't check for
8 integrity of the formation. It checks for the ability of
9 the formation to receive fluid.

10 But if we refer back to what happened when we
11 did the workover, when we killed the well with brine, it
12 went on vacuum, and the fact is we've never had any
13 problem at all with injection pressure. Our injection
14 pressure -- highest injection pressure has been about
15 1,500 pounds, which is a full 1,100 pounds below the
16 allowable maximum operating pressure. So we had no
17 reason to do another step rate test.

18 Q. I'm going to change topics, because I don't
19 believe I asked you this question.

20 I did ask about your review of the data that
21 preceded the December 2011 MIT. And I think you said
22 after you went back and looked, apparently it did show
23 some discrepancy. It may have been difficult to weed
24 out, based on temperature variations.

25 But what point in time were you able to trace

1 back where there appeared to be an anomaly between the
2 two pressure areas?

3 A. As I presented to the Division when we were
4 negotiating that compliance order, et cetera, my best
5 estimate from looking at that data would have been that I
6 saw some anomalous behavior in the late 2010/early 2011
7 time frame, maybe spring of 2011, maybe as far back as
8 late 2010, but frankly just couldn't discern it from
9 there.

10 The real conclusive piece of data that
11 convinced me that we had at least a potential problem
12 that we should investigate was the MIT.

13 MR. ALVIDREZ: May I have just a moment?

14 (A discussion was held off the record.)

15 MR. ALVIDREZ: That concludes my
16 cross-examination. Thank you very much.

17 THE WITNESS: Thank you.

18 CHAIRMAN BAILEY: Commissioner Warnell, do
19 you have any questions?

20 COMMISSIONER WARNELL: Yes. Thank you. I
21 have several questions.

22 EXAMINATION

23 BY COMMISSIONER WARNELL:

24 Q. I read through all the pre-hearing statements
25 and all your slides and stuff over the last few days,

1 you have a real good description legally of where the
2 well Number 1 is at?

3 A. Yes, sir.

4 Q. Evidently, I've got a false indicator of where
5 your proposed well Number 2 is going to be. Everything I
6 looked at had it 250 feet to the northwest.

7 A. Northeast.

8 Q. Northeast, excuse me.

9 And that's no longer the situation?

10 A. What we would prefer to do from an operational
11 perspective is to locate the well approximately 400 feet
12 to the south and slightly west of the existing well. So
13 the new location was, as I mentioned earlier, 1,600 feet
14 from the south line and 1,750 from the west line.

15 Q. 1,600 feet from the south line?

16 A. 1,750 from the west of the --

17 Q. Of Section 30?

18 A. Yes, sir. And that falls within the same
19 unit, K.

20 Q. We talked a lot this morning about the
21 integrity of the tubing and the casing in the well. We
22 haven't said anything about the pipeline that goes from
23 the plant to the wellhead.

24 A. That's correct.

25 Q. Is there any reason to suspect that that needs

1 to be looked at? Or if there's corrosion in the tubing,
2 wouldn't one suspect that there could be corrosion in the
3 pipeline that goes from the plant to the Linam?

4 A. No, sir. The reason is there's fundamental
5 differences between what conditions are in that pipeline
6 and the conditions that are in the tubing.

7 That pipeline is a low-pressure pipeline that
8 also has H2S monitors along it, and it is a low-pressure
9 steel pipeline. The pressure in that pipeline is only
10 about 50 psi. So that acid gas -- and that pipeline is
11 constructed to be resistant to that acid gas prior to its
12 compression. And so frankly, it is actually more
13 corrosion resistant than the tubing that's in the well
14 itself.

15 Q. Thank you. I didn't know that.

16 You spoke about casing integrity log?

17 A. Yes, sir.

18 Q. What type of log did you run?

19 A. We ran -- essentially, it is called
20 specifically a casing integrity log. What it does is it
21 measures the -- essentially if there's been any potential
22 erosion of the wall thickness of the casing.

23 And it is -- what that log indicated and what
24 we turned in to the Division was that the bottom 50 feet
25 or so of that casing immediately above the packer had had

1 some corrosion, but still had -- it was not leaking out
2 of the casing, but it did have some corrosion effect.

3 Q. It's just looking at the idea of a pipe? It
4 doesn't look at the OD, or it doesn't show the total pipe
5 thickness?

6 A. It does. It's a geophysical electrical log
7 that looks through the pipe, if you will. So it looks at
8 the entire thickness of the pipe.

9 Q. What interval was that log run on?

10 A. It was run on the entire casing. But the
11 only -- I mean on the entire casing, all the way to the
12 surface. So I mean the only portion that indicated any
13 corrosion was the basal portion of that integrity log.

14 Q. In some of my reading I did -- this may not be
15 a fair question, but let me throw it out there. But I
16 read in one of the prehearing statements, I believe
17 Mr. and Mrs. Smiths', that there were numerous problems
18 with the Number 1 well. And then I got to looking on
19 OCD's website, and I saw that there's been 10 amendments
20 to the original order?

21 A. Yes.

22 Q. That was an unusually high number of
23 amendments. I don't know if I've ever seen any quite
24 that large before. Do you have any comments on why that
25 order has been amended 10 times?

1 A. Yes, sir. When the original order was issued,
2 first of all -- and I can't recall, to be honest, every
3 single amendment and what it encompassed, but there were
4 numerous amendments to the order. But most of them were
5 related to -- the original approval required the
6 initiation of operations within a certain time period. I
7 believe it was two years. And it took DCP longer than
8 that to even procure and build the surface facilities, so
9 we had to get an amendment to extend the time to allow.
10 That was one of the first amendments.

11 Another issue was that the order required that
12 the AGI facility itself have a separate discharge plan
13 and a discharge plan under the New Mexico Water Quality
14 Control Commission regulations for a facility. In the
15 interim from when that facility was designed and
16 constructed, the Division determined that because of the
17 fact that there is no potential for any liquid at that
18 facility, that it was not necessary to have a discharge
19 plan. So the order had to be amended to not have a
20 discharge plan.

21 And there was some -- that is a situation that
22 was evolving within the Division, how they were going to
23 treat discharge plans at gas processing facilities. So
24 since the order required that DCP have an approved
25 discharge plan, but there hadn't been a discharge plan

1 submitted when the facility was ready to be cranked up,
2 we came back to the OCD and said, "Since this stuff is
3 still in flux and there wasn't been a final determination
4 made on the submitted discharge plan for that facility,
5 we would like to begin operating."

6 And then the Commission heard that and said,
7 "Okay. It's okay to begin operating, but you are not
8 going to be able to operate at full capacity until that
9 situation is resolved."

10 And then it was resolved. And then we had to
11 come back again to the Commission to finalize and get it
12 -- basically everything reverted back to the original
13 order.

14 So right now the order that is in place is
15 almost exactly as the original order was, except for the
16 lack of the requirement for a discharge plan.

17 Q. Thank you. I'm assuming there was some agreed
18 compliance orders along with these amendments?

19 A. No, sir. Only -- there was only an agreed
20 compliance order relative to the operation of the well
21 between the time when we detected and reported a problem
22 in December of 2011, to the workover. And then
23 subsequent to the workover, the conditions that we're
24 operating under now.

25 Q. That's been taken care of, and everybody is

1 fine with that agreed compliance order?

2 A. Yes, sir.

3 Q. You talked a lot about diesel in the annular
4 space. What else did operators use, rather than diesel?

5 A. In a normal well, you have packer fluid in
6 that annular space, and those packer fluids are aqueous
7 based. That's why we don't use them in these dry AGI
8 wells. Because if you have a situation like we had at
9 AGI Number 1, where you have acid gas escaping into that
10 annular space, the last thing you want it to come in
11 contact with is water.

12 So we use diesel because it's hydrophobic.
13 Also, it's not compressible. And there's a density
14 difference between it and the TAG that allows you to keep
15 it at the bottom of the well, if it ever does get into
16 there, just like what we did, and then to circulate that
17 out. That's for a dry acid gas injection well.

18 In a wet acid gas injection well, where you're
19 purposefully putting water and acid gas down the tubing,
20 then you do have completely different materials that you
21 use. But then you use a packer fluid that is basically
22 corrosion inhibited brine instead. That's the type of
23 packer fluid most people have in all wells, but it's just
24 not suitable for a dry AGI well.

25 Q. Looking at one of the C-103s on the website, I

1 recall that originally the request to put diesel in there
2 was denied and later approved. Do you recall any of
3 that?

4 A. I do recall, at the very beginning, that there
5 was some question as to why we would use diesel. I
6 think -- as I said, this was only the third AGI in New
7 Mexico that was ever put in. The first one, which
8 Marathon put in, has aqueous packer fluid, but that is a
9 wet AGI. They put wastewater, in addition to acid gas,
10 in their well.

11 The one DCP did in Artesia does have diesel in
12 the back side, and that's kind of the industry standard
13 design for dry AGI wells.

14 Q. If this second well is approved, your logging
15 program, will it be similar to the Number 1's logging
16 program?

17 A. No. That's a good point. We're not going to
18 run all of these same logs on the well because we already
19 know what the geology is out there. We're only going to
20 be 450 feet away from the well.

21 So we're going to run -- basically, we're
22 running basically all of the same logs, with the
23 exception of the formation microimaging log, because it's
24 just not necessary. We use that log to help us pick core
25 points and stuff like that in an area where we drill a

1 well where we don't already have good information on the
2 reservoir.

3 So here, we're going to run a triple combo,
4 which is a porosity/gamma ray/density log, just to allow
5 us to know exactly where we are, so I can set that
6 intermediate casing immediately above the injection zone.
7 And that's really all that's necessary.

8 Q. Wouldn't you want to run an FMI out there? To
9 me, that's a good indicator of fractures.

10 A. We could, but -- I guess I wouldn't have a
11 problem with running an FMI out there. But I would
12 anticipate that it would show exactly the same thing we
13 see in the FMI that we already ran, because we're only
14 400 feet away. So it would be very unusual to see
15 anything different.

16 So while we are not planning to do that, I
17 mean certainly that would be something that would be
18 doable and I don't think would be necessarily a problem
19 to do.

20 Q. You testified that the Number 2 well, if it is
21 drilled and completed, is going to be safer than the
22 Number 1 well?

23 A. I wouldn't say it would be safer than the
24 Number 1 well. I would say that it would be able -- it
25 would be a more robust design that would be able to

1 better withstand differences in operation and
2 irregularities in operation that would create a potential
3 problem in the Number 1, but wouldn't in the Number 2.

4 I think both of the wells are perfectly safe
5 in terms of their ability to put gas into the injection
6 zone and for that injection zone to keep the gas in
7 there. Because that's not a function of the well, that's
8 more a function of the geology. But I think it's a more
9 robust design and a more updated design.

10 Q. One last question. It has to deal with the
11 MIT. I think originally the well was on a five-year
12 program?

13 A. Yes, sir.

14 Q. And then it went to two years, then it went to
15 one year, and now you're presently at six months?

16 A. Yes. The reason is because we know we have
17 some casing above the packer that is compromised. My
18 idea was that once we stack a packer in there and finish
19 the remediation, if you will, of that well, then it would
20 be perfectly appropriate to set that back to a one-year
21 MIT schedule, just like any other AGI.

22 Q. Would there be any disadvantage to keeping it
23 six months?

24 A. Well, I mean the disadvantages of just having
25 to do an extra MIT every six months. And I think doing

1 it once a year is prudent, as long as -- the only reason
2 we went to such a short interval was because we know
3 we've got that casing issue and we weren't able to pack
4 it off.

5 COMMISSIONER WARNELL: Thank you.

6 CHAIRMAN BAILEY: Commissioner Balch?

7 COMMISSIONER BALCH: I have a couple of
8 questions.

9 EXAMINATION

10 BY COMMISSIONER BALCH:

11 Q. First of all, I want to follow up on something
12 that Commissioner Warnell was talking about with the
13 casing integrity logs. You indicated that was an
14 electric log?

15 A. Yes.

16 Q. It's looking for differences in conductivity
17 as it goes down the pipe and looking for corrosion by
18 finding oxides and metal and stuff?

19 A. Right. And it's also -- to be honest,
20 Commissioner, I'm not exactly sure exactly how the tool
21 works.

22 But what it reveals is also any kind of
23 differences in the wall thickness of the casing, and it
24 is also kind of a -- I think it also has a sonic
25 component. So it's basically assessing the casing as it

1 goes down.

2 By the way, the results of that casing
3 integrity log are in the well file and were submitted for
4 the Division to review while we were still doing the
5 workover to make a determination of where we should put a
6 stacked packer.

7 Q. Do you know what the sample interval for that
8 log is?

9 A. It's continuous. I think it's essentially
10 like a continuous log, so it is less than a foot. It's
11 continuous.

12 Q. I think all log sampling is actually discrete.
13 The line you draw between the points will make it into a
14 continuous datastream?

15 A. Right. I think that the sampling interval --
16 I don't know the exact, but it's less than a foot.

17 Q. If you want to put Slide 18 back up, I'd like
18 to go back and talk a little bit about the free water you
19 talked about. Was it your -- maybe I'm not clear on it.
20 We're not talking about standing water at the base of the
21 well?

22 A. No, sir.

23 Q. We're talking about condensation forming on
24 the walls and running down the sides of the tubular once
25 you're at a point where the temperature/pressure

1 differential will allow the water to come out of the TAG
2 stream?

3 A. Yes. In fact, I was kind of mystified,
4 frankly, when we pulled the tubing, that we had that
5 corrosion in the bottom, but we didn't have corrosion
6 anywhere else in the tubing. I couldn't understand that.

7 And the only explanation that I can come up
8 with is exactly what you just stated, that the phase
9 envelope is such that we were really getting that
10 condensation very near the bottom of the tubing string.

11 But we also had a physical issue down there.
12 We had a profile nipple above the packer that allows us
13 to put in a check valve or other kinds of things that you
14 may want to do during a workover. So there was slight
15 irregularity and constriction of that tubing string right
16 there at the base.

17 So my thinking was that possibly that
18 contributed to an area where that water would run down
19 the tubing, and then it would just stay there for long
20 enough to have that corrosive effect.

21 Q. Reaction with the TAG? You indicated, I
22 think, from Commissioner Warnell's questioning, that the
23 compression is occurring at the wellhead?

24 A. Yes, sir.

25 Q. You have five stages of compression?

1 A. Yes, sir.

2 Q. Are there any dehydrators --

3 A. The --

4 Q. -- besides the natural dehydration from the
5 compression?

6 A. No, there is not a separate dehydrator.
7 Probably that would be a better question to ask on the
8 topside facilities. Mr. Boatenhamer could probably
9 answer those better than I can. But I'm not aware of a
10 separate dehydration.

11 Q. When you sent out the tubulars for analysis,
12 were they able -- this may have been asked already by
13 counsel, but was there any indication of how long it took
14 for that corrosion to occur?

15 A. There wasn't, really. I mean the indication
16 was that the corrosion may have taken a significant
17 amount of time, months, maybe even a year, to the point
18 where it actually created a pinhole in the tubing. But
19 then once there was acid gas outside the tubing, then it
20 would have accelerated significantly.

21 What we feel is that we had some small
22 pinholes, in effect. I mean literally, these corrosion
23 spots were like less than a millimeter that we could see
24 inside the tubing. And we had siderite and some other
25 minerals that were indicative that we definitely had to

1 have some water in that string when they did the thin
2 sections of the tubing.

3 But the idea is that it took some period of
4 time for that corrosion to work its way with through the
5 tubing. But then once the tubing was compromised, that
6 the other larger holes that we saw develop, which
7 appeared to develop from the outside in, were when the
8 acid gas could react with this emulsified diesel and then
9 attack the tubing from the outside.

10 Q. So with that in mind, do you think the annual
11 MIT is going to be a safe enough interval?

12 A. Yes, I absolutely do. Especially when, as the
13 Division has suggested in their conditions, that we work
14 out an understanding of what these normal operating
15 parameters are and be able to have an early warning, if
16 you will, of a potential problem and then maybe go out
17 and do an unscheduled MIT. But to do an annual MIT every
18 year, we think that's entirely prudent, yes.

19 And I would propose that we would continue to
20 do a six-month MIT in Linam AGI Number 1 simply because
21 we already know that we have some casing that has been
22 affected.

23 Q. On the temperature of the TAG stream, is that
24 also controlled at the wellhead, or is that controlled at
25 the plant?

1 A. It's controlled at the wellhead. As a matter
2 of fact, the controls -- again, Mr. Boatenhamer would be
3 a better person to ask that question. The controls have
4 been moved off the compressor skid, but the temperature
5 is controlled by louvers on the coolers of the
6 compressors and by a fourth interstage cooler on the
7 fourth stage.

8 But again, my expertise is not on the topside
9 as much as Mr. Boatenhamer, so it would be better to ask
10 him that.

11 Q. It's really cooling the stream, not heating
12 it?

13 A. Yes, it is cooling the stream and not heating
14 it. But the problem really lies in the challenge -- let
15 me put it that way -- the challenge of this temperature
16 control is -- imagine like yesterday, last night, it's
17 like 10 degrees and 30-mile-an-hour winds. And you're
18 blowing against these louvers, and it's a constant
19 adjustment of those temperature controls and feedback
20 louvers to try and keep that temperature controlled.

21 Also, the entire acid gas line that goes --
22 it's not very far from the end of the compressor to the
23 wellhead. It's only about 120 feet. But that is all
24 insulated, so that's an added control there. But it is a
25 challenge and -- an operational challenge.

1 Q. I'm sure you have a seasonal variation of 100
2 degrees in the outside air temperature?

3 A. Easily, yes, sir.

4 Q. The injection well, was it stimulated in any
5 way, or just perfed and washed?

6 A. Perfed. And we acidized the perfs, and that's
7 it.

8 Q. The second well will be the same way?

9 A. Yes, sir.

10 Q. On the reporting data, it indicated that
11 you're recording every tenth of a second or something
12 like that?

13 A. Yes.

14 Q. They're recording all this data and storing it
15 on site?

16 A. Yes, sir.

17 Q. There was some questions about what is a good
18 interval to send that data to the OCD for analysis or
19 essentially do what you said and look for railroad
20 tracks. And now temperature may be also a stream of data
21 that's also of interest, injection temperature?

22 A. It allows you to basically understand what
23 variations you might see in the two pressure tracks.

24 Q. So what do you think is a good interval for
25 reporting that data?

1 A. Well, the procedure that the Division has
2 worked and what we had talked about when we looked at the
3 new regs is not -- I mean it is an overwhelming amount of
4 data. So the current thinking in the way that all other
5 AGIs, except this one, are managed in the state is that
6 there is a requirement to maintain those data. Not to
7 report them, but to have them available any time that the
8 OCD would want to look at them. I think that's prudent.

9 I think there's a separate prudent operator
10 that would have the rigor which I am convinced that DCP
11 has as a result of this experience, the rigor of looking
12 at those data carefully themselves on a continuous basis
13 to make sure that we don't have an indication that might
14 have an MIT issue. But I think reporting
15 and maintaining those data and having them available for
16 the Division when they need them, in conjunction with
17 kind of working out with the Division what is a
18 reasonable operating range for those parameters, is a
19 good system. It's the system that we've implemented at a
20 number of other wells, and it's worked well.

21 And when we have gone outside those
22 parameters, or when a well has gone outside those
23 parameters, i.e., the Targa well that we talked about, we
24 contacted the Division. We went out there. We looked at
25 the data and said, "Look, it doesn't look like there's a

1 problem because we're seeing some temperature
2 fluctuations."

3 In this case, it was because of fluctuating
4 amounts of water being injected in the well at different
5 times. We just said, "Let's go out and do an MIT."

6 So we went out and did an MIT and confirmed
7 that there wasn't a problem, and it allowed us to better
8 get a handle on those operating criteria.

9 Q. Just a couple more questions, and they have to
10 do with the fresh water.

11 If you go to Figure 8, I'm presuming some
12 baseline water quality data was collected before
13 injection started?

14 A. Yes.

15 Q. Have you compared the new data that you
16 collected with the baseline?

17 A. Yes.

18 Q. What were the results of that comparison?

19 A. I can't tell any difference. There is a
20 variable water quality throughout the area there, in
21 terms of sulfates. We analyzed both of these wells for
22 sulfides and hydrogen sulfides. What we actually
23 analyzed for sulfides and hydrogen sulfides is a
24 calculation that was taken from those analyses, and they
25 were negative.

1 We do have sulfides that are present in
2 groundwater throughout Lea County quite commonly. I
3 wouldn't be surprised to see them on and off in wells out
4 here. But essentially, the water quality data is not
5 distinguishably different.

6 Q. You mentioned that there are three fresh water
7 sources in that shallow groundwater, Ogallala in places;
8 and the Dockum, I guess, on top of the red bed?

9 A. Yeah. Because as you get further into the
10 Dockum, you get above 10,000 TDS pretty quick.

11 Q. And within a water well that penetrates all
12 three of those, do you expect to see a variation in the
13 sulfides?

14 A. Yeah. You end up seeing -- depending on where
15 the well is getting most of its water from -- I mean you
16 see the variation mainly in the sulfates. You see -- and
17 chlorides, by the way. You get much more elevated
18 chloride out of the Dockum Group.

19 So the wells in the area that show elevated
20 chloride concentrations and sulfate concentrations, all
21 other things being equal, are basically wells where
22 either the Ogallala is missing or where the relative
23 contribution to that well is dominated by the Dockum
24 Group.

25 Q. Can that contribution change seasonally or

1 annually?

2 A. Absolutely. Especially a well that is
3 completed, say -- where you have the Alluvium directly on
4 the Dockum Group, that Alluvium -- the saturated
5 thickness of that Alluvium varies seasonally. It tends
6 to be, when you've got less water in the Alluvium and
7 you're getting more from the Dockum, it's poor water
8 quality. And when you're getting more from the Alluvium
9 and less from the Dockum, it's better.

10 Q. So when you did the baseline data, was that
11 done at one time, or was that spread out over some period
12 of time?

13 A. We looked at the baseline data. As I
14 mentioned, the USGS and the State Engineer has collected
15 data over time, and we looked at all that to kind of get
16 a representative idea of chloride and sulfate
17 concentrations throughout the area.

18 When we looked at the groundwater most
19 recently, we compared it to samples, for example, that
20 were taken from Mr. Smith's well during the spring and
21 summer of 2011, and then -- I'm sorry 2012 -- and then we
22 did some analyses recently.

23 But you don't -- seasonally, you don't really
24 see much. Whatever seasonal variation you see is well
25 within the variation that you see from place to place

1 within relatively close proximity in Lea County.

2 Q. Would you be able to point out the water
3 sampling locations on the map?

4 A. Yes. Of course, the water samples that were
5 taken from Smith's well are in this location. The water
6 sample that was taken from one of the DCP wells is a well
7 that's located right about here. And then the other one
8 is a well that is located right about here.

9 Q. Three water wells?

10 A. Yes, sir.

11 Q. Is that all of the water wells within the ROE?

12 A. No. There are quite a number of other wells
13 within that -- well, when you say, "the ROE," there's
14 quite a number of other wells within the one-mile radius.

15 Q. That's what I meant.

16 A. Yes.

17 Q. Figure 7 has them all?

18 A. Yes.

19 Q. I'd like to comment on another question
20 Commissioner Warnell had. The second well is, in your
21 terms, a little more robust than the initial well. Would
22 it make sense to eventually turn that into the main
23 injection well and have the Number 1 be the fallback?

24 A. What my recommendation has been to DCP
25 relative to the operation of those two wells is that

1 there be essentially one well operated for some period of
2 time, and then operate the other well for some period of
3 time, and go back and forth and set up a preventative
4 maintenance program where you are looking at the well
5 that's down when the other one is operating, and vice
6 versa.

7 My idea is to use both of the wells over time,
8 because I really think it's not a good solution to just
9 have one well sitting there, not being used at all. My
10 proposal is to switch -- we haven't really talked about
11 the details of that, but I think that's one of the things
12 that's on the table.

13 My thinking is to either inject into one well
14 for six months and then another well for six months and
15 do it that way, or maybe even one of the things that
16 could be considered is to split the stream between both
17 of the wells and inject into both of them.

18 So I think there's a variety of different
19 things that we want to look at in terms of setting up a
20 PM program and an injection schedule, if you will, that
21 will allow us to use both of the wells and enhance the
22 overall reliability of the system.

23 Q. So you've worked with a number of these AGI
24 wells? In fact, I've seen you before the Commission on
25 several different cases. Do you think -- I'm just asking

1 an opinion -- that a redundant well would be a good part
2 of any AGI injection plan?

3 A. Yes. Do I think it's necessary? No. But do
4 I think it provide added reliability to the overall
5 injection system? Yes.

6 COMMISSIONER BALCH: Those are my
7 questions. Thank you.

8 CHAIRMAN BAILEY: The hard part about
9 going last is that most of my questions are already
10 taken. But I still have a few for you.

11 EXAMINATION

12 BY CHAIRMAN BAILEY:

13 Q. Using both of those wells either as
14 alternating or simultaneously, if the design for Number 2
15 is the new and improved version, can the Number 1 be
16 retrofitted to reflect some of these improved design
17 systems, such as the fiber optics and the
18 corrosion-resistant tubing?

19 A. Funny you should ask. We talked about that on
20 the way home from the hearing this morning. I said, "We
21 certainly -- when we go stack a new packer in there, we
22 could stick 1,000 feet of corrosion-resistant tubing,
23 just like we had planned for the Number 2, into the
24 Number 1. And we could put fiber optic down there to
25 measure injection, temperature and pressure at the

1 bottomhole." So certainly that could be done.

2 Q. And diesel to include corrosion inhibitors and
3 biocides in both 1 and 2?

4 A. That's already in the Number 1. Yes, ma'am.

5 Q. You mentioned that the casing integrity log
6 was run from TD to surface. Was the cement bond log also
7 run to surface?

8 A. Yes, ma'am.

9 Q. And did it show any channeling or major areas
10 of lack of good cement bonding?

11 A. No.

12 Q. Not even through the thief zone?

13 A. I guess I'm trying to understand your
14 question, whether it was -- in the original cement bond
15 log, when we ran, yes. Obviously, when you run cement
16 over 8,600 feet, there are places where it's better or
17 worse. And in the thief zone, the quality of the bond
18 log is probably not as good as it is in other zones. I
19 can't remember exactly, right off the top of my head,
20 what the whole bond log looked like.

21 But when we originally looked at the bond log
22 back in 2005, we were convinced that we had a good cement
23 bond in general throughout the location. It was probably
24 worse across the Glorieta. That was a very frustrating
25 zone to drill through.

1 By the way, that's 3,000 feet above our
2 injection zone.

3 Q. Let's go to Slide 9, which does indicate some
4 faulting in the general region?

5 A. Yes.

6 Q. Because of the headlines that are so apparent
7 that we see on a real regular basis, and for the
8 nongeologists who may be reading this transcript, too,
9 would you comment on the potential for earthquakes as a
10 result of any kind of injection in either the 1 or 2?

11 A. I don't believe that there is any increased
12 likelihood of earthquakes. This is not a very
13 seismically active area to begin with.

14 These faults that we identified in the seismic
15 basically peter out below the Lower Bone Springs, so they
16 really are faults that were more a result of Precambrian
17 basement uplift of the Central Basin Platform.

18 And then these later Pennsylvanian and Permian
19 rocks drape over those faults, so they really have not
20 been reactivated. The faults peter out below the
21 injection zone. I don't believe that there's an enhanced
22 earthquake risk.

23 Q. I just wanted that on the record. Thank you.

24 MR. ALVIDREZ: We'll find out tomorrow.

25 THE WITNESS: Yeah. This may be a moot

1 point if some people believe that the world will end
2 tomorrow. I still have plans for the weekend myself.

3 Q. (By Chairman Bailey) Exhibit Number 7, with
4 the lab results from the water analysis, I did hear you
5 say that sulfides are calculated from the sulfates?

6 A. No. I'm sorry, Madam Chair, if I misspoke.
7 What I said was that H₂S is calculated from sulfides.
8 The sulfates and the sulfides we actually measure
9 separately.

10 Q. And these analyses do not show sulfides at
11 all?

12 A. That's correct.

13 Q. Is there a different technique for gathering
14 samples when you are asking the laboratory to analyze for
15 sulfides, as opposed to sulfates?

16 A. Yes.

17 Q. Would these analyses be -- would these samples
18 have been gathered to account for any sulfides that may
19 have been present in the water?

20 A. The original samples were gathered strictly
21 for anion and cation analyses, not including sulfides.
22 Those were gathered in unpreserved, regular sample
23 containers.

24 Then since we decided, well, it probably would
25 be good to have sulfides to compare with some of the data

1 that Mr. Smith had provided, we went back -- that was on
2 Thursday we collected the samples just for standard anion
3 and cation. And then Friday we went back and collected ,
4 the sulfide samples, and that's why you have two
5 different dates on here.

6 Q. I'm looking for the page that would tell me if
7 there were sulfides present or not and/or detected.
8 Would that be on page 5 of 9?

9 MR. RANKIN: Madam Chair, if I might
10 interrupt here? Those datapoints were not requested by
11 the Division, so we didn't feel we could present those on
12 direct as a direct exhibit. We have prepared them as
13 rebuttal exhibits to Mr. Smith's testimony, if that's
14 okay. But we do have them available and will be
15 presenting them on rebuttal.

16 CHAIRMAN BAILEY: Okay, thank you. Those
17 are all the questions I have. Thank you.

18 Do you have any rebuttal for the questions
19 that were asked in cross-examination?

20 MR. RANKIN: Just a few points to touch on
21 on redirect.

22 REDIRECT EXAMINATION

23 BY MR. RANKIN:

24 Q. Mr. Gutierrez, there was some discussion about
25 the idea that there should be some parameters,

1 operational parameters, which would be triggerpoints for
2 notification to the Division. In your experience working
3 with the Division, have those parameter points been
4 something that are locked in, or is it something that is
5 administratively determined between the Division and the
6 operator?

7 A. The latter. What we do is we sit down with
8 the Division and look at the operational data once we get
9 a well running. And we say, "Okay. What's reasonable,
10 in terms of what we would expect, and what are going to
11 be the steps, besides just notification?"

12 I mean once we notify the district -- let's
13 say if I call up Mr. Gonzales or Paul at the district or
14 whatever and say, "Look, Paul. I've got these
15 datapoints. They look a little squirrely to me. I want
16 you to look at them. They are kind of outside our band
17 of parameters that we're looking at," then I transmit
18 those data to him. And we put our heads together and go,
19 "Do we want to watch it a little longer, or do we want to
20 go out there and do an MIT?" And I think that's the way
21 to go about it.

22 Q. And part of the reason for that is because
23 conditions may change in the formation? There may be
24 operational issues that -- as you pointed out earlier,
25 there are a number of factors that go into what these

1 parameters are. So it would be best probably to have
2 that be a communication between the Division and operator
3 to determine what those parameter should be; is that
4 correct?

5 A. That's my opinion. I think that's the best
6 way to do it.

7 Just to give you a very simple example, when
8 you first complete one of these wells and you fill it up
9 with what I call cold diesel, because the diesel that you
10 get delivered is essentially 70 degrees or whatever the
11 ambient temperature is. If we were have having that
12 diesel delivered today, it would be a lot colder than 70
13 degrees.

14 But anyway, you put that diesel in, and you
15 fill it up to the very top and then seal it, then you
16 have essentially zero pressure on the back side because
17 you don't pressure it up. You just fill it to the top.

18 If you just wait two weeks, without ever
19 injecting a single drop of anything into the well, and
20 you go out there, you'll have 5-, 600 pounds on the back
21 side. Because what happens is that diesel has now heated
22 up from the surrounding rock, and you have to actually
23 relieve some diesel at that point to bring the pressure
24 back down so you can set it up.

25 What I'm saying is these are complicated

1 relationships between pressure and temperature and stuff.
2 And in order to have some operational flexibility, you
3 have to be able to look at those things. But if they
4 kind of go outside a range, it's not diagnostic that you
5 have a problem. That's why we do MITs. MITs are the
6 gospel. When you do an MIT, you know if you've got a
7 problem or you don't.

8 And that's why I think these parameters are
9 useful for understanding what's going on in the reservoir
10 and the well. But really what they do is serve to alert
11 you, if you will, of whether you need to do an MIT.

12 Q. Mr. Gutierrez, moving on to the issue that was
13 raised by Mr. Alvidrez, the analysis that you did of the
14 wells that penetrated the formation, that analysis is
15 exactly what the Division required, which is to say that
16 you provide a schematic of the wellbore and a review of
17 the information contained on the Division's website of
18 the cementing and casing details; is that correct?

19 A. That's correct.

20 Q. That's all the Division requires. And that's
21 sufficient, unless there's some identification of an
22 issue there?

23 A. Yes. If there's an identification of an
24 issue, typically we've been required, as we have on other
25 locations, if there's a potential problem, to go back and

1 actually address the remediation of those wells. But
2 that was determined not to be the case here. And as I
3 mentioned with the one well that we were looking at in
4 detail, frankly, it didn't even penetrate the injection
5 well.

6 Q. On the Goodwin Number 3, which is the one that
7 is highlighted, it's got a total bottomhole depth of
8 7,020. And that's the one you pointed out that was not
9 actually penetrating the injection interval; is that
10 correct?

11 A. That's correct. It's got a plugged back
12 depth. It was drilled a little deeper than that.

13 Q. Right. Down to 8,582?

14 A. That's right.

15 Q. So the point you were trying to make is that
16 even though it's from the same formation, there may be
17 different members, geologic members, within the
18 formation?

19 A. Yes. The upper portion of that is the
20 caprock.

21 Q. So they're actually distinct sort of geologic
22 formations in that sense? I mean they're within the same
23 formation, but it's a distinct geologic characteristic?

24 A. I couldn't call it a distinct formation, but a
25 member I would agree with.

1 Q. So it's got a slightly different geologic
2 characteristic?

3 A. Yes, sir.

4 Q. And that's why you made the point that it
5 didn't penetrate the caprock and still operates as a good
6 seal?

7 A. Yes, sir.

8 Q. The other point I'd like to make on that well
9 is if that plugged and abandoned oil and gas well were
10 actually operating as a conduit, wouldn't you expect to
11 see a continuous flow of H₂S? If it were acting as a
12 conduit or a source for the acid gas injection, you
13 wouldn't expect to see a discontinuous source of
14 sulfides, would you?

15 A. No. Frankly, I wouldn't expect to see
16 anything. I don't see how I could get any acid gas
17 anywhere through the caprock and, most certainly, not
18 through that thief zone. That will swallow everything
19 and the kitchen sink.

20 Q. On the AGI Number 1, I want to make the point
21 briefly that you made earlier, which is that while the
22 AGI Number 1 doesn't have all the enhanced features of
23 the AGI Number 2, as of November, it withstood a
24 3,000-pound MIT test; is that correct?

25 A. Yes, sir, it did.

1 Q. So in your opinion --

2 A. No. I'm sorry, no, not as of November. It
3 withstood a 3,000-pound MIT test when we did the workover
4 in May. It did a 550-pound MIT in November, which is the
5 normal MIT that you would do.

6 A 3,000-pound test you never would do, unless
7 there was a specific reason to really try and stress the
8 casing. And that's what we had when we finished the
9 workover.

10 MR. RANKIN: Thank you very much,
11 Mr. Gutierrez. Nothing further.

12 CHAIRMAN BAILEY: Then you may be excused.

13 THE WITNESS: Thank you so much.

14 CHAIRMAN BAILEY: You may call your next
15 witness after a 10-minute break.

16 (A recess was taken.)

17 CHAIRMAN BAILEY: Mr. Rankin, would you
18 like to call your next witness?

19 MR. RANKIN: Thank you, Madam Chair. My
20 next witness is Mr. Roberto Torrico.

21 Do you want to swear in both of our additional
22 witnesses?

23 CHAIRMAN BAILEY: No. One at a time.

24 (The witness was sworn.)

25 THE WITNESS: Good afternoon.

1 MR. RANKIN: Madam Chair, Commissioners,
2 we have a demonstrative exhibit to assist with
3 Mr. Torrico's testimony today. I've presented you each
4 with a hard copy for your reference.

5 ROBERTO TORRICO

6 Having been first duly sworn, testified as follows:

7 DIRECT EXAMINATION

8 BY MR. RANKIN:

9 Q. Can you please state your full name for the
10 record?

11 A. My name is Roberto Torrico.

12 Q. And can you please tell the Commissioners
13 where you reside?

14 A. In Denver, Colorado.

15 Q. By whom are you employed?

16 A. By DCP Midstream.

17 Q. What is your position with DCP Midstream?

18 A. I'm a senior project manager.

19 Q. And what are your duties as a senior project
20 manager?

21 A. I do project management for gas plants and AGI
22 wells.

23 Q. And have you previously had the occasion to
24 testify before the Commission?

25 A. No. This is my first time.

1 Q. And in that case, can you please summarize
2 briefly your educational background?

3 A. Yeah. I have mechanical engineering from San
4 Simon University in South America, and postgraduate in
5 oil and gas engineering from Santa Cruz University in
6 partnership with Oklahoma University.

7 Q. And can you please briefly review for the
8 Commissioners your work experience in the oil and gas
9 industry?

10 A. I have 20 years' experience in the oil and gas
11 industry, working at production, processing and acid gas
12 injection, having worked in major oil and gas companies
13 like Petrobras and Kinder Morgan here in the United
14 States in the Permian Basin.

15 Q. You mentioned that you worked on AGI wells,
16 CO2 injection wells, and acid gas injection wells?

17 A. Yes. I worked in South America and in West
18 Texas in Permian Basin injecting CO2.

19 MR. RANKIN: Madam Chair, I would like to
20 tender Mr. Torrico as an expert in AGI design and
21 operation and petroleum engineering.

22 CHAIRMAN BAILEY: Any objection?

23 MR. ALVIDREZ: No objection.

24 MS. GERHOLT: No objection.

25 CHAIRMAN BAILEY: He's so admitted.

1 Q. (By Mr. Rankin) Can you please explain
2 briefly -- Mr. Gutierrez went through in detail some of
3 the lessons learned. But from DCP's perspective, can you
4 please briefly explain the operational lessons learned
5 from the AGI Number 1 experience?

6 A. Yes. Basically, we learned that we need to
7 have more frequent monitoring of the parameters, the
8 injection parameters, of the acid gas, and improve the
9 operation, the controls for operation, to do a better
10 operation during the period of time that we need to
11 operate these acid gas wells.

12 The most important was the temperature control
13 relocation and programmable logic control system
14 detecting the alarming points that could be critical for
15 operation of these gas wells.

16 Q. Mr. Torrico, in addition to the operational
17 issues, there are also some design elements that DCP has
18 learned would enhance the AGI Number 2 well. Can you
19 just briefly summarize some of those that DCP has
20 identified as being important?

21 A. Yes. Well, the configuration of the well, we
22 are going basically to the same formation that we have in
23 AGI Number 1. The tubing size basically is the same. We
24 are going deep with the casing.

25 The most important thing is the enhanced

1 corrosion resistance that we have with these new
2 materials. Basically, we are adding more nickel and we
3 are adding more molybdenum into the material in order to
4 have better performance under the most critical
5 conditions that this well can handle, basically, based on
6 the historical information of the analysis obtained for
7 the past operation under the AGI Number 1 injection
8 process.

9 Q. In addition, you mentioned -- Mr. Gutierrez
10 mentioned that there was a fourth string of casing that
11 will help protect the well during drilling?

12 A. Yes. We are going basically down into the top
13 of the injection zone, trying to prevent whatever
14 uncontrolled situation we can have during the drilling
15 process and initially overprotecting the aquifers that we
16 can go through during the injection process and when
17 we're going into the operation phase.

18 Q. And these elements of the AGI Number 2 are
19 demonstrated in this demonstrative exhibit?

20 A. Yes, sir.

21 Q. Any of these elements or features that DCP has
22 opted to include, are these being required by the
23 Division in any way?

24 A. No.

25 Q. These are design elements that DCP itself has

1 decided to include in the design; is that right?

2 A. Yes, that's right. It's DCP's choice.

3 Q. Mr. Torrico, it's a choice that will be more
4 costly. But in the end, it's something that DCP feels
5 strongly about in order to enhance the design; is that
6 correct?

7 A. That's correct. It's in the best interest for
8 DCP to have a more strong design for this new well.

9 Q. Mr. Torrico, in your opinion, will having a
10 second AGI well on the facility enhance and improve the
11 operations overall with the AGI facility and the plant?

12 A. Absolutely. It improves the overall integrity
13 of the facility and initially permits have a less
14 possibility to have releases because we are having a
15 second well we can inject this acid gas, and we can
16 operate under whatever conditions we can handle with one
17 or another well.

18 Q. The releases you just mentioned, is that when
19 you shut down -- if you have to shut down the AGI Number
20 1, you have to flare back at the plant in order to clear
21 out that line; is that correct?

22 A. That's correct.

23 Q. So if you had two wells, you would be less
24 likely to have to flare back at the plant; is that right?

25 A. That's correct.

1 Q. Some of these design elements that you've
2 identified are essentially enhanced materials, getting
3 more data, and you've got improved operational controls
4 through having two wells and the flexibility to operate
5 those wells?

6 A. That's correct. I'd like to explain a little
7 more about these two points. It was DCP's idea, based on
8 my experience, to have these downhole sensors that senses
9 the pressure and temperature because we had experienced
10 the same situation in some wells in Brazil and Bolivia.
11 And for that reason, we recommend DCP to have these
12 downhole sensors in order to detect whatever conditions
13 we can handle progressively and be proactive and
14 predictive into whatever condition we can handle.

15 It's basically an enhancement that we are
16 expecting to have in the well, that we are trying to put
17 in this instrumentation inside the well, in the downhole
18 of the well.

19 Q. Mr. Torrico, the additional well, in your
20 opinion, with these enhancements, will it improve the
21 reliability of the facility overall and reduce potential
22 impacts on the environment and human health?

23 A. Yes. Additionally, it's in DCP's best
24 interest to prevent and protect all the overall adjacent
25 neighbors around the well. And it's part of our

1 philosophy of our company to have the best protected well
2 and facility, too.

3 Q. Mr. Torrico, finally, did you review the
4 Division's proposed conditions that were part of the
5 prehearing statement?

6 A. Yes. DCP agrees with Points 1, 2, 4, 5 and 6.
7 And Point Number 3, we should be continuing reporting for
8 AGI Number 1 until we replace the packer. And it is
9 essential to continue to do the same thing for the new
10 well because the new well could be more enhanced if we
11 have a better -- most robust design.

12 Can I return to my last explanation about
13 operating with these two wells at the same time? We
14 expect to have a programmable logic control system that
15 can split between these two wells without exceeding the
16 maximum operating pressure in the wells. If some day we
17 need to operate these two wells at the same time, we can
18 do it without exceeding the maximum injection pressure.

19 This we'll handle electronically in real time
20 via a PLC system, according to the plan requirements. We
21 have actually plans of a DCS control system, a
22 distributed control system, that is handling actually
23 operation of the plant and the AGI well, too, at the same
24 time. What we expect to do is link into the same system
25 in order to have the same protocol to handle all the

1 processes and retrieve all the information for better
2 control.

3 Q. Mr. Torrico, can you please just explain for
4 the Commission what exactly "PLC" means?

5 A. It's a programmable logic control. Basically,
6 you introduce a mathematical formula to do some
7 calculations and controls during the operational time
8 that these cards -- basically, it's an electronic card --
9 is doing during the operation.

10 For example, if you like to control the
11 maximum temperature and send a signal to one of the
12 instruments that you have -- for example, activate and
13 close one valve. If you have an excess of temperature
14 and pressure, you can do that. It's basically a logic
15 system that can permit you to control without human
16 interaction whatever reaction you need to have for
17 safety reasons, for control or for quality control
18 process.

19 Q. Thank you, Mr. Torrico. So essentially, it's
20 a higher level of feedback, based on the parameters that
21 you would find; is that correct?

22 A. That's correct.

23 Q. Mr. Torrico, is it your understanding that the
24 Division and the District Office -- first of all, you
25 worked closely with the Division and the District Office

1 on the design; is that correct?

2 A. That's correct.

3 Q. And it's your understanding that the Division
4 and the District Office support DCP's application?

5 A. Yes.

6 MR. RANKIN: Madam Chair, I have nothing
7 further.

8 CHAIRMAN BAILEY: Any cross-examination?

9 MS. GERHOLT: I have no questions for this
10 witness.

11 CHAIRMAN BAILEY: Mr. Alvidrez?

12 MR. ALVIDREZ: Yes, ma'am, a couple of
13 questions.

14 Good afternoon.

15 THE WITNESS: Good afternoon, sir.

16 CROSS-EXAMINATION

17 BY MR. ALVIDREZ:

18 Q. I wanted to get a little more clarification.
19 If I understood your testimony, DCP at least wants the
20 option to operate both the AGI Number 1 and AGI Number 2
21 simultaneously; is that a correct understanding?

22 A. It's an option. What we prefer is operate
23 with one well and with another. But like Mr. Gutierrez
24 told, we are having a big investment in this well, and
25 it's preferential we can use these two assets. But our

1 preference is work with one, basically work for six
2 months with one, and go to the second in the next six
3 months.

4 It's for maintenance purposes. We need
5 to do some maintenance in the well that's regular work
6 that we need to do on the well. And we need to stop the
7 injection in this well, and we need to go to the other
8 well in order to maintain the pressure of the plant
9 because it's dependent -- the plant depends on injection.
10 If we don't have injection, we need to stop the plant.
11 And this is a big impact for the company, economic impact
12 for the company.

13 And in this case, if we are trying to handle
14 these two at the same time, we are distributing basically
15 the flow into the reservoir in a more uniform way,
16 basically trying to do that. It's beneficial for the
17 same reservoir, too.

18 We understand we can handle it both ways.
19 Basically, our limitation is the pressure of the
20 reservoir. The maximum pressure we cannot exceed, and we
21 have this very clear.

22 Q. That's really what I was wanting to get at, is
23 the last part of your answer, in terms of the maximum
24 pressure. How do you gauge that or assess that you not
25 exceed the maximum pressure?

1 A. Good question. Thanks for that. We have a
2 pressure control system in place that actually is
3 working. And with this pressure control system in place,
4 we detect maximum pressure coming from the compressors.
5 And if we are arriving close to the maximum pressure,
6 basically we reduce the compression. It's a logic
7 control work, basically. It's what the actual logic
8 control is doing. We expect to do the same thing in the
9 second well.

10 Q. Will the operation of both wells
11 simultaneously mean you can increase the throughput
12 through the plant?

13 A. Well, if you -- we have actually 225 million
14 in the plant processing, and at any time we expect to
15 exceed more than 7 million standard cubic feet per day of
16 injection. And the maximum amount of CO2 that we can
17 receive, according to our simulations, we are not
18 expecting to exceed more than 7 million cubic feet per
19 day of injection in volume.

20 And in pressure -- we have only two
21 compressors there. We cannot exceed, because these two
22 compressors are limited by a control system and actually
23 by the flow they can inject.

24 Q. So does the answer to my question about
25 whether the operation of the wells simultaneously mean

1 that you won't be able to increase throughput through the
2 Linam plant?

3 A. We don't, because we have compression
4 limitations, actually. We have maximum flow that we
5 cannot exceed because we have maximum flow that we can
6 compress at the AGI site, and we cannot increase the
7 process inside. Because if we increase the process
8 inside the plant, we are going to increase the injection
9 volume, too, the injection flow, in this situation.

10 Q. Now, as part of your responsibilities, I guess
11 you oversee a number of AGI wells operated by DCP?

12 A. Actually, this is my assignment. I'm working
13 with compression stations and gas plants, too. It's
14 under my command. I'm handling actually four projects,
15 yes.

16 Q. Is this work you're doing on all new
17 installations only, or are you looking at current
18 operating wells?

19 A. Expansions of plants, new compression stations
20 and new plants.

21 Q. What is your -- do you have a specific
22 territory that you cover or region that you cover?

23 A. Not actually. I'm covering from the north
24 part of Colorado to the south part of Texas and actually
25 New Mexico, too.

1 Q. Anything out of the U.S.?

2 A. Not actually. I was doing this before, but
3 actually, no.

4 Q. Have you worked with acid gas -- well, let me
5 ask this: How many acid gas injection wells have you got
6 experience with?

7 A. Well, when I was working in Kinder Morgan in
8 West Texas, Maryland, I have under my command the
9 injection of over 1,420 gas wells, 1,422 EOR wells,
10 enhanced oil recovery wells. Basically, we inject CO2 to
11 increase the pressure in the reservoir and recover all
12 the oil. That was a service we provide for different
13 companies like Chevron, Oxy.

14 Q. What about acid gas wells, such as the one?

15 A. This is an acid gas well, a CO2 well, yes.

16 Q. In your experience, have you seen situations
17 where the operation of an acid gas well has contaminated
18 an aquifer?

19 A. Well, what I noticed was that in the past, in
20 Brazil -- this occurred in Brazil. Basically, one of the
21 injection wells where I was working in operations had a
22 problem with an instability, geologic instability that
23 took place that broke the cement and basically
24 damaged -- very bad damaged the part where the aquifer
25 was.

1 And this action of the geological formation
2 over the well, over the casing of the well and cement,
3 broke the cement and broke the casing, basically. That
4 was the only experience I have with this situation.

5 The national company at the time -- the
6 environmental division of the national company in Brazil,
7 Petrobras, was looking for sensors around the well. And
8 they detected a small radius, basically, of the
9 immigration of this contamination. I think it was no
10 more than 1,000 meters.

11 Q. Are these underground sensors?

12 A. Yes.

13 Q. Are there underground sensors with either of
14 these two wells, the DCP wells that we are talking about
15 today?

16 A. I don't know, but we are going to have these
17 sensors downhole.

18 Q. You talked about some of the sensors. I
19 understood they would look at pressure and they would
20 look at temperature, but I didn't understand that they
21 would be doing any type of chemical analysis.

22 A. No, no. We are not expecting that because we
23 are very far from whatever aquifer formation we can be
24 interacting. And additionally, we are going to have four
25 casings.

1 Second, we don't have any experience or
2 historical information about seismic problems in the area
3 to be aware and put the sensors there.

4 Q. Are there sensors that are available in the
5 industry -- and I'm not talking about surface sensors
6 necessarily, but subsurface sensors that can detect
7 whether or not an operation is leaking either CO2 or H2S?

8 A. Normally, every chemical has their own
9 detector because every sensor has a different type of
10 catalyzer that activates and detects.

11 H2S has one, and ASTM has a protocol to have
12 these analyses. And some companies produce these
13 sensors, but I think there are no more than five
14 companies here in the United States that are producing
15 these sensors.

16 Q. I take it there are no plans to put these
17 types of sensors in with respect to either the existing
18 well or the new well that you're proposing?

19 A. We are not expecting to have them because,
20 like I explained before, we have four strings, four
21 casings. We have these subsurface sensors. And we have
22 additionally a protection -- we have a south dome over
23 the reservoir that is protecting -- basically, we have
24 over the south dome close to zero migration. And we are
25 not expecting to have this, especially because we have

1 four strings protecting the aquifer.

2 Q. What you're saying is you don't think that
3 those types of sensors would be warranted in this
4 application?

5 A. I don't think so.

6 MR. ALVIDREZ: I have no further
7 questions. Thank you very much.

8 CHAIRMAN BAILEY: Commissioner Warnell.

9 COMMISSIONER WARNELL: I have no
10 questions.

11 CHAIRMAN BAILEY: Commissioner Balch?

12 COMMISSIONER BALCH: Good afternoon,
13 Mr. Torrico. I have a couple questions.

14 EXAMINATION

15 BY COMMISSIONER BALCH:

16 Q. In your Brazil example, where there was a
17 casing failure due to an earthquake, apparently, and then
18 they were monitoring the migration of the CO2, were they
19 doing that with surface flux measurements?

20 A. Yes.

21 Q. So they had a device that they took around and
22 measured to see if CO2 was --

23 A. Yes, sir.

24 Q. And groundwater sampling?

25 A. Yeah.

1 Q. Those are the two ways that I know of to
2 monitor CO2 migration to the surface directly.
3 Indirectly, you might be able to use microseismic, I
4 guess?

5 A. That was microseismic, according to the
6 information I have. I was not directly involved with the
7 team working with the sensors, but it is information I
8 know. I don't know exactly the instrument or the
9 technology used to do that. I cannot tell you exactly.

10 Q. You worked for Kinder Morgan?

11 A. Yes.

12 Q. And you had involvement with a great number of
13 CO2 Enhanced Oil Recovery projects?

14 A. The operational side --

15 Q. But from --

16 A. -- and the design in two wells only.

17 Q. Do you know, is it typical to routinely --
18 what sort of monitoring for CO2 or H2S leakage is
19 routinely -- in an EOR, there's not going to be any H2S.
20 But is there any routine monitoring for CO2 leakage
21 around an EOR project?

22 A. What we had in Kinder Morgan was only the
23 surface of the well sensors. We had H2S and CO2 sensors
24 in the surface. The only thing in Brazil was complicated
25 was the fact that Brazil has mercury in the gas, too.

1 And it was a complicated thing to measure, too, to put
2 through catalyzers, in order to reduce the amount of
3 mercury going into the well in the injection process.

4 But here we don't have this situation. And
5 according to the work we were doing in Kinder Morgan,
6 basically, we had only these surface detectors if we have
7 a leak in the surface, and we had only the pressure
8 sensors in the annular space detecting if we have high
9 pressure or not. That's what we have.

10 Q. So I think what you said was that people are
11 not routinely drilling monitoring wells? They're using
12 surface measurements and existing groundwater to check
13 for leakage?

14 A. Oh, yes.

15 Q. All right. So you were discussing kind of a
16 process monitoring system that they run at the Linam
17 plant?

18 A. Let me clarify this point. There was a
19 question before. All these actions that I know, I like
20 to clarify that every company has their own policies.
21 And in the case of the company I was talking about, they
22 had their own geology analyses, similar to like this well
23 has.

24 And according to their geology, they haven't
25 any information about seismic situations or related

1 geological failures that can affect a well and they need
2 to have a detection system there in place.

3 Additionally, I don't know what the difference
4 actually between New Mexico and Texas could be in regards
5 to these requirements. I think actually New Mexico is
6 improving a lot in their requirements.

7 But in the case at the time I was there, we
8 had no requirements from the state to have these sensors
9 there because we justified by geology, basically.

10 Q. So at your Linam plant, you have a process
11 control room, I'm assuming --

12 A. Yes.

13 Q. -- with a monitor for every step of the
14 process that you're doing in separation and creating the
15 various streams of gas that you're trying to distribute,
16 TAG or methane?

17 A. Um-hum.

18 Q. Are you talking about taking the sensor data
19 from the AGI Number 2 well and tying that directly into
20 that process monitoring?

21 A. Yes, in the DCS, in order to have the
22 possibility for the operators to see if they have an
23 alarm or not coming from the well.

24 Q. That's monitored 24 hours a day?

25 A. 24/7, yes, sir.

1 Q. And in those sorts of systems, you can set
2 fail safe levels or triggerpoints where certain things
3 will happen?

4 A. Yes.

5 Q. Is it possible to automate the system to the
6 point where if AGI 2 is having a temperature problem --
7 well, temperature might not be a good example -- a
8 pressure problem, would you be able to flip it to the AGI
9 1 directly from a control room? Or does somebody have to
10 go to the field and --

11 A. Normally, it's necessary to go to the field,
12 because you don't know exactly what conditions that the
13 well has at that time. You need to send an operator over
14 there. Normally, it's a process that takes more than two
15 hours, and the operations are not far from there.

16 For safety reasons, we prefer not to activate
17 one well automatically because we don't know what happens
18 around it, if we have valves closed, if we have some
19 problems that can affect the safety of the operation.

20 Q. Or a bad sensor?

21 A. Absolutely.

22 Q. So there's a couple-hour delay between
23 switching one well to the other?

24 A. Normally, that's the time, in my experience,
25 because of the distance that we have from the plant to

1 the well.

2 Q. For that time period would you be able to
3 close the pipeline from the plant to the well? Would you
4 have to flare back?

5 A. I think it's necessary to -- because you're
6 increasing the pressure. The pressure is not like a PSV
7 release type when you have one of these releases inside
8 the well. The pressure will go up slowly, and you have
9 enough time to close the well, open the second well, and
10 maintain the same pressure in the pipeline. You don't
11 need to close the pipeline during this period of time.

12 Q. Right. I believe, and I may be wrong, that
13 the current order limits injection through maximum
14 pressure, not by volume?

15 A. Yes, sir, that's right.

16 Q. The question was brought up by Mr. Alvidrez,
17 would you be able to then kind of -- perhaps the intent
18 of the original order was to have a volume limit, but it
19 was instead applied as a pressure limit. Would you be
20 able to circumvent that implied volume limit?

21 A. I consider pressure a more critical variable
22 to control because you have various factors. You have
23 the porosity. The permeability can be affected. And
24 pressure basically is the main driver for whatever
25 problems you can have in a reservoir.

1 But I don't see any improvements in this
2 control. We have flow control to doing that at the same
3 time. If we have one variable, like the pressure, that
4 is critical for this process very well controlled and
5 regulated, I think it's enough.

6 Q. The Linam plant, is it running at full
7 capacity?

8 A. Yes.

9 Q. And it's producing about 4 to 5 mcf a day?

10 A. Yes, 4.5, 5.

11 Q. And to increase that amount of TAG, you would
12 have to significantly upgrade the facility? Or can you
13 increase --

14 A. Actually not, because we have enough room.
15 Maybe if we add additional maybe 10 percent over this, we
16 need -- and we have plans to do that, too.

17 Q. You can easily do about 10 percent more, which
18 gets you to four and a half to five and a half, 9 cubic
19 feet?

20 A. Yes. Maybe Mr. Steve will explain a little
21 better that because he's in the daily operation.

22 My understanding is that the plant has enough
23 capacity to handle this 10 percent. But we have plans to
24 increase some equipment around it, too, if we need --

25 Q. I believe the original order -- most of the

1 testimony for the original order and for the subsequent
2 modifications to it involves the analysis of a 7 million
3 cubic feet a day maximum for the plant?

4 A. Um-hum.

5 Q. Do you see that plant exceeding that limit any
6 time in the next 30 years or 25 years?

7 A. I don't think so. What we did in our
8 economical analysis in the Business Development
9 Management Group is see how much capability there is to
10 receive more gas from different producers there could be
11 in the next future years. And we don't see any excess of
12 no more than 6.2 million, maybe, in the best case
13 scenario.

14 But actually, we are not expecting, at least
15 in the next 15 years, to have an excess of 6.2. I don't
16 know. If the oil price goes over 150, maybe somebody can
17 try to inject more -- can try to produce more oil from
18 EOR type of wells, maybe. But it's an unusual situation
19 that we are not considering.

20 We are considering, according to our normal
21 analysis, that this cannot exceed 6.2 million.

22 Q. Okay. So I think that the remaining concern,
23 perhaps, might be there's a limit of 2,600 and some psi
24 maximum injection pressure?

25 A. Um-hum.

1 Q. If you hit that into both wells at the same
2 time, what would your rate be?

3 A. Good question. I think we cannot exceed this
4 pressure because we have only two compressors. Every
5 compressor has capability to inject only 5 million at
6 this maximum capacity flow.

7 Q. So even if you were to optimize your plant,
8 receive dramatically more throughput than you expect or
9 project, the most you would be putting in is 10 mcf a day
10 from those two compressors?

11 A. If we do modifications to the compressors,
12 maybe. Because actually, the pockets in the compressor
13 in every cylinder has capability for less than 5. I
14 think maybe Steve will clarify that.

15 But my understanding is we are below 5 million
16 for every compressor because of the optimization of the
17 process. You know, when you have a combination of CO2
18 and H2S, you need to reduce the pockets in order to have
19 more efficiency in the compressor. That's the situation
20 we have.

21 Q. And to upgrade that requires a significant
22 expense in custom compressors?

23 A. Yes.

24 COMMISSIONER BALCH: Those are my
25 questions.

1 THE WITNESS: Thank you. Good questions.
2 I appreciate it.

3 CHAIRMAN BAILEY: Are you the person to
4 talk to about the temperature control systems, or is the
5 next witness?

6 THE WITNESS: I think the next witness,
7 because he's experienced in that. He has various
8 suggestions he makes and sends his various suggestions to
9 do better enhancements and control better, to do some
10 enhancements and control because he's working 24/7, and
11 he has more maybe data to share. I can only talk
12 generally. But if you'd like to discuss this in more
13 detail, maybe Steve Boatenhamer can be the person that
14 can talk about this point.

15 CHAIRMAN BAILEY: Then I will ask him my
16 questions, and I have none for you.

17 Do you have any redirect?

18 MR. RANKIN: Madam Chair, thank you. No,
19 I have no further redirect.

20 CHAIRMAN BAILEY: Then you may be excused.

21 THE WITNESS: Thank you very much.

22 CHAIRMAN BAILEY: Would you like to call
23 your next witness?

24 MR. RANKIN: Madam Chair, Commissioners,
25 I'd like to call my next witness, Mr. Steve Boatenhamer.

1 STEVE BOATENHAMER

2 Having been first duly sworn, testified as follows:

3 DIRECT EXAMINATION

4 BY MR. RANKIN:

5 Q. Mr. Boatenhamer, can you please spell and say
6 your full name for the record?

7 A. Steve Boatenhamer. S-t-e-v-e, first name.
8 Boatenhamer, B-o-a-t-e-n-h-a-m-e-r.

9 Q. Thank you, Mr. Boatenhamer. Where is it you
10 reside?

11 A. Hobbs, New Mexico.

12 Q. By whom are you employed?

13 A. DCP Midstream, LP.

14 Q. What is your position with DCP?

15 A. I am the Linam plant manager, operations
16 manager.

17 Q. And your duties as a plant manager include
18 what?

19 A. Day-to-day operations of the largest natural
20 gas facility that DCP operates in the State of New
21 Mexico.

22 Q. Those day-to-day operations include oversight
23 of the safety and environmental issues that go on at the
24 plant; is that correct?

25 A. That's correct.

1 Q. It includes not only the plant, but the well
2 facility, as well?

3 A. Yes, sir.

4 Q. Which is approximately a mile and a half
5 north?

6 A. Correct.

7 Q. Have you previously had occasion to testify
8 before the Commission?

9 A. No, sir.

10 Q. And you're testifying today as a nonexpert
11 fact witness; correct?

12 A. That's correct.

13 Q. Mr. Boatenhamer, can you please review your
14 work history with DCP?

15 A. I started at Linam Ranch in 2001 as a relief
16 operator, utility operator, which is at the bottom, an
17 hourly classification.

18 I progressed up to plant operator, up to a
19 lead operator, Operator 3. From then I was given an
20 assignment for management for the Eunice plant facility,
21 which is located south, with DCP Midstream. That was in
22 2007.

23 And I just recently have come back to the
24 Linam Ranch plant as the plant operations manager.

25 Q. In your role as a Level 3 Operator at Linam

1 and also as a plant manager at the Eunice plant, you have
2 become very familiar with operations related to acid gas
3 facilities; is that correct?

4 A. Correct. As we've heard from several
5 individuals today in the testimony, Linam had a Sulfur
6 Recovery Unit or reduction unit that I was experienced
7 with operating for several years, not only as an
8 operator, but lead operator, as well.

9 At Eunice we had a Sulfur Recovery Unit down
10 there, as well, that is still in operation today. So I
11 am familiar with the removing of acid gas in the
12 sweetening system and processing it via sulfur recovery
13 or AGI.

14 Q. From an operations standpoint, can you just
15 briefly summarize some of the specific reasons, the sort
16 of highlights, for why DCP is seeking a second well
17 injector?

18 A. As we've heard, you know, we had the issue
19 with AGI Number 1 with the MIT. Through that process, we
20 worked with the Division and the leadership of DCP to
21 come to a point to where we could safely work that well
22 over.

23 By having a second well, it will mitigate some
24 of those issues where we're asking thousands of producers
25 to shut in on an unplanned shutdown, kind of in a

1 reactive mode, where there was a possibility of venting
2 or flaring across the County of Lea and Eddy County,
3 maybe more so in an uncontrolled atmosphere.

4 Q. So based on that, those considerations, and
5 the impact it had on operators and the impact it had on
6 the plant, potentially, when you shut the AGI 1 in, and
7 you had to flare back at the plant, it was decided that a
8 second well would help improve reliability; is that
9 correct?

10 A. That's correct.

11 Q. Can you go into more detail about how the
12 Division -- how the discussion with the Division
13 progressed with DCP to arrive at that decision for a
14 second well?

15 A. Back sometime during the well workover with
16 Mr. Gutierrez and Mr. Gonzales, there was some -- it was
17 first brought to the surface when we were going through
18 the process of working over AGI Number 1 in April of
19 2012, is where that initially started.

20 As it progressed, we took the recommendation
21 or the starting of the dialogue and looked at it,
22 evaluated it as a corporation, and come to see the
23 benefits of AGI Number 2 for the Linam Ranch facility.

24 Q. Let's talk a little bit about the decision to
25 change the proposed location of the well. In fact,

1 Mr. Boatenhamer, it was it your idea, wasn't it, standing
2 out there, looking at the proposed site, to say, "Let's
3 maybe move this a little bit to the south, that way."
4 What would be the benefit of that?

5 A. Correct. Looking at the location -- of
6 course, when the first C-108 was filed, it was northeast
7 of the existing Linam Ranch Number 1.

8 As we went out to look at the MIT and a little
9 before that, we talked about the prevailing winds in that
10 area are out of the southwest to the northeast. I had
11 the concern of it being to the northeast of Number 1.

12 One reason for us to have both wells is if we
13 encountered a problem, we could work one over and do it
14 in a safe manner while the other one was in operation.
15 So that was one point, was to move -- that was one thing
16 that I had some concerns about.

17 Also, by moving it directly south or south and
18 slightly west of Number 1, if there was a potential
19 release, it would stay on DCP's property. It wouldn't be
20 up on the northeast corner of that, as far as the
21 perimeter monitor. And last, but not least, it would be
22 further away from Mr. Smith's property.

23 Q. In addition to those considerations, isn't it
24 also true that you evaluated the proximity to the plant,
25 the proximity to the pipeline, and decided it also made

1 prudent sense to locate the AGI Number 2 in the new
2 proposed location?

3 A. Correct. Around the transport of where the
4 acid gas injection comes into the facility, it fit where
5 we would tie in this Number 2 well with the existing
6 facilities that we had at the Linam Ranch well site.
7 Correct.

8 Q. So in addition to any safety concerns or
9 safety thoughts, it also fit very well with the
10 operational decision, as well?

11 A. Correct.

12 Q. In your understanding, the Division and the
13 District Office agree with the new location?

14 A. Yes.

15 Q. Are you aware of any other AGI wells in New
16 Mexico that have as stringent conditions and requirements
17 as that AGI facility that you operate?

18 A. No, sir.

19 Q. Did you hear Mr. Gutierrez's analysis of the
20 problems that led to the tubing leak in the AGI Number 1
21 well?

22 A. Yes.

23 Q. Based on Mr. Gutierrez's testimony, he
24 indicated that was a condensation issue resulting from a
25 fluctuation in temperature?

1 A. Correct.

2 Q. Based on his recommendation, he indicated that
3 DCP should address the temperature control fluctuations.
4 And how did DCP do that?

5 A. As we went through and investigated that, it
6 was brought to our attention that temperature control was
7 less than adequate.

8 Just to kind of paint a picture around this
9 temperature control, we have a cooler box. The well site
10 compression has four stages of compression. This cooler
11 box has four stages of cooling leaving each stage, 1
12 through 4. The cooler box is equipped with louvers for
13 each stage. Internally, as well, it has a recirculation
14 set of coolers or louvers, and then it has an external
15 set of louvers on the front end of that.

16 The cooler was controlled with a
17 pneumatic-type controller that was mounted on the side of
18 the cooler box, where the fan and the rotating equipment
19 is. So upon investigating why the fluctuation in the
20 temperature control, the vibration from the rotating
21 equipment had caused these temperature controls to fail.

22 The remediation or the change that we made --
23 these cooler boxes are very complex. Not only that, it
24 has a VFD. The fan is controlled by VFD. So you've got
25 five or six things going on simultaneously that you're

1 trying to control this temperature within a span of 10 to
2 20 degrees there.

3 We removed the controller off the cooler box,
4 installed a thermocouple so that we could get this
5 temperature from that location where the controller was
6 installed. We took that thermocouple reading back to a
7 programmable logic controller, as Mr. Torrico talked
8 about briefly, to where you could set these parameters up
9 where it would alarm should you have any -- and get much
10 tighter controls around the operating louvers. When
11 maybe you needed a little more coolant here, it got a
12 signal from the VFD to speed up or slow down a fan.

13 So it's very complex around the control for
14 that. So that's how we come to the conclusion of
15 changing it.

16 Q. Based on these remediative steps, these
17 actions you took, have you seen improvements in the
18 temperature controls? Has that resulted in a viable
19 solution?

20 A. Absolutely. It's a much tighter band now.
21 During injection, the temperature runs from 110, 115, to
22 125, where we were seeing fluctuations, you know, of 60,
23 70, maybe even 80 degrees Delta T.

24 Q. So based on your correction of the thermal
25 controls, how do you know that the temperature controls

1 are working? It sounds like you've got some sort of
2 readout or record on a daily basis of these temperatures.

3 A. Correct. As brought up earlier, we have a
4 distributive control center. And what that does is this
5 data is periodically scanning for a period of two or
6 three seconds, 15 seconds, whatever those parameters are
7 set up for, to collect this data in a large database.

8 You turn around, and the POC can be programmed
9 to the DCS. The DCS can even be enhanced with more
10 programming to alert these parameters, either to tighten
11 or widen, whatever design you want, whether it be
12 temperature, pressure, flow, Delta P, Delta T.

13 And you do similar to what was discussed
14 around these parameters and set up alarms. You can set
15 up two or three different levels of alarms. You can get
16 a minor, a major, you know, Level 1, 2, 3. So that way,
17 you're continuously monitoring whatever you want to or
18 whatever the design is intended.

19 Q. Based on the current design now, the way the
20 AGI Number 1 is working, it would be a fairly simple
21 matter to coordinate with the District Office and the
22 Division to come up with some parameters, depending on
23 the conditions; is that correct?

24 A. Oh, yeah.

25 Q. On that issue, as the Division has indicated,

1 it would like to see some conditions included on the
2 approval of this application. Have you had a chance to
3 review those?

4 A. Correct. I believe there was six dot points
5 there. One, 2, 4, 5 and 6 we agreed with.

6 Number 3 is around the parameters. I think
7 that the MIT, you know, will take care of that. That's
8 kind of the proof in the pudding there, around the
9 integrity of that well.

10 So I think that -- not that -- you know, we're
11 doing that as we did when we went into the agreed order
12 in January. You know, we provided that data on a weekly
13 basis up to that point for review, not only internally,
14 but with the Division, as well.

15 Q. So you've had no problem doing an MIT every
16 six months with the AGI?

17 A. No. To be honest with you, you know, six
18 months I think would be better than the parameter dot 3.

19 Q. On that point, just to be clear, your
20 understanding is that what the Division would like is to
21 have some dialogue between itself and the DCP to come up
22 with what those parameters should be. But the problem
23 that you might have, as an operations person, is that
24 those conditions might change and those parameters might
25 have to be adjusted; is that correct?

1 A. That's correct. You know, processing
2 facilities, they're always changing, not necessarily the
3 flow or -- you know, as discussed earlier, just the
4 temperature, ambient temperature, can make something
5 change. You know, a 100-degree day versus a 20-degree
6 morning, that we seen this morning, can have a large
7 effect just on operations day in and day out.

8 Q. So your understanding of what the Division has
9 proposed, and the Division will clarify this, of course,
10 is that there would be that dialogue?

11 A. Correct.

12 Q. You wouldn't necessarily be locked in on any
13 given parameter, but it would be a dialogue with the
14 Division about what those parameters should be --

15 A. Correct.

16 Q. -- based on the changing conditions of the
17 injection reservoir and the other considerations?

18 A. Correct. You know, as Mr. Gutierrez mentioned
19 earlier, that reservoir, you know, we're injecting 14-,
20 1,500 pounds. I would hate to be locked into something.

21 You know, say 15 years from now, if that
22 pressure goes up to 18 or 19, we already have a pressure
23 limitation of 2,644 to begin with, you know. So as long
24 as we're operating within those parameters and don't
25 exceed that, I feel that that's where we need to go to

1 see some fluctuations from an operational standpoint.

2 Q. So to maintain that flexibility is the key?

3 A. Correct.

4 Q. And the idea that the parameters would be set
5 between -- based on what the Division would like to see,
6 and that it would be a matter of notifying the Division
7 when those parameters are exceeded, and that would
8 trigger a consultation to decide if there are any
9 additional steps that need to be taken, is that your
10 understanding?

11 A. Correct.

12 Q. And that's what you'd like to see if these
13 conditions are imposed; is that correct?

14 A. Correct.

15 MR. RANKIN: Nothing further, Madam Chair.
16 Thank you. I pass the witness.

17 CHAIRMAN BAILEY: Mr. Gerholt, any
18 cross-examination?

19 MS. GERHOLT: Thank you. I do have a few
20 questions.

21 CROSS-EXAMINATION

22 BY MS. GERHOLT:

23 Good afternoon, Mr. Boatenhamer. How are you
24 doing?

25 A. Fine.

1 Q. Good.

2 What's a louver?

3 A. A louver is -- it's a control device, very
4 similar like to your air conditioner in your vehicle,
5 where you make the adjustment to open or close the vents.
6 It's very similar, just on a much larger scale, where
7 they open or close, either restrict or increase air flow
8 across a certain area.

9 Q. What is VFD?

10 A. VFD is Variable Frequency Drive. What it is,
11 it's a way to control electric motors on Hertz, whether
12 you can increase the speed or decrease the speed around a
13 controller.

14 You know, say you're trying to set a
15 parameter -- I'll give an example. I want to get to a
16 temperature. I want to get at 100 degrees. Maybe I'm
17 seeing 99 or 95, and I want to get to that 100 degrees.
18 I need that cooler fan to slow down just a little bit so
19 I can try to dial that 100 degrees in to achieve whatever
20 it may be in the process that I'm trying to achieve.

21 Q. So that would relate to controlling of the
22 temperature?

23 A. Yes.

24 Q. You mentioned, when you were discussing moving
25 the well, about the perimeter monitor at the well site.

1 What is the perimeter monitor?

2 A. At the well site there are perimeter monitors
3 and interior monitors around the equipment. There's a
4 total of 33 at the AGI well site located north of the
5 Linam Ranch facility. The ones on the perimeter are just
6 exactly that, around the fence line.

7 Q. And is that the bounds of DCP's property
8 around the well site? Is the fence the outer bounds, or
9 is there still more property around that?

10 A. No. We own or lease the whole quarter section
11 there. The perimeter monitors are on the inside of the
12 fence, the fenced in area, which is less than that
13 quarter section.

14 Q. You also were speaking about this data that's
15 collected approximately every 15 seconds or so. How long
16 does DCP keep that data for?

17 A. It goes into what we call a historian. We
18 know from the deal where we gathered the data up for
19 Mr. Gutierrez for evaluation around the well that that
20 went back to April of 2010. What had happened in -- we
21 tried to go back to December of 2009. What had happened,
22 we had an upgrade in the distributive control services
23 or --

24 MR. TORRICO: System.

25 A. -- system there, and that's as far as we could

1 go back. We have data back to there. And in some
2 instances, more, because we take daily logs, which some
3 of these parameters that are tracked in the DCS are taken
4 down on a four-hour basis.

5 Q. This data may not necessarily be kept for a
6 set period of time? It's not every five years, and then
7 there's data dump and then another?

8 A. No.

9 Q. Okay. Mr. Boatenhamer, do you have the Oil
10 Conservation Division's Prehearing Statement in front of
11 you?

12 A. No, I don't.

13 MS. GERHOLT: May I approach or --

14 CHAIRMAN BAILEY: YES.

15 MS. GERHOLT: Thank you very much.

16 Q. (By Ms. Gerholt) Drawing your attention to
17 page 2 of the Division's Prehearing Statement, Point 4,
18 the first point talking about DCP working with the
19 Division in setting immediate notification parameters, do
20 you see that point?

21 A. Number 4? Yes.

22 Q. The Division has listed annulus pressure and
23 tubing and casing differential pressure at a set
24 injection temperature.

25 Do you have any suggestions for any other

1 aspects that should be identified for notification
2 parameters?

3 A. You know, it's kind of like Mr. Gutierrez
4 talked about earlier. You look at the Delta P across the
5 injection, the injection pressure and the annular
6 pressure, as well.

7 You know, it's kind of like early this morning
8 the comment was made that more data is better. The more
9 data you can have, the better you can do to take a look
10 at whatever may surface. So that's the only thing that
11 can come to mind right now.

12 If I recall, under the agreed order that we
13 had in January of 2012, there was a period in there that
14 talked about the Delta P between the annular space and
15 the injection pressure that there was a requirement to be
16 notified immediately if we reached that 100 degrees Delta
17 P, if I remember correctly.

18 Q. Did you find that to be a workable condition?

19 A. We did.

20 MS. GERHOLT: Madam Chair, I have no
21 further questions for this witness.

22 CHAIRMAN BAILEY: Mr. Alvidrez?

23 MR. ALVIDREZ: Yes, Madam Chair. I have a
24 few questions.

25 Good afternoon, Mr. Boatenhamer.

1 THE WITNESS: Good afternoon.

2 CROSS-EXAMINATION

3 BY MR. ALVIDREZ:

4 Q. Do you have an understanding about whether DCP
5 intends to increase the throughput at the Linam gas plant
6 after it installs the second well, if it is granted that
7 authority?

8 A. Currently, no. The maximum throughput is 225.
9 225 million has been mentioned today. The acid gas
10 injection volume right now can fluctuate anywhere from
11 three and a half up to five and a half million, depending
12 on the amount of CO2 and H2S entering the facility from
13 the different strings.

14 One thing that is unique about Linam Ranch is
15 it has five separate inlets that come in, so that the gas
16 composition could fluctuate a little bit. And we're
17 seeing that, and most of it is with the increase of CO2.

18 Q. In terms of the operations at -- let me back
19 up. When did you become manager out there?

20 A. It would have been mid-December of 2011.

21 Q. So you've been there about a year as the
22 manager?

23 A. Correct.

24 Q. As I understand it, you worked there for a
25 number of years before that. During what period of time

1 were you at the Linam gas plant?

2 A. I started in January of 2001 and went to the
3 Eunice plant in 2007.

4 Q. I guess you didn't come back to the Linam
5 plant until 2011?

6 A. Correct.

7 Q. Did you have any involvement with the
8 operation of the Linam plant in that 2007 to 2011 time
9 frame?

10 A. No, sir.

11 Q. Now, when you were at the Linam plant, I guess
12 it was using the SRU for a period of time; is that
13 correct?

14 A. That's correct.

15 Q. What's your understanding as to why the SRU
16 was taken out of service at the plant?

17 A. As it's been mentioned, acid gas removal is a
18 process in natural gas processing, so you have to dispose
19 of the acid gas one way or the other.

20 At that time, the technology -- SRUs were the
21 only technology, for the most part. Acid gas injection
22 had just come on the scene over the last 10, 15 years.
23 And to reduce emissions, as well, you're emitting
24 something through the SRU at all times. Through acid gas
25 injection, you're replacing that TAG back into the

1 reservoir that it come out of somewhere through the
2 processing.

3 Q. Was continuing to operate with an SRU at Linam
4 an option?

5 A. I don't think so. Over a period of time, it
6 was one or two issues. From an environmental standpoint,
7 the AGI was the better option.

8 Q. Wasn't there a consent order with the New
9 Mexico Environment Department requiring you to
10 discontinue use of the SRU?

11 A. Under the settlement agreement, yes.

12 Q. I guess that necessitated the use of the acid
13 gas injection well; correct?

14 A. Correct.

15 Q. In terms of your overall responsibilities, it
16 sounded to me as though you had oversight with respect to
17 all of the plant operations. And I take it that that
18 would include compliance issues?

19 A. Correct.

20 Q. With regard to compliance issues and air
21 emissions from the Linam plant, was the plant cited by
22 the New Mexico Environment Department for air emission
23 violations in the October time frame of this year?

24 A. Under the -- I guess I don't quite understand
25 as far as "cited."

1 Q. You hadn't received a Notice of Violation and
2 had to play a penalty?

3 A. Under the settlement agreement order with the
4 NMED, there are stipulated penalties that occur through
5 that. As far as Notice of Violation, I refer to those
6 as -- under the agreement as stipulated penalties.

7 Q. Were stipulated penalties imposed under that
8 consent order with the New Mexico Environmental
9 Department in October of this year?

10 A. Correct. There's a quarterly review.

11 Q. What stipulations were violated that caused
12 the penalties to be incurred?

13 A. There are a number of things. There's four
14 major ones, or major -- there is third-party events. The
15 way the settlement agreement is wrote up, there's
16 equipment malfunctions. There could be a force majeure
17 event, and there could be an operator error event.

18 Depending on the way the settlement agreement
19 works is depending on the pounds of emissions emitted
20 into the atmosphere, it depends on who reviews that.
21 Anything under 500 pounds is a third-party company that
22 comes in and reviews that event. Anything over 500
23 pounds, it's reviewed internally. All those reviews are
24 sent to the NMED after the review and the investigation
25 has been completed.

1 So does that answer your question?

2 Q. It helps.

3 What I'd like to do is show you what we've
4 marked as Smith Exhibit 2. And I don't know if you have
5 our Prehearing Statement with you at the desk. If you
6 don't, I do have the exhibit.

7 MR. ALVIDREZ: Ma'am Commissioner, I have
8 extra copies for the board members that don't have a
9 folder.

10 CHAIRMAN BAILEY: We appear to have some.

11 MR. ALVIDREZ: Very good.

12 Q. (By Mr. Alvidrez) All I'm going to ask you to
13 focus on, Mr. Boatenhamer, is really the first page of
14 Smith Exhibit -- actually the first two pages of Smith
15 Exhibit 2, and ask if you recall having the facility pay
16 or DCP pay a stipulated penalty fee of \$27,500.

17 A. For the month of October -- for the third
18 quarter of 2012, yes, sir.

19 Q. That period was just limited to the third
20 quarter of 2012?

21 A. Correct.

22 Q. What is your understanding of the bases for
23 the stipulated penalties that were assessed?

24 A. If I recall, it was three events, possibly.
25 It had to do with the lube oil cylinder, lube oil, on

1 1410.

2 Q. What is 1410?

3 A. Acid gas injection compressor.

4 Q. And what were the events involving Compressor
5 1410?

6 A. I don't have those in front of me. They
7 were -- one was around having air in a lubrication line,
8 I believe. I don't have the detailed report in front of
9 me, so I hate to give you something that I don't have in
10 front of me.

11 Q. So you don't have a recollection of what the
12 issues were?

13 A. No.

14 Q. Let me ask you this: Were any of these
15 penalties assessed for any air emissions in excess of
16 permitted amounts?

17 A. Under the settlement agreement, yes.

18 Q. And what were the air emissions that were --
19 what were the air emissions?

20 A. When you have a flared event, the result is an
21 air emission. Depending on what source that comes from,
22 that could be a number of different things. I mean the
23 natural gas stream to methane, ethane, propane; depending
24 on where the process is, SO₂, CO₂. So I mean that's --

25 Q. Is every flare event a violation of the

1 stipulation that you have with the New Mexico
2 Environmental Department?

3 A. No.

4 Q. Do you have -- are you allowed to have a
5 specified number or duration of flare events before you
6 violate the stipulation?

7 A. There is what they call maintenance startup
8 and shutdown emissions that are allowed; some third-party
9 events, force majeure events, things that DCP has no
10 control over.

11 Q. As I understand the penalties that we're
12 talking about here in Exhibit 2, these were all as a
13 result of errors by plant personnel? That's how they
14 were classified; is that correct?

15 Take a look at page 1 of Exhibit 2.

16 A. Okay. Correct, that's what they're classified
17 as.

18 Q. And were any of these events for which DCP
19 paid stipulated penalties related to emissions of H₂S?

20 A. No. There's H₂S in an acid gas stream, along
21 with -- you know, the H₂S is converted to SO₂ through
22 fuel assist when there is a flare event.

23 Q. What protocols, if any, have you put in place
24 to correct these errors by plant personnel?

25 A. We continue to work on training, you know, day

1 in, day out. There are some read-up sheets. We have put
2 in more frequent monitoring of what -- not knowing and
3 seeing what these exactly are, but typically that's what
4 we do when we investigate these and find something that
5 would come around as an error of a plant personnel.

6 MR. ALVIDREZ: Madam Chair, I would move
7 the admission of really just the first two pages of Smith
8 Exhibit 2 into evidence.

9 CHAIRMAN BAILEY: Any objection?

10 MR. RANKIN: Madam Chair, I would just
11 object to the admission of the other parts, the parts
12 that are unrelated to the Linam Ranch. For example, the
13 Eunice and Artesia plants, I would ask that those be
14 removed from the exhibit.

15 MR. ALVIDREZ: I'm not moving those.
16 Certainly they can be discarded.

17 CHAIRMAN BAILEY: So only the first two
18 pages?

19 MR. ALVIDREZ: Just the first two pages is
20 all I'm asking to be admitted into the record.

21 MR. RANKIN: That's fine.

22 MS. GERHOLT: No objection.

23 CHAIRMAN BAILEY: Then they are admitted.

24 (Smith Exhibit 2 was admitted, as amended.)

25 MR. ALVIDREZ: Thank you.

1 Q. (By Mr. Alvidrez) With regard to the Linam
2 plant, have there been operational difficulties
3 associated with the acid gas injection well? Apart from
4 what we've been talking about today, have there been
5 other issues with the operation of the AGI Number 1?

6 A. It's like anything else. Through the process,
7 there's multiple -- there's transmitters, there's
8 thermocouples, there's a ton of wire. I wouldn't say
9 anything out of the ordinary.

10 You know, the temperature control issue that
11 we've already discussed, there is some programming that
12 we have corrected and that you find through some of these
13 investigations, whether they be internally or third
14 party, that we correct.

15 Q. We have talked about some of the operational
16 parameters that are being recorded. Temperature and
17 pressure are a couple of the ones that received the most
18 attention in this hearing. And there's been some
19 discussion about whether it's appropriate to have DCP
20 submit monthly reports to the Division with respect to
21 some of these operational parameters.

22 But let me ask, in terms of the data that's
23 collected in these operational parameters, is there
24 anyone whose job it is, aside from Mr. Gutierrez, present
25 to review the data and try and analyze how the system is

1 operating?

2 A. Yes, sir.

3 Q. Who is that?

4 A. Jonas Figueroa looks at that data, as well.

5 Q. Who is Mr. Figueroa?

6 A. An engineer.

7 Q. Is he at the Linam plant?

8 A. He's out of the Midland office.

9 Q. What are the parameters that you're monitoring
10 right now relative to the issues that we've been talking
11 about and the efforts to try and decrease the chances for
12 corrosion in the tubing?

13 A. We look at injection pressure, annular or back
14 side pressure, injection temperature and flow rate.

15 Q. I take it this is data that's logged and
16 maintained, and it's not particularly burdensome to
17 package up this data and send it in once a month to the
18 Division?

19 A. It is. It takes about six hours to download
20 that. As I mentioned earlier, out of the historian, we
21 have to go in there and download that, and that's placed
22 into a spreadsheet. We do that on a weekly basis, review
23 that, which we did from January until the well workover.

24 Now we still continue to gather that data
25 internally. I see that data on a weekly basis, and my

1 I&E tech, and then that's shipped to Jonas Figueroa. And
2 on a monthly basis, it comes back to Mr. Gutierrez. So
3 internally, we look at that.

4 Q. Did you go back and look at any of the
5 historical data from plant operations up until the time
6 the plant failed the test in December of 2011?

7 A. Yes, we did.

8 Q. I'm talking about you, personally.

9 A. No. At that time, that was about the time I
10 got down there, around that MIT.

11 Q. So perfect timing?

12 A. So we relied -- I was involved in some of the
13 discussions with Mr. Gutierrez, as well as internally
14 with Mr. Jamerson and Mr. Figueroa.

15 Q. With regard to the April workover that took
16 place on the AGI Number 1, were with you involved in
17 that?

18 A. At that time, Mr. Jamerson was the person that
19 was overseeing that well work for DCP Midstream.

20 Q. Were you primarily working at the plant?

21 A. I was at the plant, yes.

22 Q. In terms of the period of time before the
23 workover and while the plant was operating, what were the
24 pressures that were typically being injected into AGI
25 Number 1?

1 A. You know, depending on the volume, anywhere
2 from 1,000 to 12-, 1,400. They fluctuated.

3 Q. And after the workover, what are the typical
4 operating injection pressure?

5 A. The typical injection pressure right now runs
6 about 1,450 to 1,500 pounds.

7 Q. Did you have any notice or involvement of the
8 release of acid gas that happened in April, during the
9 workover?

10 A. Correct. After that release, I was at the
11 site. That afternoon is when Mr. Jamerson come and said
12 that they had a burp and the wind up, putting the
13 temporary flare out.

14 Q. In terms -- well, what I was trying to find
15 out is, were you at the well site when that happened, or
16 were you off at the plant?

17 A. No. I was at the plant.

18 Q. Did you undertake any efforts to notify the
19 Smiths that you were working on this well and there might
20 be a potential for release of acid gas?

21 A. No, I personally did not.

22 Q. Do you know whether DCP took any actions to
23 notify them?

24 A. I don't know. Like I said, Mr. Jamerson was
25 in charge of that well workover at that time, and I'm

1 not -- I don't know whether he did or not, sir.

2 Q. Were you the one that raised the issue about
3 the proposed original location for the AGI Number 2 well
4 being downwind from the existing well?

5 A. Correct.

6 Q. In terms of where the Smiths' property is
7 located and their related buildings, is that also
8 downwind from the well, the prevailing winds?

9 A. No. The Smiths' barn and trailer are back to
10 the west and north of the existing AGI Well Number 1.

11 Q. Does DCP keep any record about when people
12 call in about concerns about plant operations or well
13 operations?

14 A. Yes, sir.

15 Q. Do you know whether the numbers that DCP has
16 put out for notification purposes, whether those numbers
17 -- telephone numbers I'm talking about -- whether those
18 are still operational?

19 A. The numbers for control rooms and offices are
20 still operational, yes, sir.

21 Q. With regard to these flare events that occur,
22 are there any liquids that are flared off along with the
23 gas?

24 A. No.

25 Q. Do you utilize a personal H2S monitor?

1 A. Yes.

2 Q. You keep one with you while you're at the
3 plant?

4 A. Yes, sir.

5 Q. Is that something that's required of all
6 personnel?

7 A. Yes, sir.

8 Q. Do you also have, I guess, portable
9 instrumentation that can take readings of H2S levels?

10 A. Yes, sir.

11 MR. ALVIDREZ: Thank you very much.

12 CHAIRMAN BAILEY: Commissioner Warnell, do
13 you have any questions?

14 COMMISSIONER WARNELL: I do.

15 EXAMINATION

16 BY COMMISSIONER WARNELL:

17 Q. The pipeline that goes from the plant to the
18 well site --

19 A. Yes, sir.

20 Q. -- is that a north/south?

21 A. It's north/south. And right before it gets to
22 the facility, it makes a dog leg back in the northwestern
23 direction into the perimeter of the AGI well site.

24 Q. Okay. Would I be able to see that on Google
25 Earth, do you think?

1 A. Yes, sir.

2 Q. The SRU -- I'm curious. The capacity of the
3 SRU when it was operational, was it able to handle as
4 much acid gas as the existing Number 1 well?

5 A. Probably through that -- my recollection is
6 that it was about five, five and a half million, is what
7 the design of that SRU was.

8 Q. It was kind of more or less the same?

9 A. Correct.

10 Q. I just wanted to clarify. You were flaring an
11 acid gas stream in the third quarter of 2012?

12 A. Correct. There has been periodically.

13 Q. And it was pointed out that the violations
14 that were cited were personnel errors?

15 A. Correct.

16 Q. You mentioned that there's more training being
17 put in place?

18 A. Correct.

19 Q. Who's handling that training? Who does that?

20 A. We have a training department in Southern New
21 Mexico that is focusing on that. There's a lot of
22 different options. We've brought individuals in when we
23 find something that -- you know, that we uncovered
24 through one of these investigations, whether it be a
25 third party to train around calibration, temperature

1 controls, operation of lubricators, programming VFDs.
2 There's just a multitude -- these facilities are complex,
3 so there's just a multitude of these things that we could
4 relate to when you talk about training.

5 Q. The plant itself -- and I refer to it as the
6 well site. Do you call it a well site, the perimeter
7 that's around the well, as it exists today?

8 A. That's the AGI well site.

9 Q. What kind of personnel are down at the plant,
10 number-wise, at any given time, versus at the AGI well
11 site?

12 A. There are two people on shift at the Linam
13 Ranch facility in a 24-hour period. One thing that we
14 have evaluated, and we just recently hired an increased
15 head count, is to go to a three-man shift for better
16 coverage around the Linam Ranch and the AGI well site.

17 Q. At the plant, there's how many people there
18 right now?

19 A. There's two operators.

20 Q. Normally, you would be there? Is that where
21 you spend the bulk of your day?

22 A. Correct, whether it be there or the AGI. Now,
23 if you're talking about occupation, our I&Es office out
24 of the Linam Ranch plant. Our mechanics office out of
25 there. Our field operators office out of there. Some of

1 our engineering and support staff operate out of that
2 office, as well.

3 Q. Up at the well site, is there anybody there
4 right now?

5 A. It depends if they're making their rounds at
6 5:30.

7 Q. There isn't like an office there?

8 A. No, there is no office. There's nothing
9 occupied at the well site.

10 COMMISSIONER WARNELL: Thank you. That's
11 all I have.

12 CHAIRMAN BAILEY: Commissioner Balch?

13 THE COURT REPORTER: Can I take a brief
14 break?

15 CHAIRMAN BAILEY: Yes. We'll take a
16 10-minute break.

17 (A recess was taken.)

18 CHAIRMAN BAILEY: Back on the record.

19 Dr. Balch?

20 EXAMINATION

21 BY COMMISSIONER BALCH:

22 Q. Good afternoon, Mr. Boatenhamer.

23 Plant operators, for clarification, that's the
24 person that sits with the control panels, watches things
25 for alarms or reacts to things or makes little

1 adjustments to the process?

2 A. Correct, it can be. Or they can be out in the
3 facility, as well.

4 Q. I keep going back to temperature, because
5 Mr. Gutierrez indicated it was a very sensitive part of
6 the process.

7 I want to talk a little bit about the
8 temperature of the gas that's coming in versus the
9 temperature that's coming out. Is the temperature of the
10 TAG related to the process or related to what's coming
11 in?

12 A. The temperature of the TAG is -- going into
13 the well, where we had the temperature issues, is related
14 to the compression. There's four stages of compression.
15 So specific to that, that's where that is.

16 Q. The outlet for the plant and the pipeline from
17 the plant to the AGI site, that temperature is less
18 relevant than the compression process?

19 A. Correct.

20 Q. That's what produces your temperature?

21 A. Correct.

22 Q. I believe Mr. Gutierrez indicated that that
23 pipeline from the compressor to the wellhead was
24 insulated?

25 A. Correct, from the AGI well compressor.

1 Q. Where does the variability in temperature come
2 in from the compressor? Is that through a throughput?

3 A. Through your different phases, through your
4 four stages of compression.

5 Q. If you're running less gas or more gas, that
6 can cause a temperature variation over time?

7 A. Correct, and through the complex cooler box
8 that each one of those stages go through in cooling.

9 Q. So really, the only variability is the amount
10 of TAG that's going through the compressors and then the
11 amount of cooling that's needed to get it to the right
12 temperature?

13 A. Correct.

14 Q. That's fairly well insulated from the outside
15 environment? If it's 10 degree at night or 100 degrees
16 degree in the day --

17 A. You still have ambient temperature effects,
18 even though it's insulated. The insulation is 3 to 4
19 inches thick, covered in metal insulation. But the
20 ambient temperature can still affect that around that
21 200-, 250-foot distance there from the discharge of the
22 acid gas compressor to the wellhead.

23 Q. So what's the kind of average temperature
24 coming out of the compressor? How much cooling do you
25 have to apply to the gas?

1 A. There again, it depends on the flow rate. The
2 average, depending on the controls of the louvers and the
3 VFD, you're coming out of the fourth stage at 157
4 degrees, I believe. I think.

5 Q. And your target is 115, 120?

6 A. 115 to 125.

7 Q. As low as -- I think 100 would be okay?

8 A. We get -- you know, when you get down below
9 100, we start getting concerned.

10 Q. That's where condensation comes in?

11 A. Yes.

12 Q. The temperature control is all automated?
13 It's not part of the control process for the Linam plant?

14 A. Correct.

15 Q. That can be remotely controlled and
16 dynamically change louvers and all that stuff to
17 adjust --

18 A. Correct. On that specific, you have to be at
19 the well site. You can monitor that data from the
20 control room, but you can't change those parameters from
21 the DCS.

22 Q. What's the reaction time for -- say your
23 temperature drops to 90. How fast can someone go and
24 adjust the louvers?

25 A. It's about five minutes over there.

1 Q. Is that something that a plant operator would
2 do, or would you call a mechanic?

3 A. What would happen in that situation, if you
4 see that drop in temperature, the inside plant operator
5 that's on the control board would make that call to the
6 operator out in the facility. "Hey, your temperature,
7 your acid gas temperature, is 90 degrees. We need to go
8 take a look at it."

9 He would go to the well site and take a look
10 at it. They monitor those on their rounds, when they
11 make their rounds to the well site. You know, depending
12 on everything that's going on, they make at least three
13 to four rounds a day per shift through that well site.

14 Q. So you've got someone there actually every two
15 hours or so?

16 A. Give or take. That could -- something in the
17 facility -- you know, there's many processes in the
18 natural gas process. If they got tied up with another
19 issue at the plant, it may not be right at two hours when
20 they got back over there, as long as the inside operator
21 is monitoring the parameters and can see that at all
22 times.

23 Q. We were talking about data availability. There
24 were some questions about how far back you can go. You
25 indicated that you had a change through your DCP system

1 that caused a loss of about five or six months' worth of
2 data. Is that data actually lost, or just not
3 processable through your current system?

4 A. I think the data that we have on our four-hour
5 reports, which is some of that that we take anyway, is
6 they would be able to retain what they did when the
7 distributive control center -- when they upgraded that.

8 The third party involved in upgrading that had
9 a malfunction and lost data, actually, I'd say, back to
10 2009. Data probably all the way back to 2003 or so, the
11 historian keeps that.

12 Q. In response to that, have you changed your
13 archival system at all? Do you have on-site backup or
14 off-site backup?

15 A. We have several different options now. We run
16 two local external hard drives that download that. And
17 then the third-party company that services that DCS
18 system has access to get in and download that and keep
19 that data, as well.

20 Q. So it's very unlikely you would lose data like
21 that again?

22 A. Correct.

23 Q. Before we go down to the penalty question, do
24 you think that the AGI Number 2 or a redundant well there
25 would reduce air quality related penalties, or there --

1 A. I do.

2 Q. -- would be less of a chance?

3 A. What it would do is we would be -- as we had
4 the issue with AGI Number 1, even in that planned,
5 controlled environment to take that facility down, it
6 takes a lot of individuals involved in getting that gas
7 off the system systematically.

8 So if we had that, you wouldn't have that
9 24-hour period of maybe intermittent or up or down, maybe
10 where somebody didn't respond to get gas off the system.
11 The flares are a protection device, you know, so that's
12 what you would do in that circumstance. So from that
13 standpoint, yes, it would reduce emissions.

14 Q. For an unexpected shutdown -- I think it was
15 mentioned you have a thousand wells coming into your
16 system?

17 A. Correct.

18 Q. Does that require someone to go to each one of
19 those well sites and shut off a valve?

20 A. Yes, sir.

21 Q. How much response time do they have?

22 A. Historically, in an unplanned event, we've
23 seen up to taking 72 hours to get those wells off the
24 system.

25 Q. What happens if your plant stops taking gas

1 and there's a delay before they shut off their well?

2 A. If we quit taking gas and the producers
3 haven't responded by shutting that gas in, you've got
4 several issues, safety, environmental issues. You have
5 the possibility of overpressuring pipes, pipe ruptures.
6 You could have a liquid release. If that gas is sour
7 gas, you could have an H2S release. There's just a
8 number of things associated with that. Vents and flares
9 in an uncontrolled environment across the counties,
10 mainly in Eddy and Lea County.

11 Q. Operators don't like to shut in their wells,
12 either?

13 A. No, sir.

14 Q. That can damage --

15 A. That can damage their wells. A lot of times
16 some of them will water them in, and they have to come
17 back and --

18 Q. So you've worked at a couple of these plants?

19 A. Yes, sir.

20 Q. Normally, there's some sort of redundancy in
21 most steps of the process?

22 A. Correct.

23 Q. You have plants in Artesia and Hobbs, as well?

24 A. We do have a facility --

25 Q. Eunice?

1 A. Eunice, Artesia. The Hobbs plant is in the
2 same vicinity.

3 Q. They have a redundancy system for dealing with
4 the TAG?

5 A. Hobbs plant is a sweet gas facility.

6 Q. They just vent the CO2?

7 A. There is no treating at Hobbs. It's a sweet
8 gas facility.

9 Q. No CO2 --

10 A. No CO2 or H2S.

11 Q. -- or H2S? What about the other plants?

12 A. The Eunice plant has no redundancy. We still
13 operate an SRU at that facility.

14 Q. No injection, just SRU?

15 A. Yes, sir.

16 Q. Penalties, you said these were quarterly.
17 They compile these quarterly and send you a bill?

18 A. Correct. We do -- through the settlement
19 agreement that we entered into in 2008, there's a lengthy
20 process through that. We investigate every flared event,
21 whether it's -- you know, to better serve, to try to
22 reduce those. You know, to get a better understanding.

23 We found a lot of things where we can do
24 better. And we found things where -- maybe force
25 majeure, third-party situations, that will help. We all

1 learned from that. And the main purpose of that is to
2 reduce the emissions and to increase the safety.

3 Q. So on a quarterly basis -- I know that only
4 the Linam Ranch was put into evidence, but each facility
5 will have a record of violations that result in a
6 penalty?

7 A. Correct.

8 Q. Is this like a typical quarter, a bad quarter?

9 A. If you look at that exhibit there, that's a
10 bad quarter. You have two events there that are over
11 \$10,000 apiece. Through the settlement agreement,
12 depending on the amount of the volume flared and the
13 tonnage it comes out to is where the agreement solidifies
14 what that penalty will be.

15 If you'll notice, there's one there for
16 \$1,000. There's also one for \$4,500. So all those
17 requirements are in the settlement agreement.

18 Q. These are errors by plant personnel that
19 result in an emission?

20 A. Correct.

21 Q. Was that the cause of the violation?

22 A. Correct. When we look at that, we err on the
23 side -- if there's something borderline, a mechanical
24 failure possibly, DCP is going to err on the side of
25 their operator before that in going through some of those

1 investigations.

2 Q. What would be a typical error by a plant
3 personnel that would lead to a release? What's the most
4 common thing?

5 A. I think, given in that exhibit, there's one
6 there were we had air in the lubrication system for the
7 AGI compressor.

8 Q. You had to shut down the compressor?

9 A. What happens is you don't get lubrication to
10 your compressor cylinders. That's a safety device to
11 keep from tearing up equipment to shut that down.

12 I think, looking and reviewing that, they had
13 bled the air down on that one and thought they had it.
14 They started it back up and turned around, and it still
15 had some more air in it, and they shut it down at that
16 time.

17 Q. These are things that you log at your plant
18 and report, and someone comes by and looks at those
19 reports on a quarterly basis?

20 A. Yes. It's self-reporting. Through the
21 settlement agreement, from the date of initiation,
22 depending on the pounds, anything under 500 pounds on an
23 event is investigated through a third party, and we have
24 15 days to submit that report to the NMED.

25 Anything over 500 pounds is investigated

1 internally, and we have 30 days to send that report to
2 the NMED. There's also stipulated penalties if you
3 exceed the requirements in that settlement agreement as
4 well.

5 Q. Thank you.

6 A. We're very prudent about doing those.

7 Q. In a typical quarter, what would be an average
8 number of violations?

9 A. I've seen a quarter where we haven't had any
10 violations. I've seen a quarter where we have seven or
11 eight violations. It just depends.

12 Probably going back and looking at the average
13 of it, you might have two, maybe three, on average.

14 Q. So this was for the third quarter of 2012. Do
15 you recall how many were in the second quarter?

16 A. Not right off the top of my head, I don't.

17 COMMISSIONER BALCH: Those are my
18 questions. Thank you very much.

19 THE WITNESS: Thank you.

20 EXAMINATION

21 BY CHAIRMAN BAILEY:

22 Q. You said there were two operators or three at
23 the Linam plant?

24 A. There's two operators on shift at any given
25 time, yes, Madam Chair.

1 Q. Which means that you all have 12-hour shifts?

2 A. Yes. Normal operations is 12-hour shifts,
3 seven days on and seven days off. 5:30 to 5:30 we make
4 shift change.

5 Q. And so possibly you'll have a third coming on,
6 and that would give you eight-hour shifts?

7 A. No. We'll put three people on shift. We will
8 still remain on 12-hour shifts and a seven day on/seven
9 day off schedule, but there will be three individuals on
10 at any 24-hour period.

11 Q. I'm following up on the lead that phone calls
12 have been made to the plant, but no one answered the
13 phone. Do those phone calls go to the two operators?

14 A. Depending on what number is called. The
15 control room has an operator in there 24 hours a day,
16 seven days a week. Very seldom -- you know, he may step
17 back to the back to look at another panel, but there will
18 be a missed call on the screen. There's answering
19 machines. There's the whole thing there.

20 So the primary number for the control room,
21 there's actually three numbers for the control room. Now
22 there's a main number for the front office, which is
23 manned Monday through Friday from 7:00 to 3:30.

24 Q. If someone tries to call that number instead,
25 they're not going to get a response if they're calling at

1 4:30 in the afternoon?

2 A. If they call at 4:30 in the afternoon, Madam
3 Chair, that rolls over to the answering service. Then
4 the answering service turns around and will contact --
5 address that call, you know, for whoever may be calling.

6 There's a call list of people who have areas
7 of responsibility that is published every Friday. It has
8 all the areas of responsibility across the whole
9 operations of Southeastern New Mexico, from operational
10 personnel to support staff, whether it be environmental,
11 safety, right-of-way or whatever. So that's how that's
12 handled.

13 Q. When or if the second well is drilled, will
14 there be an additional line from the plant to that second
15 well, or will the existing line that's servicing that
16 first AGI Number 1 be used for the entire amount of TAG?

17 A. The design now is utilizing the existing line
18 from the Linam Ranch plant to the existing AGI well.
19 That was one reason to move that well, because the way
20 that was laid out benefited the connections coming into
21 that facility if we were granted the option of AGI Number
22 2.

23 Q. So a line to AGI Number 2 would be a branch
24 off of the existing line?

25 A. Correct.

1 Q. How old is the Linam plant?

2 A. 1953 is what some of the records date back to.

3 Q. It's about 60 years old?

4 A. Correct.

5 Q. Are any of the underground pipes ever pressure
6 tested for leaks?

7 A. At some times in our mechanical integrity
8 program, they are. As we have expanded over the years, a
9 bunch of that has been brought above ground to get away
10 from having pipes underground. It's just a more prudent
11 way to complete your inspections, where you're not having
12 to dig nothing up. You eliminate some of the corrosion
13 possibilities for corrosion with buried pipeline.

14 Q. Which brings up the question of the line from
15 the plant to the AGI Number 1, that you have no plans to
16 include that in the mechanical integrity program?

17 A. The line from the plant to the Linam AGI
18 Number 1 is constructed very similar, kind of on the same
19 concept as that acid gas injection well itself.

20 It is a steel pipeline with a poly-type liner
21 that is corrosion inhibiting. It is encased with a
22 larger diameter of pipe with an inert gas, nitrogen, in
23 between the casing and the outer wall of the transport --
24 what I would call the transportation line. And the
25 pressures between those, that inert gas, is -- we monitor

1 that for any mechanical integrity around the
2 transportation of that line from the facility, the Linam
3 Ranch facility, to the AGI well site.

4 Q. Do you have annual plant shutdowns in April,
5 as you did last year, for --

6 A. No. Typically, what we try to do around the
7 maintenance schedule is two to three years. This past
8 April had been planned for some time for the expansion
9 around Linam Ranch. But typically, we try to go two to
10 three years, looking at pushing back.

11 Along with that, there's numerous mechanical
12 integrity programs that dictate that two- to three-year
13 period. There's been times through those processes when
14 we may have -- something may have surfaced where maybe
15 we're only looking at a year or 16, 17 months.

16 Q. But if the Number 2 well is approved, you
17 don't have a scheduled shutdown which would interfere
18 between now and that well being put on line?

19 A. Correct. We don't have a scheduled shut down
20 at this time.

21 I think -- and maybe that would be a question
22 for Mr. Torrico, about physically tying that in. That
23 was one reason we looked at the location. We had less
24 pipe and different variations there to minimize the
25 amount of tie-ins that would be needed to get Acid Gas

1 Number 2 in service.

2 Q. And down time involved?

3 A. Correct.

4 CHAIRMAN BAILEY: Those are all the
5 questions I have.

6 Do you have something else?

7 COMMISSIONER BALCH: I have follow-up.

8 FURTHER EXAMINATION

9 BY COMMISSIONER BALCH:

10 Q. I just want to be clear in my own mind. The
11 proposed AGI 2 would have its own compression and heat
12 control apparatus, or would it go off of the existing
13 compressor at AGI Number 1?

14 A. It would go off of the same controls. You
15 would be utilizing the same compressor.

16 Q. So you would have a compressor, your
17 temperature control, and then you would have a line split
18 from AGI Number 1 to AGI Number 2?

19 A. Correct.

20 COMMISSIONER BALCH: Okay.

21 CHAIRMAN BAILEY: Do you have any
22 redirect?

23 MR. RANKIN: Madam Chair, I have a couple
24 of questions to make clear a couple of points, if I
25 might.

REDIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. RANKIN:

Q. Mr. Boatenhamer, did any of the stipulated penalties identified in Exhibit 2 arise as the result of an H2S release of any kind?

A. No.

Q. Do any of these stipulated penalties referenced in Exhibit 2 have anything to do at all with the operation of the well itself?

A. No, sir.

Q. Can you briefly explain for the Commissioners when a flare might occur at the well, versus the plant site?

A. The way it's designed is off of a pressure control. Through the process, the amine sweetening process, your total acid gas is removed through the amine process. It goes through a closed-loop amine surface process, where we regenerate what we call rich amine. Then we make it back into lean amine to go back through the sweetening process. The by-product is acid gas. At the end, there's a pressure control valve upstream of the compression at Linam Ranch, as well.

If the well site goes down, the pressure control valve at the Linam Ranch facility opens up, and you flare the acid gas at the Linam Ranch facility. What

1 happens at the well site, as far as a flared event, is
2 what would be considered maintenance, startup and
3 shutdown events.

4 The fourth stage of that compressor is 14- to
5 1,500 pounds that's permissible on the PLC, programmable
6 logic control. Upon restart, that fourth stage pressure
7 has to be down to 50 pounds, which is a safety issue.

8 So therefore, that fourth stage compressor is
9 bled from 1,450 pounds down to 50 pounds before the
10 restart of the compressor. And that's the only thing --
11 that is one scenario that you would have any flaring at
12 the well site.

13 The AGI well workover, you know, not only did
14 we work that well over, but we took that opportunity to
15 complete some integrity around the vessels, piping and
16 that kind of stuff. So those had to be vented down.
17 That would be vented through there.

18 If you had overpressure, you know, PSV or
19 something possibly that went off over there, it would go
20 to that acid gas flare. Outside of that, it's very
21 minimal of what's flared at the acid gas well site.

22 Q. Another question I want to clarify a little
23 bit: The requirements under the settlement agreement
24 with the NMED. When the Linam plant has an emissions
25 event, is each event evaluated separately?

1 A. Correct. Total and separate investigations.

2 Q. It's whether or not one of those four factors
3 caused the event that you identified; is that correct?

4 A. Correct.

5 Q. And the only time DCP pays a stipulated
6 penalty is when it's an operator error; is that correct?

7 A. Correct.

8 Q. Thank you very much. That's all for that
9 issue.

10 I wanted to follow up real quickly on the
11 monitors, the H2S monitors on the site. During the April
12 workover event, there was -- can you explain what
13 monitors were in place during the time of that workover?

14 A. As Mr. Gutierrez explained earlier, Total
15 Safety was the contract company, third-party company,
16 that was in charge of the safety. Very similar to what
17 you would do at a well workover drilling a new well,
18 temporary H2S monitors were located at strategic areas
19 around the facility. So for the well workover, that's
20 the monitors.

21 Q. And the monitors were Total Safety had well
22 workover monitors near the location of the workover; is
23 that correct?

24 A. Correct.

25 Q. And there were also monitors on the perimeter,

1 just inside the fence line?

2 A. Correct. You have the fixed monitors at the
3 facility.

4 Q. So the monitors that were triggered by the
5 bubble that came through were the workover monitors near
6 the workover site?

7 A. Correct.

8 Q. And then you also, in preparation for this
9 hearing, did a review, did you not, of all the perimeter
10 monitors going back in time?

11 A. Correct.

12 Q. Did you identify an emission event that would
13 have triggered the contingency plan on the perimeter
14 monitor?

15 A. I did not identify anything.

16 Q. So the release was triggered by the monitor at
17 the workover site itself. But to your knowledge, nothing
18 exceeded the perimeter of the fence line that would have
19 required DCP to initiate the contingency plan; is that
20 correct?

21 A. That's correct.

22 Q. But DCP contacted the OCD to notify them of
23 the bubble anyway; is that correct?

24 A. That's correct.

25 Q. Is DCP required to notify neighbors under the

1 contingency plan or under Rule 11 if it's going to begin
2 to do work on a workover? Is there any requirement for
3 you to notify anybody in advance that you are doing a
4 workover?

5 A. Not being familiar with the well workover
6 contingency plan, I don't get called.

7 Q. If one of the perimeter monitors is triggered
8 at a level that requires notification, DCP would have
9 notified them; is that correct?

10 A. Correct.

11 MR. RANKIN: I have no other questions,
12 Madam Chair.

13 CHAIRMAN BAILEY: All right. Then you may
14 be excused.

15 It is quitting time. We'll have to reconvene
16 tomorrow morning at 9:00.

17 You have no other witnesses, do you?

18 MR. RANKIN: No other witnesses, Madam
19 Chair.

20 CHAIRMAN BAILEY: Then we will begin with
21 Ms. Gerholt's witnesses.

22 MS. GERHOLT: Very good.

23 CHAIRMAN BAILEY: Okay. Then we will see
24 you tomorrow morning at 9:00.

25 (The hearing was adjourned at 4:45 p.m.)


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO
HEREBY CERTIFY that on December 20, 2012, proceedings in
the above captioned case were taken before me and that I
did report in stenographic shorthand the proceedings set
forth herein, and the foregoing pages are a true and
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by
nor related to nor contracted with any of the parties or
attorneys in this case and that I have no interest
whatsoever in the final disposition of this case in any
court.

WITNESS MY HAND this 2nd day of January, 2013.


Jacqueline R. Lujan, CCR #91
Expires: 12/31/2013