

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

ORIGINAL

APPLICATION OF DWIGHT A. TIPTON FOR
APPROVAL OF A PRESSURE MAINTENANCE PROJECT
IN LEA COUNTY, NEW MEXICO

Case 14917

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

RECEIVED
NOV 29 11 41 AM '12

BEFORE: RICHARD EZEANYIM, Presiding Examiner
DAVID K. BROOKS, Legal Examiner

November 29, 2012
Santa Fe, New Mexico

This matter came on for hearing before the
New Mexico Oil Conservation Division, RICHARD EZEANYIM,
Presiding Examiner, and DAVID K. BROOKS, Legal Examiner,
on Thursday, November 29, 2012, at the New Mexico Energy,
Minerals and Natural Resources Department, 1220 South St.
Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91
Paul Baca Professional Court Reporters
500 Fourth Street, N.W., Suite 105
Albuquerque, NM 87103 505-843-9241

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE APPLICANT:

PADILLA LAW FIRM, P.A.
ERNEST L. PADILLA, ESQ.
1512 S. St. Francis Drive
Santa Fe, New Mexico 87505
(505)988-7577

WITNESSES: PAGE

John Maxey:

Direct examination by Mr. Padilla 4
Examination by Examiner Ezeanyim 16

INDEX PAGE

EXHIBITS 1 THROUGH 8 WERE ADMITTED 16

REPORTER'S CERTIFICATE 41

1 EXAMINER EZEANYIM: We will now go back to
2 page 3 and continue the -- I mean page 2. We are back to
3 page 2.

4 At this point, I call Case Number 14917. This
5 case was continued from November 1. This is the
6 application of Dwight A. Tipton for approval of a
7 pressure maintenance project in Lea County, New Mexico.
8 Call for appearances.

9 MR. PADILLA: Mr. Examiner, my name is
10 Ernest L. Padilla, for the applicant in this case. I
11 have one witness to be sworn.

12 EXAMINER EZEANYIM: Any other appearances?

13 May the witness stand up, state your name and
14 be sworn, please?

15 MR. MAXEY: My name is John Maxey.

16 (One witness was sworn.)

17 MR. PADILLA: Mr. Examiner, this
18 application was originally brought as a saltwater
19 disposal well. But because the disposal interval was the
20 same as the producing interval, we had to change the
21 application from a saltwater disposal to pressure
22 maintenance, in accordance with the OCD's policies, so we
23 will present the pressure maintenance portion of the
24 case.

25 There have been no objections by any of the

1 affected interest owners or operators surrounding the
2 injection well. So with that, we'll proceed with our
3 case.

4 JOHN MAXEY

5 Having been first duly sworn, testified as follows:

6 DIRECT EXAMINATION

7 BY MR. PADILLA:

8 Q. Mr. Maxey, would you state your name, please?

9 A. John C. Maxey.

10 Q. Where do you live?

11 A. Roswell, New Mexico.

12 Q. And what do you do for a living?

13 A. I am a consulting petroleum engineer, and I'm
14 registered in the State of New Mexico.

15 Q. Mr. Maxey, have you previously testified
16 before the Oil Conservation Division and had your
17 credentials accepted as matter of record as a petroleum
18 engineer?

19 A. Yes, I have.

20 Q. When was the last time you testified before
21 the OCD?

22 A. Approximately four years ago.

23 Q. Would you briefly give us your educational
24 background and work experience to refresh the Examiner's
25 acquaintance with you?

1 A. I graduated from Oklahoma State University in
2 Petroleum Engineering 1980. I went to work for Chevron
3 USA as a drilling representative. I worked in Chevron's
4 drilling department for approximately two years.

5 I then went to -- transferred jobs, went to
6 Mesa Petroleum, worked as a drilling representative for
7 about a year and then was moved to the Amarillo Corporate
8 Office, brought into the office as a production engineer.
9 I managed the main continent division, which was
10 Oklahoma, up through the Rockies, all the way to Montana.

11 From there I went to a small start-up company
12 called Foran Oil Company, which was a predecessor to
13 Matador Resources. It grew from about a \$5 million to a
14 \$480 million company. That was sold to Tom Brown. And
15 from there, I went to work for Read & Stevens as a
16 petroleum engineer/operations manager. And I worked
17 there for about 15 years and then was made president of
18 the company. I was president for approximately seven
19 years.

20 And then I went out on my own as a consulting
21 engineer about a year and a half ago, March of two years
22 ago.

23 Q. Mr. Maxey, have you made a study of the
24 application in terms of pressure maintenance?

25 A. Yes, I have.

1 MR. PADILLA: Mr. Examiner, we tender
2 Mr. Maxey as an expert petroleum engineer.

3 EXAMINER EZEANYIM: Mr. Maxey is so
4 qualified.

5 Q. (By Mr. Padilla) Mr. Maxey, let's just turn
6 to Exhibit Number 1, and tell us what it is and what it
7 contains.

8 A. Exhibit Number is -- the first page is the
9 Administrative Application Checklist, and the second page
10 is the C-108 Application for Authority to Inject.

11 As you stated, this was done administratively,
12 and there was no objection from offset owners. However,
13 they would like to dispose of their produced water into
14 the existing San Andres producing zone. Therefore, it
15 falls under the pressure maintenance -- at least the
16 OCD's guidelines for pressure maintenance.

17 The C-108 is the application. Attached to
18 that is a map showing the one-mile diameter area of
19 review, which was used for the C-108. The sheet after
20 that is the Injection Well Data Sheet. The actual well
21 that is proposed for injection is the Sunray A Number 1.

22 Beyond the Injection Well Data Sheet is the
23 attachments to the C-108, answering the questions of the
24 cover sheet for the OCD. And beyond that is the list of
25 wells in the area of review, with the schematics of the

1 area of wells in the area of review.

2 Q. Mr. Maxey, in your review or compilation of
3 the various wells, did you find any problems in terms of
4 cement or any of that sort of thing that would affect
5 pressure maintenance?

6 A. No. It appeared, from my examination of this
7 information, that the cement was across all perforated
8 intervals, and the proposed injection zone has integrity
9 isolation from any other zones in the wellbore.

10 Q. Can you tell the Examiner, in terms of
11 pressure maintenance, what's being accomplished here
12 insofar as a comparison, say, to saltwater disposal, and
13 the change from saltwater disposal to pressure
14 maintenance?

15 A. Mr. Examiner, this was originally a saltwater
16 disposal application, and it's brought back under hearing
17 as a pressure maintenance project. It really falls more
18 under a saltwater disposal.

19 There are six wells in the area of review. Of
20 the six, three are operated by Dwight Tipton, who I
21 represent; three are operated by Legacy. Legacy has no
22 problem with Mr. Tipton's application, as long as he is
23 injecting his produced water from the three wells on
24 lease and not bringing any water off lease.

25 Basically, I looked at this to see -- in terms

1 of pressure maintenance, the one thing I can just point
2 out to you is they produce approximately 250 barrels of
3 total fluid a day. Mr. Tipton produces approximately 38
4 barrels of total fluid a day. He wants to re-inject 30
5 barrels of fluid a day. So in terms of pressure
6 maintenance, it's not a really big project. It's
7 basically a disposal on lease.

8 Q. Will there be some point where injection is
9 going to enhance production from the wells?

10 A. With the 30 barrels a day that Mr. Tipton
11 would like to dispose of, he should be able to build some
12 kind of a bank. And there are three offset wells.
13 Hopefully, they'll see a response in those wells.
14 They'll see some oil production, as well as primarily
15 what he's looking for is economic relief from trucking
16 the water off lease.

17 Q. How would that affect waste, in terms of
18 having to truck off water?

19 A. The economics of installing an on-lease
20 disposal will extend the life of the producing wells and
21 provide more primary recovery in the Tipton wells. And
22 any increase in what you could call secondary recovery,
23 based on injection, will add to recovery, preventing
24 waste.

25 Q. How about the compatibility of the injected

1 water into the reservoir? Will that have any effect on
2 the production?

3 A. No.

4 Q. Same water?

5 A. Same water.

6 Q. Let's go on to what we've marked as Exhibit 2,
7 and tell us what that is.

8 A. Exhibit Number 2, I just wanted to provide you
9 with a locator map to show you where the focus of the
10 discussion is.

11 This is just a map that was an excerpt of an
12 article done by the Bureau of Mines in New Mexico,
13 showing a northwest shelf sand. There's a platform
14 carbonate play, of which the Lane San Andres is a part.

15 If you'll notice, the San Andres field is in
16 the northern part of Chaves and Lea Counties,
17 Mr. Examiner. These are fields that are mapped, with
18 better than one million barrels of recovered oil.

19 The Lane San Andres does not fall in that
20 group. They've produced, out of the six wells, about
21 400,000. So I placed a dot next to the Flying M San
22 Andres field and labeled that the Lane San Andres.
23 That's the field we're talking about. That's where we're
24 located in the southeast part of the state.

25 Q. Let's go to Exhibit 3. What is that?

1 A. Exhibit 3 I've narrowed down to the area of
2 review. The six wells -- six green dots on the map are
3 the producing San Andres wells. I've labeled each of the
4 wells with the operator. Three are Legacy; three are
5 Tipton, operated by Tipton.

6 This is basically a microcosm of the
7 structure. There's a few things on here. Basically the
8 sub C structures are labeled on each well. The depiction
9 of those contours are very close together, as far as what
10 the contours represent, minus 330 to minus 335 to minus
11 340, relatively very little structural change over the
12 area of review.

13 Also labeled on there is a cross-section from
14 A to A prime, and I believe that's the next exhibit. But
15 I wanted you to see that that's from the
16 southwestern-most well in the area of review to the
17 proposed injector in the center to the well on the
18 northernmost-part of the area of review.

19 Q. So any effect is primarily going to be seen on
20 the four wells west and north of the proposed injector;
21 is that right?

22 A. That's correct.

23 Q. Let's go on to Exhibit 4. What is that?

24 A. Exhibit 4 is the cross-section I just spoke
25 about. This is hung on the top of the San Andres

1 porosity, so this is a stratigraphic cross-section. And
2 you can see the San Andres porosity that develops right
3 below the black line that the logs were hung on.

4 The blue boxes are the perforated intervals.
5 One thing of interest that we can discuss a little later
6 is the Legacy Lane B Number 3, the left-most well. It
7 has some additional perforated intervals above the -- my
8 stratigraphic hanger. And this could be the source of
9 the extra water produced from Legacy, but I don't know
10 for sure.

11 The left-most wells are basically neutron
12 logs, not a lot of quantitative data. And the right-most
13 log is a neutron density, more modern log.

14 Q. If you'll go to Number 4?

15 A. Primarily the main pay section is the top of
16 the porosity.

17 Q. Go to Exhibit 5. What is that?

18 A. Exhibit 5, Tipton would like to dispose of
19 produced water in the perforated interval in the pay
20 section, which this is the proposed injector well. This
21 is a density-neutron log on the left, a dual laterolog,
22 with a microlog on the right.

23 I've labeled the proposed injection interval.
24 The current perforations that are open are the upper-most
25 gray box --

1 EXAMINER EZEANYIM: I'm trying to get at
2 Exhibit Number 5. Hold on. I need to look at it with
3 you.

4 Okay. I have it now.

5 A. It's a density neutron log on the left,
6 resistivity on the right. This is the actual proposed
7 injector, which is in the center of the area, the circle,
8 the one-mile-diameter circle.

9 The upper gray box is the existing
10 perforations which the well produced from. You'll see
11 the arrow from the description box drawn to those.

12 And then the lowermost, where the arrow goes
13 down to that larger interval, they would like to openhole
14 the wellbore below the current TD and add this interval
15 for disposal.

16 Q. Anything else on Exhibit 5?

17 A. I need to back up. I misstated -- this is not
18 the existing proposed. This is a deeper well within the
19 area of review that I had a log on. Excuse me.

20 The proposed well to inject into needs to be
21 deepened, and this log gives you a look at the section.
22 That's why I presented that.

23 Q. Exhibit 6, what does that show?

24 A. Exhibit 6, I divided the production into the
25 Legacy-operated production, which is three wells. And

1 the next exhibit will be the Tipton production, which is
2 the other three wells in the area of review. So we've
3 got two decline curves, basically.

4 On the Tipton reserves, you'll notice that
5 they produce approximately eight barrels of oil per day
6 and 219 barrels of water per day. That's 96 percent
7 water cut. This is all from San Andres production. They
8 have accumulated production of 223 barrels of oil from
9 those three wells.

10 Q. And the --

11 A. I also projected EURs out to 60 barrels a
12 month, which is two barrels a day. Estimated ultimate
13 recovery is 241,000 barrels of oil from those three
14 wells.

15 Q. Is this economic, in your opinion?

16 A. You know, these wells are probably -- I don't
17 know exactly how they're disposing water, but these are
18 very near or beyond an economic limit.

19 Q. How about Tipton Exhibit 7?

20 A. Exhibit 7 is the same type of exhibit. It's
21 for the Tipton producing wells. The main difference is
22 they also produce eight barrels of oil a day.

23 Now, you'll notice on my projection -- I've
24 gone back historically for the projection. On some of
25 the more recent production, you'll notice the well count,

1 which is the lowermost curve, has dropped off a little
2 bit. And his wells are intermittent because of the
3 economics of his wells. That's one reason he would like
4 to get a disposal.

5 So utilizing the -- well, those wells have
6 produced an accumulated production of 168,000 barrels of
7 oil. And utilizing this projection, down to 60 barrels a
8 month is an EUR of 186,000 barrels of oil. Tipton's
9 wells produce approximately a 79 percent water cut.

10 One of the things I wanted to point out was
11 Legacy does not have a problem with Mr. Tipton's
12 application. And just my own opinion is that, number
13 one, if they can get any bump in oil production from
14 injection, they're in favor of that. Number two, they're
15 not too concerned with the eventual water breakthrough if
16 he's injecting 30 barrels of water a day, because that's
17 only 14 percent of what they actually produce now.

18 So eventually, there will be a breakthrough of
19 fluid into both their wells and his wells. But injecting
20 14 percent of what they actually produce, a fraction of
21 that breaking through to their wells, they're not going
22 to notice very much. And that's why I don't believe
23 they're here today. I have not talked to them, but Mr.
24 Tipton has.

25 Q. Anything else on Exhibit 7?

1 A. No.

2 Q. Let's go to Exhibit 8. What is that?

3 A. I ran some economics. Currently it's about \$4
4 a barrel to dispose of produced water for Mr. Tipton.
5 Using about a 50 percent per barrel expense for disposing
6 on lease, at \$175,000 investment, based on those
7 projections that I had showed you earlier, with about a
8 15-year life, the net present value on this project,
9 discounted at 20 percent, is about \$3,000.

10 Basically the rate of return on the project is
11 about 21 percent. It's definitely over a hurdle rate of
12 return. It's a 3.3 to 1 rate of return on investment,
13 and it's paid out over four and a half years.

14 To me, this is a conservative look, because
15 there's no account for any increase in oil production,
16 based on any banking that's done from injected fluids.
17 So this is basically the economics on getting rid of
18 water on lease.

19 Q. Mr. Maxey, do you have an opinion as to
20 whether approval of this application would be in the best
21 interest of conservation of oil and gas?

22 A. Disposing of water on lease is going to
23 prevent waste, extend the life of the reserves, and there
24 will be no impairment of correlative rights. It will
25 also prevent trucking of water up and down the highway.

1 That's another reason I like the idea.

2 MR. PADILLA: Mr. Examiner, we offer
3 Exhibits 1 through 8, and I pass the witness.

4 EXAMINER EZEANYIM: Exhibits 1 through 8
5 will be admitted.

6 Do you have any questions?

7 (Exhibits 1 through 8 were admitted.)

8 EXAMINER BROOKS: No questions.

9 EXAMINER EZEANYIM: Okay. Now, let's go
10 back to the original application. What does Tipton
11 really want to do? Do they want to do pressure
12 maintenance, saltwater disposal? What exactly do they
13 want to do?

14 MR. PADILLA: Originally, it was filed as
15 an application for saltwater disposal. Obviously, with
16 the rules and policies of the OCD, if you're going to
17 inject into the same zone as the producing zone, you have
18 to call it pressure maintenance or -- that's essentially
19 the advice that we had from Mr. Jones.

20 EXAMINER EZEANYIM: That's where the
21 problem lies. Because at the injection interval, there's
22 a lot of productive wells in that area.

23 EXAMINATION

24 BY EXAMINER EZEANYIM:

25 Q. Let's go back to your area of review in your

1 Form C-108. Let me also understand your nomenclature on
2 that -- I mean the area of review. Where you have your
3 Sunray A Number 3 and disposal well --

4 A. Which exhibit is that?

5 Q. It's Form C-108, where you have the area of
6 review.

7 Now, when you look at those six wells, which
8 we have looked at on the diagram, three have been -- I
9 mean two have been operated by Dwight Tipton, and the
10 rest is operated by Legacy. Okay.

11 Now, the injection interval, as I understand
12 it, is --

13 A. Legacy is mentioned four times. One of those
14 is a plugged well. The Twitty BHF State is a deep well.

15 Q. Okay. But it's penetrating the injection
16 interval?

17 A. Yes.

18 Q. Let's get -- when you say -- let's look at the
19 first well there in the area of review. What does "P" --
20 I know it's producing oil. P, does that mean producing,
21 or plugged and abandoned?

22 A. Producing.

23 Q. So "P" means producing?

24 A. Yes.

25 Q. And "T" means temporarily abandoned? The rest

1 are producing; right? It appears to me that those
2 producing wells are producing from the injection
3 interval?

4 A. Yes.

5 Q. Now, Mr. Tipton is not here. I don't know
6 what questions I had for Legacy. Whatever Legacy says is
7 really immaterial.

8 It depends on what you just narrated, that
9 when you have -- if you want to do a saltwater disposal,
10 you're going to dispose into a producing zone, and that's
11 why this Form C-108. I know you have to go to the BLM.

12 So I wanted to know what you wanted to do. Do
13 you want to do saltwater disposal, or do you desire a
14 pressure maintenance project, like you are talking about?
15 So what exactly does Mr. Tipton want to do?

16 MR. PADILLA: I've had this problem,
17 Mr. Examiner, on prior applications, where they have not
18 been considered administratively for saltwater disposal
19 simply because you're disposing into a producing zone.
20 And so that's why we had to change the application to a
21 pressure maintenance application.

22 It's hard to see a true pressure maintenance
23 project, in the sense that you're drilling various
24 injectors, which is more typical in a pressure
25 maintenance case, and you have a specific pattern.

1 This well is drilled around a producing well
2 or is surrounded by producing wells. So necessarily, you
3 will have some kind of bump, as testified to by
4 Mr. Maxey, where you do have some effect from injection
5 into a well that's centered in the area of review.

6 EXAMINER EZEANYIM: Very good. That's a
7 good point. If I look at your injection well, I see you
8 have perforation from 630 to 650, 20 feet there. And
9 then there is disposal below that, the open hole.

10 If you squeeze out for 630 to 650 and you
11 deposit your saltwater on that open hole, I can send this
12 back for administrative application, because that will
13 notify why you are here now.

14 Why you are here is because you perforated --
15 that perforation is where the oil is coming from. That
16 perforation everybody has in their wells, in those
17 producing wells that we just identified.

18 If I allow you to put water here with that and
19 design it as pressure maintenance, and you are going to
20 have water injections in some of those. Even though
21 Legacy is not here, I don't know what conversation they
22 had with Tipton. I know there is no objection. I don't
23 know whether they were notified. I have no idea.

24 Whether they were notified or not, we are here
25 to make sure you don't produce saltwater. We want you to

1 send the saltwater disposal, don't get me wrong. But we
2 don't want you to send it to the wrong formation.

3 But it could have been easier if you put it in
4 the open hole production of this injection well. If you
5 put that water in the open portion of the injection well,
6 which is dependent on the position of the zone, we
7 wouldn't be here today. We could have approved it
8 administratively.

9 If you are willing to squeeze off those
10 perforations in this injection well and put the water in
11 the open hole, I don't need to write an order for this
12 case. I can send it back administratively. That's why
13 I'm asking, what are you asking here? Do you really want
14 pressure maintenance?

15 You want to get rid of this water. And you
16 want to get rid of it in the open hole, so we can approve
17 it administratively. Very simple. Then you squeeze off
18 those perms in the injection wells so the other wells can
19 produce whatever. I know they are producing eight
20 barrels of oil a day. They are producing something. I
21 don't want to dry them out.

22 MR. PADILLA: We would have preferred to
23 have the application originally approved administratively
24 as --

25 EXAMINER EZEANYIM: I would like to do

1 that.

2 MR. PADILLA: -- as a saltwater disposal
3 well.

4 THE WITNESS: I need to make a comment.

5 As I spoke to Mr. Tipton before we got into this, we
6 discussed the value of doing this in the current
7 injection zone and being able to move oil to the offset
8 producers.

9 If you'll notice on the map, the entire east
10 half -- or east of this row of -- the north/south row of
11 wells, there are no wells over there. This could set up
12 additional drilling on the east side of the section if
13 there's a response to what he's going to do in the
14 existing zone on these other wells.

15 Secondly, he wanted to have additional zones
16 open, other than just 10 foot. He recognized the fact
17 that based on production, based on the current condition
18 of the reservoir, with 400,000 barrels of oil produced
19 and a bunch of water, that he will initially -- the water
20 will be injected in a vacuum. But at some point, 10 foot
21 intervals was not that great.

22 If you look at the log, this Exhibit Number 5,
23 and you notice the porosity curve on the density neutron
24 log, his best zone for injection is the current producing
25 zone. You'll notice how tight it gets below the pay

1 section, all the way down 250 foot that he's proposed.
2 So he's just asking for an additional interval to be
3 approved in the order.

4 EXAMINER EZEANYIM: I understand what he's
5 asking. But anyway, if you look at that Form C-108, it's
6 pretty clear. That's why Mr. Jones said they had to
7 do -- what are you going to tell me now?

8 Did you design this pressure maintenance for
9 this design? I know it's tight, when you look at the
10 log. But when he designed that for it to be really a
11 pressure maintenance, if he designed for pressure
12 maintenance, I need to know what I need to do and all
13 kinds of things.

14 To me, pressure maintenance, I would like
15 to -- it's what I call, you know, waterflood, and design
16 the waterflood that way. Pressure maintenance is just
17 sometimes to help the primary production. Is that what
18 you are trying to do?

19 Are you trying to convince me that it might
20 entice further development in the area after you see how
21 the water is doing? I'm trying to protect our form and
22 the rule that we don't put water into a productive zone
23 without designing something.

24 If you are doing a waterflood, that could have
25 been a different issue. But here I think you wanted a

1 saltwater disposal, and then we need to remand it to
2 hearing or -- I mean when you are told that you can't
3 inject into that perforation, I mean you say it's
4 pressure maintenance, without really thinking harder
5 about whether that's the right thing to do.

6 I'm not forcing you on what to do, but I'm
7 just telling you that -- you are telling me it's 10 feet.
8 You can drill deeper. I mean the depth is 4,750? You
9 can drill an additional 50 feet and put your water there,
10 because that's also an economic part of it when we go to
11 the economics.

12 You need to get rid of that water for those
13 producing wells, but I don't want them to be put into a
14 productive zone within those one-half mile -- actually,
15 what I have done by procedural rule is two miles, but not
16 within my area of review.

17 And before I know it, you are going to be
18 seeing water breakthrough in those producing wells. So I
19 don't understand. Because as you know, the San Andres is
20 almost water now. So if we are getting any production
21 from there, we should not destroy it.

22 But I want you to dispose of the water when
23 you produce those wells, but I want you to put them in
24 the formation that it's supposed to reside, instead of
25 going to a production interval. You understand what I'm

1 talking about?

2 THE WITNESS: I understand. I have no
3 quantitative data. I have no core analysis. I have no
4 special core analysis. And you just made a statement
5 that we don't want to put it in there and destroy the
6 reserves. So I don't know if that's an assumption on
7 your part that that's what this will do, but I don't have
8 that opinion.

9 I've worked in numerous San Andres fields. I
10 could point to you on this area of review -- I worked in
11 the Tom-Tom, the Tomahawk, the Chaveroo and the Milnsand.
12 In those fields we have disposal wells; disposal, not
13 pressure maintenance. We have disposal wells in the
14 existing zone. And I can point to disposal wells that
15 have -- in the offsets, we've seen 25,000-barrel
16 incremental increases because of the disposal wells.

17 But I cannot -- this is a tight reservoir, and
18 I cannot inject the amount of volume that I just gave you
19 that's being produced in all those wells. I can't go in
20 one well and expect, in a tight rock like the San Andres,
21 to be able to inject the amount of water required to
22 maintain the pressure, unless I exceed the frack rating.

23 So you're right. This is a dilemma. What
24 we're trying to do is show an idea that will work. And
25 in the meantime, we're going to improve the economics and

1 prevent waste, even if we dispose of the produced water
2 in the existing zone. But if we increase recovery in the
3 offset wells, then we've got another option: Potentially
4 even drilling wells.

5 EXAMINER EZEANYIM: If you're telling me
6 you are going to conduct a pilot project to see how it
7 works out, and then we give you a year or a few months to
8 see, when you start injecting into those perforations,
9 what will happen at the pilot project, then we monitor
10 the pilot project.

11 But if we approve pressure maintenance without
12 having a pilot project, I don't know what's going to
13 happen. I really don't know what's going to happen. I'm
14 very, very, adamant on this, on them injecting that water
15 into a productive zone.

16 And one of my main duties is to make sure I
17 protect -- of course, you're right. If you look at the
18 logs, they are tight. Okay, great. They're tight.
19 Again, Mr. Tipton is not here to tell me what it would
20 cost Legacy. Maybe Legacy don't care. Even if they
21 don't care, I will still care, because that's my job.

22 THE WITNESS: Yes, sir. I understand.

23 The part that we're struggling with is this
24 has come for an administrative approval, and we were told
25 it needs to go pressure maintenance. Now what I'm

1 hearing from you is it needs to come as a pilot project.

2 EXAMINER EZEANYIM: I'm not saying you
3 should do that. If you tell me, "I do need a pilot
4 project," sure. I want you to do a pilot project in that
5 case and monitor what is happening. If you start running
6 that well, do you know what to do?

7 But when you approve pressure maintenance or a
8 saltwater disposal into a perforated zone that is one
9 mile within six producing wells and there is no monitor
10 to see what's happening -- I'm not telling you to do the
11 pilot project. It's up to you if you want to. But if
12 that is what is before me, I can consider that.

13 But if you are trying to produce water into
14 the perforated zone in this well, it's a problem for me.
15 What I suggest, if it's not going to be a burden on the
16 operator, is you can squeeze that or even run it into a
17 line, if you can't squeeze it, and then put your water
18 here. Because you need a place to put that water.

19 You say it's 10 feet on the open hole. I mean
20 drill out and then put the water into the San Andres.
21 You could do that. I mean I don't see any reason why you
22 couldn't do that. You could go to 5,000, and we are
23 going to approve it in one minute. No problem. Then we
24 come back and study. Even if it's one barrel a day,
25 that's why I'm put here, to protect it.

1 So if you put it in there with that design in
2 the pressure maintenance, I become worried. I mean I
3 don't know all of the story. I need Mr. Tipton here or
4 Legacy here and say, "Well, I don't want it." I don't
5 really care what Legacy says, but I will still do what
6 I'm supposed to do.

7 But we always give those notices to people to
8 object or not object. Sometimes they don't understand
9 it, and they don't know whether to object or not. Then
10 it becomes our job, under the statutes, to protect the
11 correlative rights.

12 I'm not saying what you're doing is wrong.
13 Don't get me wrong. I like what you're doing. Don't get
14 me wrong. But I'm asking: Is there any way you can just
15 squeeze that out, put it in the open hole, and then I
16 don't even need to write an order. We approve it
17 administratively. You put your water in San Andres, in
18 the open hole.

19 Tell me why I should approve those
20 perforations. You've been telling me it's tight. What
21 else can I consider as my finding to be able to approve
22 that you can inject in the perforated interval, as well
23 as the open hole? I'm asking that.

24 Because if you can inject in the open hole,
25 that would be better. There's no question about that.

1 There's no production form there. The production from
2 there is deeper. We want to leave them alone and put the
3 water where there is no production.

4 If I approve this, then I'm going to go
5 against this Form C-108. And I don't know whether you're
6 going to be able to do it. You said the formation is
7 tight. You said that Legacy is not objecting. Legacy
8 doesn't have to object.

9 THE WITNESS: Are you saying, when you
10 say, "go against the C-108," is that because the checked
11 box for SWD is --

12 EXAMINER EZEANYIM: No, no, no. The C-108
13 is one of our most difficult forms. We are going to ask
14 you about implied production above and below the
15 injection interval. Now we're talking about production
16 in the injection interval. We want to look at above and
17 below the injection interval, see how close it is to the
18 injection interval, and see whether we can approve,
19 whether you're doing any waterflood or pressure
20 maintenance or saltwater disposal.

21 But now the perforation is where -- most of
22 the wells are perforated. Mr. Padilla, you know what I'm
23 talking about. These wells are perforated, and that's
24 where the water is going to go. I don't know, when you
25 put the water in there, what it's going to do to those

1 eight barrels a day. I don't know. Do you see my
2 concern there?

3 MR. PADILLA: The only thing I can say is
4 that we're in a Catch 22 here, as far as filing an
5 application for saltwater disposal and then telling --
6 then we're instructed to file a pressure maintenance,
7 which is -- admittedly, we're creating a fiction for
8 pressure maintenance here, in the sense that -- and I
9 think, based on Mr. Maxey's testimony, that you will have
10 some effect for pressure maintenance, but it's not the
11 normal pressure maintenance cases you would have.

12 EXAMINER EZEANYIM: Let me say this: If
13 this is pressure maintenance, let's say all the six wells
14 have been operated by Mr. Tipton, and he designed a
15 pressure maintenance project to be able to see how
16 production will improve by maintaining the pressure.

17 If these have no problem with any water coming
18 there and you want to do this, yeah. I mean we will
19 approve it. Because now it behooves you, as the owner or
20 the operator, to make sure what you are doing is right.
21 Of course, you have to design it the way you want it
22 to -- you know, instead of producing eight barrels a day,
23 maybe you will produce 20 barrels a day after you
24 maintain those pressure.

25 But that would mean the six wells in that area

1 of review would have to belong to Tipton, and then you
2 inject water in this well and see how it does with these
3 wells. And then if he thinks that the pressure
4 maintenance isn't running -- like there's breakthrough
5 and running, I mean you stop.

6 But now we have other operators in that area
7 of review who may not have -- I don't know what was said.
8 Mr. Maxey, you didn't talk to them. The owner talked to
9 them, but he's not here to explain what was said. Even
10 if Legacy is asking me to approve that, technically, I
11 may not approve it, even if they ask me to do it. That's
12 my point.

13 So you are right in what you say. You are
14 told to do saltwater disposal. All of a sudden, it
15 becomes pressure maintenance. We just don't develop
16 pressure maintenance in a vacuum.

17 So I mean I like to approve things, but I
18 don't know how we can go ahead.

19 Q. (By Examiner Ezeanyim) I want you to tell me
20 what I should do. What should happen in this case? Do
21 you think it's really wise to produce water into those
22 perforated intervals? Can you tell me how I can do that?

23 A. You've asked me what I think you should do.
24 And I think what's presented and with the history of the
25 San Andres, that injection in the interval will not

1 destroy reserves. As a matter of fact, I believe it will
2 prevent waste.

3 Q. How will it not? That is the question, how?
4 Tell me why it wouldn't destroy reserves.

5 A. Because there's been numerous floods up in the
6 San Andres in that area --

7 Q. I know that.

8 A. -- and they're successful.

9 Q. I know that. But I know they are in the area
10 of review of this well. I've looked at my log data. I
11 looked at all those things. I know that. There's a lot
12 of saltwater pressure maintenance in the area. It
13 doesn't remove the fact of what we are trying to talk
14 about here. I understand what you're saying. Yes,
15 there's a lot of them in the San Andres. We approve a
16 lot of saltwater disposal in the San Andres.

17 A. I've never instituted a full-blown flood until
18 there was something done to see if the idea worked. I've
19 never done that.

20 EXAMINER EZEANYIM: Mr. Padilla, do you
21 see the point I'm trying to make? From saltwater
22 disposal to pressure maintenance, it's not good for me.

23 If you have designed this as a pressure
24 maintenance and then come to hearing and then try to say,
25 "This is what I'm doing, this is how I designed my

1 pressure maintenance," we can look at that. Don't get me
2 wrong. We approve pressure maintenance every day. But I
3 told you, on that scenario, when we approve it.

4 THE WITNESS: May I ask a question about
5 the regulatory side, trying to figure out a solution?

6 EXAMINER EZEANYIM: Okay.

7 THE WITNESS: In a tighter formation,
8 where you cannot inject the volume of water needed for
9 true maintenance of pressure, but in this case, you're
10 not maintaining the pressure, but you're preventing a
11 more severe pressure decline, in a case where you can't
12 maintain a true pressure maintenance because of the
13 reservoir being tight, what is -- on a regulatory basis,
14 how does that need to come to the Commission?

15 EXAMINER EZEANYIM: Can you repeat the
16 question? Are you saying you want to do pressure
17 maintenance? What do you want to do?

18 THE WITNESS: I'm asking how this needs to
19 come back to the Commission if Mr. Tipton would like to
20 pursue the option of seeing if water injection into the
21 zone will move water to the offset producers.

22 EXAMINER EZEANYIM: I understand. He has
23 a right.

24 THE WITNESS: I'm asking how do we do that
25 on a regulatory basis, which is what we're struggling

1 with.

2 EXAMINER EZEANYIM: Let's say I deny this
3 application. He knows. You go to the Commission, take
4 it to the Commission. Maybe you have new evidence that
5 they will have to consider and maybe overrule what I
6 said. Yeah, you have the --

7 THE WITNESS: There's no other type of --
8 what you're saying is there's no other type of
9 application to do this in this --

10 EXAMINER EZEANYIM: No, no. Even if it's
11 denied, I don't know whether you're going to have to go
12 de novo to the Commission.

13 Can you explain to him how it works?

14 If we deny this, you can go to the Commission.
15 And then whatever you want to present to them, you
16 present to them.

17 EXAMINER BROOKS: I think there's some
18 confusion here. Because when you're talking,
19 Mr. Examiner, about going to the Commission, you're
20 talking about appealing from a decision that would be
21 made.

22 EXAMINER EZEANYIM: Which we haven't made.

23 EXAMINER. BROOKS: Whereas I think Mr.
24 Maxey probably is talking -- is referring to the agency
25 itself, which would include both the Commission, as an

1 appellate body, and the Division, as the initial decision
2 maker.

3 What he's asking is, how do you structure an
4 application that would achieve his objectives, assuming
5 this one is denied? Not so much as a matter of appealing
6 the denial, although that could happen also, but also,
7 what kind of structure of application would you want to
8 see that would enable this applicant to achieve their
9 objectives?

10 EXAMINER EZEANYIM: You could call it a
11 pressure maintenance project and meet all your notice
12 requirements. If you really want pressure maintenance --
13 I hope I'm answering your question -- and then bring it
14 forward, you don't have to go to the Commission. You can
15 bring it forward to the Division, because that's where
16 you start. The only way you go to Commission is if we
17 deny something or approve something that you don't like,
18 you go to Commission.

19 But if you are telling me that really,
20 Mr. Maxey, this is really a pressure maintenance project,
21 we can talk about that. But my intention here is we are
22 trying to approve a saltwater disposal, and all of a
23 sudden, it turns into pressure maintenance project.

24 THE WITNESS: It has been presented this
25 time as a pressure maintenance project. Pressure will be

1 maintained to an extent with injection of fluid into the
2 reservoir, and all the offset production is allocated
3 into the battery. So offset production can be monitored
4 for response. So I don't know what else --

5 EXAMINER EZEANYIM: That's a good point.
6 If we can put a condition there to monitor it -- because
7 you made it clear in your presentation that Mr. Tipton
8 would like to see more development if this works. We
9 don't know if it works. But if it works, fine. I might
10 put it in the scenario there that we monitor it and see
11 what's happening in the other wellbores. Of course, we
12 can do that. Are you asking for that?

13 THE WITNESS: That would work great. Yes.
14 And if it could be what's done out there now on their
15 well testing, allocated into the battery, I hope it
16 wouldn't be required to go out and put some kind of flow
17 meters, like two-phase flow meters or something that the
18 offset operator does not have.

19 EXAMINER EZEANYIM: I wouldn't like you to
20 do that, because my intention is not to cost you money.
21 I don't want you to do that. But I think the other kind
22 of monitoring, you could do.

23 THE WITNESS: Monitoring the wells is part
24 of watching what this injection well is going to do. So
25 that would be welcomed. If you want to put that in the

1 ruling, I will explain to Mr. Tipton that that's what you
2 needed.

3 EXAMINER EZEANYIM: In the order. Okay.

4 Q. (By Examiner Ezeanyim) Your client is not
5 comfortable disposing to the open hole only because there
6 is not enough disposal space?

7 A. I have done that before, where I've asked for
8 more interval. It's been approved, and we didn't utilize
9 the whole interval.

10 I've done that before in Delaware sands.
11 Where they're tighter, you tend to plug up because you
12 have trouble with filtering water. And you don't have to
13 come back with an ongoing operation, shut it down because
14 your pressure limited, and come back to the Commission
15 and look for approval of a little additional zone.

16 That's kind of where Mr. Tipton was going with
17 this. That was one of my first questions, asking him
18 about the additional interval.

19 Q. He needs that perforated --

20 A. He would like to get that approved, the open
21 hole.

22 Q. Yeah. Open hole, no question.

23 A. As far as just additional disposal interval,
24 if there's any problem in the 10-foot interval -- do you
25 understand where I'm coming from? If you have a 10-foot

1 disposal zone and you start to become pressure limited
2 and can't clean it up, then you would like additional
3 zone to inject into.

4 If the OCD approves 10 feet, if he wants two
5 more feet of perforation, he's got to come back for an
6 order. So he's looking for additional zone to inject
7 into, and he's chosen the lower nonproducing part.

8 EXAMINER EZEANYIM: I get it now.

9 THE WITNESS: I hope I'm explaining this.

10 EXAMINER EZEANYIM: You are doing fine.

11 But don't think I'm picking on you.

12 THE WITNESS: That's what we're here for.

13 EXAMINER EZEANYIM: I need to protect what
14 I need to protect. That's why we came here today.

15 THE WITNESS: Would it be fair to say
16 you're going to consider, based on -- I'd like to tell
17 Mr. Tipton that you're going to consider, based on making
18 sure that the offsets are being monitored, is one of the
19 things?

20 EXAMINER EZEANYIM: Yes.

21 THE WITNESS: I'll explain that to him.
22 And he'll understand that, because we discussed that.

23 EXAMINER EZEANYIM: I think I would like
24 to do that. I'm not going to give you a budget to spend
25 a lot of money on those.

1 THE WITNESS: They're reallocating on each
2 well.

3 EXAMINER EZEANYIM: You know how they
4 work. We can monitor with that.

5 Q. (By Mr. Ezeanyim) Now I go to this one. When
6 you use the letter M, are you referring to thousands or
7 millions on this?

8 A. The M? Three zeros, one thousand.

9 Q. But you know, sometimes people put --

10 A. You like to see the zeros?

11 Q. No. I wanted to make sure that --

12 A. That's correct.

13 EXAMINER EZEANYIM: But if you use more, I
14 know you mean million. Some of them use small M and call
15 it thousands. I'm from the old school. I've been to
16 these conventions. When you see M, that M is a thousand.
17 When I see small m, that's a million, unless I see MM.

18 THE WITNESS: That's all right. I
19 understand.

20 EXAMINER EZEANYIM: Okay. Do you have any
21 other thing?

22 MR. PADILLA: The only thing we have is
23 Exhibit 9, which is my affidavit saying that all the
24 offsets operators have been notified. In fact, they've
25 been notified twice, once on the administrative

1 application, and secondly, with notice of this hearing.

2 So we would offer Exhibit 9 also.

3 EXAMINER EZEANYIM: In the interest of
4 conformity, I think I would like to call this application
5 a pressure maintenance, even though it wasn't designed
6 very well. I'm going to call it pressure maintenance and
7 be able to put that monitor in there.

8 Because if I issue saltwater disposal -- of
9 course, I can still do that. But I want it to be a
10 pressure maintenance project, and let's see what's going
11 to happen in those wells.

12 Did I say I'm going to approve it? I have to
13 think about it.

14 So Mr. Maxey, I'm going to consider the
15 information. We have them on the record, and then we'll
16 see what we can do. Our objective is to make sure we do
17 our job under the Oil and Gas Act, regardless of whether
18 anybody objects or not. When I'm asking you questions,
19 I'm not angry at you. I'm not trying to put a burden on
20 you to do a lot of things. So don't get me wrong.

21 THE WITNESS: Thank you, Mr. Examiner.

22 EXAMINER EZEANYIM: Do you have anything
23 further?

24 MR. PADILLA: Nothing else.

25 EXAMINER EZEANYIM: Okay. At this point,

1 Case 14917 will be taken under advisement.

2

* * *

3

4

5

6

7

8

9


10

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 14917
heard by me on

11

12

13


Examiner
Oil Conservation Division

14

15

16

17

18

19

20

21

22

23

24

25


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO
HEREBY CERTIFY that on November 29, 2012, proceedings in
the above captioned case were taken before me and that I
did report in stenographic shorthand the proceedings set
forth herein, and the foregoing pages are a true and
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by
nor related to nor contracted with any of the parties or
attorneys in this case and that I have no interest
whatsoever in the final disposition of this case in any
court.

WITNESS MY HAND this 11th day of December,
2012.


Jacqueline R. Lujan, CCR #91
Expires: 12/31/2012