

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

ORIGINAL

APPLICATION OF CIMAREX ENERGY
COMPANY OF COLORADO FOR A
NONSTANDARD SPACING AND
PRORATION UNIT AND COMPULSORY
POOLING, EDDY COUNTY, NEW MEXICO.

CASE NO. 15215

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

November 20, 2014

Santa Fe, New Mexico

BEFORE: WILLIAM V. JONES, CHIEF EXAMINER
GABRIEL WADE, LEGAL EXAMINER

RECEIVED OOD
2014 DEC -9 P 3:32

This matter came on for hearing before the
New Mexico Oil Conservation Division, William V. Jones,
Chief Examiner, and Gabriel Wade, Legal Examiner, on
Thursday, November 20, 2014, at the New Mexico Energy,
Minerals and Natural Resources Department, Wendell Chino
Building, 1220 South St. Francis Drive, Porter Hall,
Room 102, Santa Fe, New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR
New Mexico CCR #20
Paul Baca Professional Court Reporters
500 4th Street, Northwest, Suite 105
Albuquerque, New Mexico 87102
(505) 843-9241

APPEARANCES

FOR APPLICANT CIMAREX ENERGY COMPANY OF COLORADO:

EARL E. DeBRINE, JR., ESQ.

JENNIFER L. BRADFUTE, ESQ.

MODRALL, SPERLING, ROEHL, HARRIS & SISK, P.A.

500 4th Street, Northwest, Suite 1000

Albuquerque, New Mexico 87102

(505) 848-1800

edebrine@modrall.com

jennifer.bradfute@modrall.com

INDEX

PAGE

Case Number 15215 Called	3
Cimarex Energy Company of Colorado's Case-in-Chief:	
Witnesses:	
Jordan Cockrell:	
Direct Examination by Mr. DeBrine	4
Cross-Examination by Examiner Jones	12
Dave Rittersbacher:	
Direct Examination by Ms. Bradfute	15
Cross-Examination by Examiner Jones	22
Proceedings Conclude	25
Certificate of Court Reporter	26

EXHIBITS OFFERED AND ADMITTED

Cimarex Energy Company of Colorado Exhibit Numbers 1 through 6	12
Cimarex Energy Company of Colorado Exhibit Numbers 7 through 9	21
Cimarex Energy Company of Colorado Exhibit Number 10	21

1 (9:57 a.m.)

2 EXAMINER JONES: This is number 15215, the
3 case of Cimarex Energy Company of Colorado for a
4 nonstandard spacing and proration unit and compulsory
5 pooling, Eddy County, New Mexico.

6 Call for appearances.

7 MR. DEBRINE: Earl DeBrine and Jennifer
8 Bradfute, with the Modrall Sperling Law Firm, for the
9 Applicant, Cimarex Energy of Colorado.

10 EXAMINER JONES: Other appearances in this
11 case?

12 MR. DEBRINE: I don't believe there is any
13 opposition, Mr. Examiner.

14 EXAMINER JONES: We have a record of an
15 interested party that has not shown up today?

16 MR. DEBRINE: No. We have reached an
17 agreement with them, and they're now a consenting party,
18 and they're not going to be a pooled party anymore.

19 EXAMINER JONES: You've got two witnesses?

20 MR. DEBRINE: Yes, Mr. Examiner.

21 EXAMINER JONES: Will the court reporter
22 please swear the witnesses?

23 (Ms. Cockrell and Mr. Ritterbacher sworn.)

24 JORDAN COCKRELL,

25 after having been first duly sworn under oath, was

1 questioned and testified as follows:

2 DIRECT EXAMINATION

3 BY MR. DEBRINE:

4 Q. Would you please state your name for the
5 record?

6 A. Jordan Cockrell.

7 Q. Ms. Cockrell, who do you work for?

8 A. I work with Cimarex Energy in Midland, Texas.

9 Q. What are your responsibilities as a landman for
10 Cimarex?

11 A. I work as a petroleum landman at Cimarex. I am
12 part of an exploration team, and our goal is find
13 locations and drill wells. I have specifically worked
14 the Permian Basin, and I have moved over to Eddy County
15 and worked there since the beginning of this year.

16 Q. Have you previously testified before the
17 Division?

18 A. Yes.

19 Q. Were your credentials as a petroleum landman
20 accepted as a matter of record by the Examiners?

21 A. Yes, they were.

22 MR. DEBRINE: Mr. Examiner, we would submit
23 Ms. Cockrell as an expert landman.

24 EXAMINER JONES: Can you spell your last
25 name, please?

1 THE WITNESS: C-O-C-K-R-E-L-L.

2 EXAMINER JONES: Ms. Cockrell is qualified
3 in petroleum land matters.

4 Q. (BY MR. DEBRINE) Ms. Cockrell, will you turn to
5 Exhibit 1 and explain to the Examiners what Cimarex is
6 seeking?

7 A. Exhibit Number 1 is the Form C-102 for the Jake
8 36 State 7H well. We seek approval to form a
9 nonstandard oil spacing unit or project area covering
10 the west half of the east half of Section 36, Township
11 24 South, Range 26 East, in Eddy County for the purpose
12 of drilling a horizontal well as exhibited in Exhibit 1.
13 We also seek to pool the uncommitted working interest
14 owners.

15 Q. And how much acreage is covered by the
16 nonstandard project area?

17 A. 160 acres.

18 Q. Is the well going to be drilled and completed
19 in a standard location?

20 A. Yes.

21 Q. What is the pool involved in the acreage?

22 A. The Cottonwood Draw Bone Spring pool, and that
23 number is 97494.

24 Q. And what is the well that you're seeking to
25 dedicate the acreage to?

1 A. The Jake 36 State 7H.

2 Q. What is the API number for that well?

3 A. 3001542614.

4 Q. And what is the character of the lands involved
5 in the unit?

6 A. They are state lands.

7 Q. Are there any Special Pool Rules for this
8 particular formation?

9 A. No.

10 Q. Could you provide the Examiners with a surface
11 and bottom-hole locations for the well?

12 A. The surface-hole location is 330 feet from the
13 south line and 1,725 feet from the east line. The
14 bottom-hole location is 330 feet from the north line,
15 1,725 feet from the east line, both being in Section 36.

16 Q. Let's take a look at Exhibit 2 and if you could
17 explain what that represents.

18 A. Exhibit Number 2 is a list of the working
19 interest owners in Section 36. It lists the committed
20 versus the uncommitted interest owners. Those that are
21 highlighted in yellow are those that we seek to
22 compulsory pool. Those that are not highlighted are
23 committed. Specifically, we seek to pool the
24 uncommitted owners Larry Turner, Sandy Wische, Chester
25 J. Stuebben, Alan D. Tuck Jr. and wife Evelyn Tuck.

1 Q. Just to clarify, the Examiner had a question
2 and issue with regard to Isramco Resources. They're now
3 listed as a committed owner in the unit?

4 A. Right. We have reached a voluntary agreement
5 with Isramco Resources. They are no longer a party that
6 we are seeking to pool.

7 Q. If you could turn to Exhibit 3 and explain to
8 the Examiners what efforts you undertook to come to a
9 voluntary agreement and form a unit with the --

10 A. Exhibit 3 --

11 EXAMINER JONES: Excuse me. Would you --
12 Exhibit 3 -- got these beforehand, and we had trouble
13 printing them out. And I'm trying to make sure that I
14 got it --

15 EXAMINER WADE: (Indicating.)

16 EXAMINER JONES: Oh, here we go. Here we
17 go. Excuse me. I've got it right here.

18 A. Exhibit Number 3 compiles all of the documents
19 that were sent to the working interest owners well
20 proposal packet that includes well proposal letters, the
21 AFEs and the proposed operating agreement covering the
22 contract area. I sent the proposal packets on June 11th
23 of 2014, and subsequently, after sending these, I placed
24 regular phone calls and regular e-mails to those that I
25 could locate and get ahold of.

1 Q. (BY MR. DEBRINE) What are the costs -- the
2 dry-hole and completion costs for the well that were
3 identified in the AFE sent to the working interest
4 owners?

5 A. The dry-hole cost, 1,974,000. Completion costs
6 are 5,002,200.

7 Q. And are those costs consistent with the costs
8 that Cimarex has incurred when drilling similar
9 horizontal wells of this depth and length?

10 A. Yes.

11 Q. Have you estimated the overhead costs while
12 drilling and producing the well?

13 A. Yes.

14 Q. What are those amounts?

15 A. Those amounts are 7,000 per month for drilling,
16 700 per month for producing.

17 Q. And are those amounts the same as you proposed
18 in the JOA for the working interest owners?

19 A. Yes. You will see in Exhibit 3 the JOA is
20 included, and the drilling and producing rates are
21 included in the COPAS, which is Exhibit C of the JOA.

22 Q. And are those costs in line with those charged
23 by Cimarex and other operators in the area for drilling
24 wells of similar depth and length?

25 A. Yes.

1 Q. Are you asking the Division to include these
2 overhead administrative costs in its order for forced
3 pooling?

4 A. Yes, we are.

5 Q. Did you prepare a summary of your
6 communications with the working interest owners to
7 voluntarily form a unit for the well?

8 A. I did. That is Exhibit 4, and it lists the
9 dates and a summary of my communications with various
10 working interest owners.

11 Q. With regard to the cost that you're proposing
12 for the well, are you also asking the Division to
13 incorporate -- be adjusted in accordance with the COPAS
14 accounting procedures?

15 A. Yes.

16 Q. Are you also asking the Division to include a
17 200 percent risk charge as part of its order?

18 A. Yes, I am.

19 Q. Let's turn to the notice that was given in the
20 Cimarex application. Have you identified all of the
21 operators of leased minerals in the 40-acre tracts that
22 surround this proposed unit that are offset operators?

23 A. Yes, we did.

24 Q. Did you prepare a list of them and a map of
25 where they are located?

1 A. Yes. If you look at Exhibit 5, I have put
2 together a Midland -- it's a Midland Map land plat. The
3 blue outline is the Jake State -- Jake State 36 7H
4 proration unit. The yellow is those that we have
5 noticed that offset us, and then the attached paper to
6 this exhibit lists the operators that we have notice or
7 sent notice to.

8 Q. Now, let's turn to Exhibit 6, which is the
9 notice letters that were sent out by our office and the
10 Affidavit of Publication and also my Affidavit of
11 Notice. If you could describe the efforts that were
12 made to identify the working interest owners and the
13 notice that was given to them.

14 A. For the --

15 Q. For the proposed unit.

16 A. Yes. I'm sorry. I want to make sure I
17 understand your question. So you're wanting me to --

18 Q. Just to identify within Exhibit 6 what consists
19 of the different notices sent out. And I understand
20 it's covered by my Affidavit of Notice, but if you could
21 just describe Exhibit 6.

22 A. These are just the notice letters that were
23 sent to those in the nonstandard oil spacing proration
24 unit. We also published notice because there were a few
25 within the proration unit that we cannot locate, have

1 not been able to get in touch with.

2 Q. What efforts did you make to locate the working
3 interest owners?

4 A. That we cannot locate or just any of them?

5 Q. All of them.

6 A. We sent --

7 I'm sorry. I'm hoping I'm understanding
8 your question correctly.

9 We sent these notification letters. We
10 sent the proposals. I've made phone calls.

11 Q. And you sent notice by certified mail, return
12 receipt?

13 A. Yes. We sent it by certified mail, which those
14 are included. The copies of the receipts are included
15 here in this exhibit.

16 Q. And for those you couldn't locate, you
17 published notice within a newspaper circulated in the
18 county where the proposed well is located?

19 A. Yes. Yes, we did.

20 Q. Were Exhibits 1 through 6 prepared by you or
21 under your direction and supervision from the business
22 records of Cimarex?

23 A. Yes.

24 MR. DEBRINE: Mr. Examiner, we'd move for
25 the admission of Exhibits 1 through 6.

1 EXAMINER JONES: Exhibits 1 through 6 will
2 be admitted.

3 (Cimarex Energy of Colorado Exhibit Numbers
4 1 through 6 were offered and admitted into
5 evidence.)

6 Q. (BY MR. DEBRINE) Ms. Cockrell, in your opinion,
7 have you made a good-faith effort to identify the
8 interest owners in the proposed unit?

9 A. Yes.

10 Q. And did you make a good-faith effort to try and
11 seek their voluntary agreement to form a proposal [sic]
12 to the well?

13 A. Yes, we did.

14 Q. In your opinion, is the granting of the
15 application in the interest of conservation and the
16 prevention of waste?

17 A. Yes.

18 MR. DEBRINE: No further questions.

19 CROSS-EXAMINATION

20 BY EXAMINER JONES:

21 Q. You said you published also the ones you
22 couldn't find?

23 A. Yes.

24 Q. What exhibit is that?

25 A. It's in Exhibit 6.

1 MR. DEBRINE: It's at the very end of
2 Exhibit 6.

3 EXAMINER JONES: Okay. I see it.

4 THE WITNESS: You did find it?

5 EXAMINER JONES: I did find it. It lists
6 their names.

7 MR. DEBRINE: And my affidavit with regard
8 to the certified notices is right in front of that.

9 EXAMINER JONES: Okay.

10 Q. (BY EXAMINER JONES) This is all state land; is
11 that correct?

12 A. Yes. It's one state lease.

13 Q. It's one state lease?

14 A. One lease covering the entire section.

15 Q. So there is actually one -- it's all one
16 interest block?

17 A. Right, covering the entire section.

18 Q. So you have no nonstandard location issues
19 here? It's one drill block, and it's -- the APD to
20 drill is -- how old is that? Is that pretty recent, or
21 would that be a cost estimate?

22 A. The cost estimate -- we sent this with the well
23 proposal. It's dated -- it's dated March 27th. We sent
24 these in June.

25 Q. Would you say it's -- you just have to send

1 them an estimate anyway, but it's reasonably the same
2 costs --

3 A. Yes.

4 Q. -- isn't it?

5 A. Yes.

6 Q. There is a huge difference between, obviously,
7 dry hole and after-casing point costs and completed
8 costs. Is there any elections between -- in other
9 words, if they make one election to do the well, are you
10 going to -- are you going to do a dry-hole election?

11 A. In the JOA -- in the JOA, there is a
12 casing-point election.

13 Q. There is?

14 A. Yes. So they have the option -- once we've
15 reached TD, they have the option to participate in
16 completion or not.

17 Q. And they'll be able to see the information --

18 A. Right.

19 Q. -- and decide --

20 A. We will have provided them with logs and
21 reports, and they'll be able to make an educated
22 decision.

23 Q. How long did you give them? 24 hours or so?

24 A. 48.

25 Q. 48 hours. Okay.

1 A. Uh-huh.

2 Q. 7,000 drilling, 700 producing.

3 This is Bone Spring. Did you say that pool
4 was Cotton Draw Bone Spring North or just Cotton Draw
5 Bone Spring?

6 A. Cottonwood Draw Bone Spring.

7 Q. I can't think of any other land questions, so
8 pass the witness.

9 EXAMINER WADE: I don't have any other
10 questions.

11 EXAMINER JONES: Thank you very much.

12 DAVE RITTERSBACHER,
13 after having been previously sworn under oath, was
14 questioned and testified as follows:

15 DIRECT EXAMINATION

16 BY MS. BRADFUTE:

17 Q. Can you please state your name for the record?

18 A. My name is Dave Rittersbacher.

19 Q. And what do you do for Cimarex?

20 A. I'm a geologist for Cimarex in the Permian
21 Basin, actually work the Delaware Basin; that includes
22 Eddy County, New Mexico.

23 Q. Could you describe your educational background
24 and work history?

25 A. I have a bachelor of science degree in geology

1 from Colorado State University, a master of science in
2 geology from Colorado School of Mines. And I've been
3 employed as a petroleum geologist for 29 years, the last
4 11 have been with Cimarex Energy.

5 Q. Do you hold any certifications or belong to any
6 professional organizations?

7 A. I'm a professional geologist in the state of
8 Texas and in the state of Wyoming and a member of the
9 American Association of Petroleum Geologists.

10 Q. And have you previously testified before the
11 Division?

12 A. I have.

13 Q. And were your credentials as a geologist
14 accepted and made part of the record?

15 A. They were.

16 Q. Are you familiar with the application that's
17 been filed by Cimarex today?

18 A. I am.

19 Q. And are you familiar with the status of the
20 lands that are subject to the application?

21 A. Yes, I am.

22 Q. Are you familiar with the APD for the Jake 36
23 State 7H well?

24 A. Yes.

25 Q. And have you conducted a geologic study of the

1 area embracing the proposed spacing unit for the Jake 36
2 State 7H well located in Section 36, Township 24 South,
3 Range 26 East NMPM, Eddy County, New Mexico?

4 A. I have.

5 MS. BRADFUTE: Mr. Examiner, I'd like to
6 tender the witness as an expert in geologic matters.

7 EXAMINER JONES: Will you please spell your
8 last name?

9 THE WITNESS: R-I-T-T-E-R-S-B-A-C-H-E-R.

10 EXAMINER JONES: Thank you.

11 He is so qualified.

12 Q. (BY MS. BRADFUTE) Would you please turn to
13 what's been marked as Exhibit 7?

14 A. Exhibit 7 is a net sandstone map for the 2nd
15 Bone Spring sandstone. It's contoured on a 25-foot
16 contour interval. The proposed Jake 36 State No. 7H
17 location is the red arrow. That shows the surface-hole
18 location of the Jake 36 State No. 7. Then the red line
19 represents the well path, one mile in length, drilling
20 from south to north. And the proration unit that you
21 just heard Jordan Cockrell discuss is the west half of
22 the east half of Section 36 and is outlined by the
23 green-dashed line.

24 The next exhibit will be a type log. It's
25 the Jake State No. 3, and it's identified by a black

1 arrow. The producing wells that surround the proposed
2 Jake 36 State No. 7 are the heavy purple lines that you
3 see located to the south, to the east and to the
4 southeast. Those are all 2nd Bone Spring sand producers
5 and all operated by Cimarex. The proposed location has
6 net sandstone values in excess of 30 feet, and we have
7 found that to be productive in the area in all the
8 producing wells.

9 Q. Can you please turn to Exhibit 8 and explain
10 that exhibit to the Examiner?

11 A. We mentioned that Exhibit 8 was the black arrow
12 on Exhibit 7. This type log is a neutron density log.
13 On the left-hand side of the log is a gamma
14 ray log. As it departs to the left, those are clean --
15 what we call clean gamma ray values that are low, and
16 those represent sandstones and limestones. And the
17 gamma ray log departs to the right. Those are shales,
18 the high values.

19 The right-hand side of the log is both
20 neutron and density porosity, and it's scaled from minus
21 10 to 30. The heavy red line that you see there is the
22 10 percent porosity cutoff that we used to make the net
23 sandstone map you saw on Exhibit 7.

24 The approximate landing -- the equivalent
25 landing zone on this log is the land -- the well would

1 be about 7,215 measured depth on the type log.

2 Q. And do you consider the wells that you have
3 studied to be representative of the Bone Spring
4 Formation in the area near the proposed spacing unit?

5 A. I do.

6 Q. And did you identify any geological
7 impediments?

8 A. I did not. Because of the thick nature of the
9 sandstone along the well path, we feel like all of the
10 40-acre tracts on that well path will contribute to
11 production.

12 Q. What conclusions have you drawn from your
13 geologic study?

14 A. Our conclusions are that we think this is a
15 potentially highly economic well and will have economic
16 production along its entire life.

17 Q. Are there any impediments to drilling a
18 horizontal well?

19 A. None.

20 Q. And is each quarter section-quarter section
21 productive in the Bone Spring Formation?

22 A. We feel it will be.

23 Q. Is horizontal drilling the most efficient
24 method of producing?

25 A. Absolutely. Vertical wells in this area have

1 been proven to be uneconomic.

2 Q. Will drilling this well prevent the drilling of
3 any unnecessary wells?

4 A. It will prevent unnecessary wells to be
5 drilled.

6 Q. And will drilling this well as a horizontal
7 well result in the greatest horizontal recovery?

8 A. It will.

9 Q. Would you please turn to Exhibit 9?

10 A. Exhibit 9 documents the proposed well path.
11 The left-hand side of the exhibit is the TVD or
12 cross-section view. The blue line represents the well
13 path. You can see that it's drilled vertically, down to
14 a measured depth of 6,650 feet.

15 At that point we're going to kick the well
16 off and build a curve at ten degrees per 100 feet.
17 We're going to land the well at 7,557 measured depth, or
18 TVD of about 7,233 feet. At that point we'll continue
19 on horizontally to the last take point at the end of the
20 well, which is 330 feet from the north line, and that's
21 the measured depth of 11,618.

22 The upper, right-hand part of that diagram
23 is the map view of the proposed well plan. The red
24 lines are the hard lines at 330 from each of the section
25 lines. The proposed location, as discussed earlier, is

1 330 from south and 1,725 from east. We'll drill the
2 well from south to north. You can see the landing point
3 at 7,557 measured depth, and then we'll continue on to
4 the north to a bottom-hole location of 330 from the
5 north line and 1,725 from the east line. And, again,
6 that will be the measured depth of 11,618.

7 Q. Is the completed interval -- is it going to be
8 within an orthodox area and within the setback
9 requirements of the statewide rule?

10 A. It will.

11 Q. In your opinion, would granting Cimarex's
12 application be in the best interest of conservation, the
13 prevention of waste and the protection of correlative
14 rights?

15 A. In my opinion, it would.

16 Q. Were Exhibits 7 through 9 prepared by you or
17 compiled under your direction and supervision?

18 A. Yes, they were.

19 MS. BRADFUTE: Mr. Examiner, we'd like to
20 move Exhibits 7 through 9 and 10.

21 EXAMINER JONES: Exhibits -- 7 through 9?

22 MS. BRADFUTE: Yes.

23 EXAMINER JONES: Exhibits 7 through 9 are
24 admitted.

25 (Cimarex Energy of Colorado Exhibit Numbers

1 7 through 9 were offered and admitted into
2 evidence.)

3 CROSS-EXAMINATION

4 BY EXAMINER JONES:

5 Q. So the toe of the well will have a little bit
6 more thickness according to your isopach?

7 A. Right.

8 Q. And what control did you have for that isopach?
9 I mean, I know there are some horizontal wells, but do
10 they drill pilot holes on those?

11 A. This area was initially developed for deep
12 Morrow gas.

13 Q. Oh, okay.

14 A. So on your log, you'll see -- on my copy,
15 they're kind of a reddish-brown color. Those are
16 actually the net sandstone values from the deep
17 horizontal control in the area.

18 Q. So your control is shown on this map?

19 A. Right.

20 Q. In the red -- okay. They're reddish?

21 A. Right.

22 Q. Just reddish.

23 Okay. So you've got pretty good control
24 really?

25 A. Yeah. There is generally -- it's fully

1 developed on 160-acre gas well spacing from the Morrow,
2 so we have decent control in the area.

3 Q. The logs that you used, were they just pulled
4 up through intermediate [sic] pipe? In other words, was
5 it gamma ray and porosity through pipe numbers?

6 A. No. These are open-hole logs.

7 Q. Okay.

8 A. Right. You may see along the well path -- it's
9 a little hard to read because of the contours covering
10 it, but you'll see a note that's very close to the well
11 path, where it says "CNL only." That was a cased hole
12 log, and we did not use those to construct the map.

13 Q. Oh, wow. This is really precise mapping.

14 So basically this 2nd Bone Spring sand, do
15 you consider that to include the shales and the sands in
16 that type log?

17 A. We do. We don't feel like the shales are
18 contributing to production, only the sands.

19 Q. So you're going to drill right there at minus
20 3,700 subsea depth? Not there, but -- where are you
21 going to drill?

22 A. If you can find -- our equivalent landing zone
23 was at 7,215 measured depth, and we find that we're
24 better off in the lower third of the section than
25 letting the frack grow up and contact the remainder --

1 Q. So you think the frack will grow pretty --

2 A. Yeah. Even though there are some limestones
3 present, they don't seem to be frack barriers for us
4 from the work we've done.

5 Q. And what have you used while you're drilling?
6 Are you just going to mud log it, or are you going to
7 log in while drilling and --

8 A. We'll have an MWD gamma ray and mud logs. And
9 that's how we've handled all the logs to date. Because
10 of the Morrow deep gas well control, we probably don't
11 need any more data than that, in our opinion.

12 Q. What about during the frack job? Are you going
13 to tag -- tag it with chemical tagging so that you --

14 A. No. We typically don't pursue any tracer in
15 these sands. We don't have any problem putting the
16 fracks away, so all the stages seem to take the fracks
17 very well.

18 Q. But as far as the tracer coming back would tell
19 you whether your -- whether your water and oil from
20 different areas of the well, like from the toe or from
21 the --

22 A. Right. At this point there are no plans to do
23 that.

24 Q. Okay. I don't have any other questions. Thank
25 you very much.

1 A. Thank you.

2 MR. DEBRINE: That concludes our
3 presentation, Mr. Examiner.

4 EXAMINER JONES: Thank you very much.
5 Let's take Case 15215 under advisement.
6 (Case Number 15215 concludes, 10:23 a.m.)

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. _____
heard by me on _____.

_____, Examiner
Oil Conservation Division

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER


5 I, MARY C. HANKINS, New Mexico Certified
6 Court Reporter No. 20, and Registered Professional
7 Reporter, do hereby certify that I reported the
8 foregoing proceedings in stenographic shorthand and that
9 the foregoing pages are a true and correct transcript of
10 those proceedings that were reduced to printed form by
11 me to the best of my ability.

12 I FURTHER CERTIFY that the Reporter's
13 Record of the proceedings truly and accurately reflects
14 the exhibits, if any, offered by the respective parties.

15 I FURTHER CERTIFY that I am neither
16 employed by nor related to any of the parties or
17 attorneys in this case and that I have no interest in
18 the final disposition of this case.

19

20



21

MARY C. HANKINS, CCR, RPR
Paul Baca Court Reporters, Inc.
New Mexico CCR No. 20
Date of CCR Expiration: 12/31/2014

22

23

24

25