

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )  
APPLICATION OF DEVON ENERGY PRODUCTION )  
COMPANY, L.P., FOR AN EXCEPTION TO )  
DIVISION ORDER NO. R-111-P, EDDY COUNTY, )  
NEW MEXICO )

CASE NO. 13,580

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, JR., Hearing Examiner

October 20th, 2005

Santa Fe, New Mexico

2005 NOV 3 PM 5 44

This matter came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, JR., Hearing Examiner, on Thursday, October 20th, 2005, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

I N D E X

October 20th, 2005  
Examiner Hearing  
CASE NO. 13,580

|                                   |      |
|-----------------------------------|------|
|                                   | PAGE |
| APPEARANCES                       | 3    |
| APPLICANT'S WITNESSES:            |      |
| <u>KENNETH H. GRAY</u> (Landman)  |      |
| Direct Examination by Mr. Bruce   | 4    |
| Examination by Examiner Jones     | 11   |
| <u>GERALD BROCKMAN</u> (Engineer) |      |
| Direct Examination by Mr. Bruce   | 16   |
| Examination by Examiner Jones     | 21   |
| REPORTER'S CERTIFICATE            | 29   |

\* \* \*

E X H I B I T S

| Applicant's | Identified | Admitted |
|-------------|------------|----------|
| Exhibit 1   | 5          | 11       |
| Exhibit 2   | 9          | 11       |
| Exhibit 3   | 10         | 11       |
| Exhibit 4   | 18         | 21       |
| Exhibit 5   | 19         | 21       |
| Exhibit 6   | 10         | 11       |

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

GAIL MacQUESTEN  
Deputy General Counsel  
Energy, Minerals and Natural Resources Department  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

JAMES G. BRUCE  
Attorney at Law  
P.O. Box 1056  
Santa Fe, New Mexico 87504

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2 8:36 a.m.:

3           EXAMINER JONES: At this time let's call Case  
4 Number 13,580, Application of Devon Energy Production  
5 Company, L.P., for an exception to Division Order Number  
6 R-111-P, Eddy County, New Mexico.

7           Call for appearances.

8           MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,  
9 representing the Applicant. I have two witnesses to be  
10 sworn.

11           EXAMINER JONES: Any other appearances?  
12 Will the witnesses please stand to be sworn?  
13 (Thereupon, the witnesses were sworn.)

14                           KENNETH H. GRAY,  
15 the witness herein, after having been first duly sworn upon  
16 his oath, was examined and testified as follows:

17                           DIRECT EXAMINATION

18 BY MR. BRUCE:

19           Q.    Would you please state your name for the record?

20           A.    My name is Ken Gray, and I'm employed as a  
21 landman by Devon Energy Production Company in Oklahoma  
22 City, Oklahoma.

23           Q.    Have you previously testified before the  
24 Division?

25           A.    Yes, I have.

1 Q. And were your credentials as an expert petroleum  
2 landman accepted as a matter of record?

3 A. Yes, they were.

4 Q. And are you familiar with the land matters  
5 involved in this Application?

6 A. Yes.

7 MR. BRUCE: Mr. Examiner, I tender Mr. Gray as an  
8 expert petroleum landman.

9 EXAMINER JONES: Mr. Gray is qualified as an  
10 expert petroleum landman.

11 Q. (By Mr. Bruce) Mr. Gray, could you identify  
12 Exhibit 1, and at first just identify the acreage we're  
13 concerned with here today?

14 A. Well, Exhibit 1 is basically a picture of  
15 Township 23 South, 31 East, with a little bit of extra  
16 around the edge. And the lease that's covered by our  
17 Application today is outlined in a real thin red line  
18 covering all of Section 27 and the north half, northwest  
19 quarter of Section 26.

20 Q. Okay, and this lease is in the -- this acreage is  
21 in the oil-potash area, correct?

22 A. Yes, it is.

23 Q. And in this case today Devon requests that -- an  
24 exception to Order Number R-111 as amended, so that it not  
25 be required to cement the production strings to the

1 surface; is that correct?

2 A. That's correct.

3 Q. Going over Exhibit 1, could you identify -- well,  
4 before we get to there, what is the basic reason for this  
5 request?

6 A. Well, the basic reason is that as you can see  
7 there's a fair number of Delaware oil wells on this map. I  
8 don't know how many there are. But with few exceptions  
9 it's our belief that none of those wells are in compliance  
10 with R-111-P, with the surface -- with the cementing  
11 requirements.

12 Q. And there are not just Devon wells on this map,  
13 are there?

14 A. No, Yates operates some wells, Pogo operates some  
15 wells. I don't know, Bass might, I can't remember. But  
16 Devon, Yates and Pogo are the main operators in the  
17 township.

18 Q. Okay. Well, why don't you go through this map  
19 and identify the various markings on it?

20 A. Well I guess, first of all, the yellow acreage  
21 would be acreage leases in which Devon owns an interest,  
22 and for the most part we operate all of those yellow  
23 leases.

24 The light gray sections are leases where there  
25 are existing potash leases, and the darker-shade gray are

1 three state leases that at one time were lease for potash.  
2 As far as we can tell from the federal abstract records,  
3 those leases may have expired in November of 2002, but I'm  
4 not familiar enough with how the potash people do their  
5 business and leasing to know that they really did expire.  
6 But those were the last leases to be taken in this area.  
7 And again, the light gray leases are still, as best we can  
8 tell, in effect, potash.

9 Q. There is no existing potash lease on Sections 26  
10 and 27, is there?

11 A. No.

12 Q. What does the red line indicate?

13 A. The dark red line?

14 Q. Yes.

15 A. Is the R-111-P boundary. The light blue line,  
16 baby-blue, would be the outline of what the latest BLM  
17 potash map would indicate would be enclave. I think we've  
18 got a structure underneath -- lying underneath that.

19 I guess I would point out the WIPP site is --  
20 It's not identified, but it would be those pink colors just  
21 on the north end of the map where it says potash enclave.  
22 Sections 31, 32, 33 and 34 would be the southern end of the  
23 WIPP site.

24 Q. Okay. So when you say the potash enclaves, it's  
25 everything to the west of this dark red line; is that

1 correct?

2 A. Yes.

3 Q. Okay. Now you mentioned that there are some  
4 state sections out here, but is the overwhelming majority  
5 of the acreage federal in this township?

6 A. Yes, it is.

7 Q. And you mentioned that a number of other wells in  
8 this area, in fact, the overwhelming majority, do not have  
9 the casing cemented to surface?

10 A. That's correct.

11 Q. And the BLM approved those wells without any  
12 special requirement; is that correct?

13 A. That's correct.

14 Q. And the OCD at the time those wells were drilled  
15 made no requirement that they comply with R-111-P either;  
16 is that correct?

17 A. That's correct.

18 Q. Were -- you have done -- Devon has done this  
19 exact same -- gone through this exact same process before  
20 in this township, has it not?

21 A. At least two other times, and there may have been  
22 a third time, I can't remember.

23 MR. BRUCE: Mr. Examiner, Order Numbers R-11,897  
24 and R-11,897-A approved a similar Devon request in acreage.

25 Q. (By Mr. Bruce) I forget exactly, Mr. Gray, but



1 it's acreage to the north of Sections 26 and 27, is it not?

2 A. Yeah, for the most part we've had this same  
3 application and approval covering pretty much all of  
4 Sections 10, 11, 14, 15, 22 and 23.

5 MR. BRUCE: And there was a third case, Mr.  
6 Examiner. I don't have the order number, but it was Case  
7 13,272, in which -- not in this township, but in an  
8 adjoining township.

9 Q. (By Mr. Bruce) Has the -- There are a few wells  
10 already in Section 27. Has the BLM indicated to Devon that  
11 it would approve additional APDs on this acreage?

12 A. They will approve some wells in the southern half  
13 of Section 27, and there's been some discussion about  
14 approving APDs in the northern half, which is inside their  
15 enclave. But we haven't seen them yet.

16 Q. Okay. Referring to Exhibit 2, where are the  
17 nearest potash mine workings?

18 A. Exhibit 2 -- and this is based on the latest  
19 version of the 1993 distribution of potash resources, and  
20 the closest mine workings would be approximately six miles  
21 to the northwest.

22 Q. Which -- Where is the acreage, Section 26 and 27,  
23 that we're looking at?

24 A. Well, it's kind of hard -- those townships are  
25 kind of hard to see, but basically where we are is right

1 here.

2 Q. In the southeast portion of the potash area?

3 A. Yeah, the very southern -- very southern part of  
4 the potash.

5 Q. And what is Exhibit 3, Mr. Gray?

6 A. Exhibit 3 is just a copy of the federal oil and  
7 gas lease that covers the lands under our Application  
8 today.

9 Q. And Devon is the operator of that lease?

10 A. Yes, we are.

11 Q. And was notice given to the federal government of  
12 this application?

13 A. Yes, it was.

14 Q. And is that reflected by Exhibit 6, the affidavit  
15 of notice?

16 A. Yes, it is.

17 Q. Did -- After they received notice of this, did  
18 they contact Devon with respect to this Application?

19 A. No, we have not received any contact from the BLM  
20 on this.

21 Q. Were Exhibits 1, 2, 3 and 6 prepared by you,  
22 under your supervision or compiled from company business  
23 records?

24 A. Yes, they were.

25 Q. And in your opinion is the granting of this

1 Application in the interests of conservation and the  
2 prevention of waste?

3 A. Yes, it is.

4 MR. BRUCE: Mr. Examiner, I tender the admission  
5 of Exhibits 1, 2, 3 and 6.

6 EXAMINER JONES: Exhibits 1, 2, 3 and 6 will be  
7 admitted to evidence.

8 EXAMINATION

9 BY EXAMINER JONES:

10 Q. The WIPP site boundary on this Exhibit Number 2,  
11 is that wholly contained within Township 22 South, Range 32  
12 East? It says WIPP there, and I --

13 A. I can't read the township. It looks like 22 --

14 Q. And thirty- --

15 A. -- 31, I guess it would be, 22-31.

16 Q. Okay.

17 A. Yeah.

18 Q. But it's all in -- How far away are you from the  
19 WIPP site? I guess that's the question to ask.

20 A. Looks like four or five miles.

21 Q. Okay. Okay, and --

22 (Off the record)

23 EXAMINER JONES: Do you commonly, on federal-  
24 owned acreage within the potash, just notify the feds on  
25 this type of application, or do you --

1 MR. BRUCE: That's what we've been doing in the  
2 past, Mr. Examiner. The application that was filed a few  
3 years ago for the acreage to the north, I think it included  
4 some acreage in Sections 10 and 11. I believe we did  
5 notify the potash lessee, because there was a potash lease  
6 within a mile of the proposed wells, and we notified the  
7 potash lessee and the BLM, and neither party objected.

8 EXAMINER JONES: But that was because the potash  
9 had a lease -- active lease, or just a lease within --

10 MR. BRUCE: It is a currently existing lease --

11 EXAMINER JONES: Existing --

12 MR. BRUCE: -- federal lease, there in Section 3  
13 and part of 4.

14 EXAMINER JONES: Okay. And in this case is that  
15 -- the same situation apply or not?

16 MR. BRUCE: I think if you look at the nearest  
17 federal lease, you know, it's not within a mile. I mean,  
18 it is a mile.

19 EXAMINER JONES: Okay, but it's over a mile away,  
20 basically?

21 MR. BRUCE: Yes.

22 Q. (By Examiner Jones) Okay. And so how many wells  
23 are we going for here? We're just going for the whole  
24 acreage, the section plus that 80 acres --

25 A. Right.

1 Q. -- in Section 26.

2 A. Right.

3 Q. Okay. And so you intend to rapidly drill some  
4 more wells out there?

5 A. Well, if we can get permits we will, yeah.  
6 That's always the problem.

7 EXAMINER JONES: The timing of Order R-111-P --  
8 I'm kind of new around here. Going between zero and P,  
9 what changed on that?

10 MR. BRUCE: Oh, boy, could I get Mr. Carr in here  
11 to testify about that?

12 (Laughter)

13 EXAMINER JONES: Well --

14 MR. BRUCE: He's older than me.

15 Mr. Examiner, I know additional acreage was  
16 added, certain -- I think the requirements changed with  
17 respect to the depths of wells that could be drilled  
18 within, say, whether it's a quarter mile, a half mile, a  
19 mile. You know, there are differences, obviously, between  
20 -- I forget what the cutoffs are. Maybe Mr. Gray could  
21 say. The Delaware are 5000-foot wells, and then down below  
22 you have to be more than a mile away for, say, a Morrow  
23 well, whereas a Delaware well you can be closer to the  
24 potash lease.

25 And then how LMRs are formed and how -- the

1 approval process. The LMRs are confidential to the potash  
2 company, the BLM and the State Land Office. And Mr. Gray  
3 could fill you in on -- more on this, if you care to  
4 question him. But getting APDs in this area is kind of a  
5 hunt-and-peck process. You don't really know what it is,  
6 so you apply; they say, No you can't, maybe try over here.  
7 Et cetera, et cetera.

8 The latest order -- I was involved in the latest  
9 order, and I can't remember everything but I think that  
10 latest order was in the late 1980s, R-111-P, and set the  
11 final -- and you ask what else changed. I think there were  
12 also changes to the casing and cementing programs.

13 EXAMINER JONES: Yeah, sounds like you remember  
14 it pretty well.

15 Q. (By Examiner Jones) This potash enclave,  
16 turquoise --

17 A. Uh-huh.

18 Q. -- is that not representative of the LMR, right?

19 MR. BRUCE: That is correct.

20 EXAMINER JONES: Okay.

21 MR. BRUCE: That we do know. And Mr. Gray can  
22 verify that a lot of times when you're seeking to drill --  
23 The potash enclave is the measure -- so-called economic  
24 potash. There are LMRs that extend well beyond that  
25 measure, even to barren areas.

1 EXAMINER JONES: Okay.

2 MR. BRUCE: So we do not know the process used by  
3 the potash company to designate an LMR, but oftentimes it  
4 does even include, you know, lesser reserves, uneconomic  
5 reserves of potash, or barren areas. So...

6 EXAMINER JONES: Do they work with the State Land  
7 Office or the BLM to establish these LMRs?

8 MR. BRUCE: Again, I think it's pretty much  
9 unilateral. They do file them with the BLM and the Land  
10 Office, and I suppose the BLM or the Land Office could  
11 challenge them. I don't know that that's ever been done.

12 Q. (By Examiner Jones) Okay. As far as the timing  
13 on that, you guys -- or Mr. Gray said earlier that there's  
14 many existing wells that are configured or cemented and  
15 cased in the same way you're proposing to do it this -- is  
16 that -- How far back is that, and was that before there was  
17 some order changes to the 111-P? That was my basic  
18 question.

19 A. I think pretty much all the wells on this map  
20 were drilled since about 1990, 1992 maybe.

21 Q. Okay.

22 A. I think that the change -- the cementing  
23 requirements probably started about that same time, and for  
24 whatever reason they just haven't been enforced.

25 EXAMINER JONES: Okay, you're going to have

1 another witness anyway.

2 MR. BRUCE: We're bringing up an engineer.

3 EXAMINER JONES: An engineer, okay.

4 MR. BRUCE: And in the -- we did present it, not  
5 this engineer, but a different engineer in the other cases,  
6 and he also testified about some of these matters.

7 EXAMINER JONES: Okay. Well, thanks for the  
8 analogy case too.

9 Thanks very much, Mr. Gray.

10 GERALD BROCKMAN,

11 the witness herein, after having been first duly sworn upon  
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. BRUCE:

15 Q. Would you please state your name for the record?

16 A. Gerald Brockman.

17 Q. Where do you reside?

18 A. I reside in Edmond, Oklahoma.

19 Q. Who do you work for and in what capacity?

20 A. I'm a senior well engineering advisor for Devon  
21 Energy.

22 Q. Have you previously testified before the  
23 Division?

24 A. No, sir.

25 Q. Could you tell the Examiner a little bit about



1 your educational and employment background?

2 A. Graduated from Texas Tech as a petroleum engineer  
3 in 1972, and I've worked in industry ever since in various  
4 capacities.

5 Q. What companies have you worked for, especially  
6 looking toward New Mexico, west Texas experience?

7 A. I worked for Conoco in my early years, and I had  
8 my own company for 21 years, and consulted for a multitude  
9 of companies.

10 Q. And you do have experience in southeast New  
11 Mexico --

12 A. Yes, sir.

13 Q. -- and west Texas?

14 A. Yes, sir.

15 Q. How long have you been employed by Devon?

16 A. About four months.

17 Q. Okay. And does part of your responsibility at  
18 Devon include this area of southeast New Mexico?

19 A. Yes, sir.

20 Q. And are you familiar with drilling matters  
21 related to these proposed wells?

22 A. Yes, sir.

23 MR. BRUCE: Mr. Examiner, I'd tender Mr. Brockman  
24 as an expert petroleum engineer.

25 EXAMINER JONES: Mr. Brockman, can you spell your

1 name, last name?

2 THE WITNESS: B-r-o-c-k-m-a-n.

3 EXAMINER JONES: Mr. Brockman is qualified as an  
4 expert petroleum engineer.

5 Q. (By Mr. Bruce) Mr. Brockman, could you identify  
6 Exhibit 4 and discuss how wells are allowed to be completed  
7 under Rule R-111-P?

8 A. Well, Exhibit 4 is primarily four wellbore  
9 sketches that they allowed this method to be used,  
10 depending upon the depths, the depth of the well drilled.  
11 The last two wellbore sketches apply to our case.

12 Wellbore sketch number 3, as you can see, they  
13 required you to circulate cement on all three strings with  
14 the intermediate string being set below the salt section.

15 On wellbore sketch number 4, the far right  
16 sketch, if you did not want to circulate cement on the long  
17 string, then you were required to run what I consider a  
18 redundant string through the salt, in essence cementing two  
19 strings back to the surface for that portion of the hole.

20 Now, what we found in previous studies is that  
21 most of the operators use the method that applied to sketch  
22 3, but from the amount of cement that they normally pumped,  
23 the cement never actually got within the intermediate  
24 casing. Okay? Most of those wells were cemented with an  
25 average of about 800 sacks, which again on the average

1 would have come back within 300 or 400 feet of that string.

2 Okay?

3 Now, our proposal, of course, is to cement the  
4 first two strings to the surface and then the third string,  
5 being the production string, to cement that back within the  
6 intermediate string. So in essence, you would have all of  
7 your open hole covered.

8 Q. Okay. And is Devon's proposal marked as Exhibit  
9 5?

10 A. Yeah, Exhibit 5 basically is, again, a wellbore  
11 schematic that shows exactly what I've just said. This  
12 would be a typical completion for us, that we would  
13 circulate both the surface as well as intermediate string.  
14 They'd have set through the salt, and then when we were on  
15 the 5-1/2 production string we would pump enough cement to  
16 get back at least 500 feet up inside the 8-5/8 intermediate  
17 string.

18 Q. This Exhibit 5 shows a TD on this particular well  
19 which is just a little bit to the south of 8700 feet. Are  
20 most of these wells 8000, 8500 feet, that depth range?

21 A. Yes, sir.

22 Q. Okay. And Devon has drilled, is it fair to say,  
23 dozens of wells with this configuration out in this area?

24 A. Yes, sir.

25 Q. And so have -- dozens of other wells drilled by

1 other operators reflect the same schematic, would they not?

2 A. That's correct.

3 Q. What's the difference in cost between completing  
4 a well, as is required on Exhibit 4, and completing it as  
5 we proposed on Exhibit 5, cost per well?

6 A. Oh, cost per well? The difference -- it is  
7 probably in the neighborhood of \$40,000 to \$50,000  
8 difference.

9 Q. And so looking -- depending on how many wells  
10 Devon can drill on this particular acreage, it looks like  
11 it could be 10 or 12 wells on this particular acreage,  
12 potentially drilled to the Delaware; is that correct?

13 A. Yes, sir, Delaware-Bone Springs.

14 Q. So you're looking at half-a-million-dollars-plus  
15 in cost savings?

16 A. Easily?

17 Q. Were Exhibits 4 and 5 prepared by you or under  
18 your supervision?

19 A. Yes, sir.

20 Q. And in your opinion is the granting of this  
21 Application in the interests of conservation and the  
22 prevention of waste?

23 A. Yes, sir.

24 MR. BRUCE: Mr. Examiner, I'd move the admission  
25 of Exhibits 4 and 5.

1 EXAMINER JONES: Exhibits 4 and 5 will be  
2 admitted to evidence.

3 EXAMINATION

4 BY EXAMINER JONES:

5 Q. I guess the reason for these stringent  
6 requirements in the orders across the salt or the potash is  
7 that -- Can you elaborate on why they wanted redundant  
8 casing and redundant cementing?

9 A. I truthfully don't know the answer to that  
10 question. In visiting with the engineer that has been over  
11 this area for a long time, he felt like basically they kind  
12 of reinterpreted what they had originally set out to do.

13 I mean, if you'll notice, when this first  
14 started, in the shallow case -- Look at Exhibit 2. If you  
15 ran your intermediate below the salt, they'd just let you  
16 tap the bottom. But then when we drilled a deeper well,  
17 all of a sudden in sketch 4, they want you to run two.

18 Q. So, Mr. Brockman, are these progression of rules  
19 as time went on in the potash area, or are these just for  
20 certain situations in the potash area?

21 A. As far as a progression, I honestly couldn't say.

22 MR. BRUCE: This is the current --

23 EXAMINER JONES: This is the whole --

24 MR. BRUCE: -- you know depending on depth,  
25 depending on depth.

1 EXAMINER JONES: Okay, depending on depth.

2 MR. BRUCE: But there are two alternatives --

3 EXAMINER JONES: I've got you, two alternatives.

4 MR. BRUCE: -- in each depth.

5 EXAMINER JONES: -- for each depth, okay.

6 Q. (By Examiner Jones) Okay, when you drill -- Can  
7 you go over real quickly the fluid that you drill with as  
8 you're starting the hole? In other words --

9 A. Okay, we -- surface is fresh water, and the  
10 intermediate section is brine.

11 Q. Okay.

12 A. And then, of course, we circulate that section of  
13 the hole to surface, and then we drill out again with fresh  
14 water.

15 Q. Okay.

16 A. Your production always drilled with fresh water.

17 Q. Okay. And do you have trouble on the -- In  
18 other words, between your surface casing string and the  
19 salt, is there some tertiary -- before you get to the  
20 Rustler anhydrite, there's tertiary redbeds, right?

21 A. Uh-huh.

22 Q. You have to drill those pretty -- You're drilling  
23 those with salt anyway, so it's pretty reasonably stable, I  
24 guess?

25 A. Yes, sir.

1 Q. Okay. So your salt doesn't wash out too bad, or  
2 your potash doesn't wash out too bad, when you drill with  
3 brine? Is that correct?

4 A. That's right.

5 Q. Does it matter how long you take drilling it? If  
6 you twist off or something, you end up with a big cavern  
7 down there; is that right?

8 A. You certainly could if you were there for an  
9 extended period of time. It would be naturally worse if  
10 you were drilling with fresh water than it would be with  
11 brine.

12 Q. Yeah, I remember instances when, you know, we'd  
13 lose a bottomhole assembly in the salt and it would be gone  
14 forever, you wouldn't ever find it again.

15 But you -- How much trouble have you had drilling  
16 through this --

17 A. Very little.

18 Q. -- salt?

19 A. Very little.

20 Q. Okay. Your rate of penetration through the salt,  
21 what would that be?

22 A. Well, your rate of penetration through the salt  
23 is, how much do you want?

24 Q. Okay.

25 A. It's about as fast as you can make connections.

1 Q. And what formation do you actually look for to  
2 set that intermediate pipe?

3 A. What we do is, we look for the last break in the  
4 salt section, and we drill below that and try to set right  
5 above the Delaware, right at or above the Delaware.

6 Q. Okay, so it goes straight from the salt into the  
7 Delaware?

8 A. Close to the Delaware.

9 Q. You don't have the Yates-Seven Rivers below the  
10 salt and above the Delaware?

11 A. Yeah, what we look for is that last -- We want to  
12 make sure that we're through all that salt.

13 Q. Do you base that on drill times or do you have a  
14 mudlogging outfit out there while you're drilling the  
15 intermediate?

16 A. We've -- To be truthful, we've drilled so many  
17 wells that we have the -- basically the same rig, the same  
18 consultant, they know what to look for, and we normally do  
19 not have a mudlogger on this section of the hole, yeah.

20 Q. What about your cementing of that intermediate?  
21 Do you use a DV tool?

22 A. No.

23 Q. You don't need one?

24 A. Don't need one.

25 Q. So how much over --



- 1 A. Excess?
- 2 Q. -- excess do you need?
- 3 A. A hundred percent.
- 4 Q. A hundred percent over?
- 5 A. Uh-huh.
- 6 Q. So basically the whole volume --
- 7 A. Twice.
- 8 Q. -- or the annulus volume times two --
- 9 A. Yeah.
- 10 Q. -- and that pretty much gets it to the surface?
- 11 A. Yes, sir.
- 12 Q. What kind of weight do you use on the cement?
- 13 What kind of -- type of cement?
- 14 A. It's normally about a 13/8 cement, uh-huh.
- 15 Q. For the tail?
- 16 A. Yeah.
- 17 Q. And you lead it with something lighter than that?
- 18 A. Yeah.
- 19 Q. And how long do you wait to drill out after --
- 20 A. Well, normally we're not -- on the - the rules
- 21 say -- what we normally do, we have to let everything set
- 22 with pressure for at least eight hours.
- 23 Q. Okay, and that's long enough?
- 24 A. Yeah.
- 25 Q. Okay.

1           A.    But then you know, by the time you nipple up and  
2 everything, you're looking at 12, 18 hours.

3           Q.    Okay.  And you have to switch over to the smaller  
4 size hole assembly and everything?

5           A.    Yeah.

6           Q.    On your production casing -- and you drilled that  
7 hole with fresh water, with some clay fix or something in  
8 it, some kind of -- Okay, so you don't have any trouble  
9 drilling that hole.

10           And when you cement it, what kind of cement job  
11 do you use on that?  And how are you going to assure that  
12 it gets 500 feet up in the intermediate?

13           A.    Well, from what we've seen, you can normally get  
14 at least 6000 foot of lift from a single stage, okay?

15           Q.    Okay.

16           A.    Now, there have been instances where, you know,  
17 we've had lost circulation.  If that's the case, then we'll  
18 two-stage that --

19           Q.    Okay.

20           A.    All right?  -- to ensure that we get that cement  
21 up inside the intermediate casing.

22           Q.    And where does that lost circulation typically  
23 occur if it does occur?

24           A.    Normally somewhere between 5000 and 5300 feet.

25           Q.    Okay.  And at that point you set a DV -- you re-

1 design your string to stick a DV tool in at 5000 feet or  
2 so?

3 A. Yes, sir, uh-huh.

4 Q. And so -- Do you always run a bond log after  
5 this? Are you proposing to run a bond log after --

6 A. Yeah, production requirements, normally run the  
7 bond logs, uh-huh.

8 Q. And your top -- your cement job above your DV  
9 tool is what? That would be about the same as you're  
10 talking about across the salt, the 13-pound-a-gallon?

11 A. Yeah, approaching 14-pound-per-gallon.

12 Q. Okay. Are you using class H now or what?  
13 Because I heard there's assorted --

14 A. Well, you know, we have had to do that, yeah, as  
15 you say, because of shortages.

16 EXAMINER JONES: Okay, that's -- this all sounds  
17 real reasonable to me, and I think \$500,000 pays for Mr.  
18 Gray and Mr. -- this guy to come to Santa Fe, and so -- I  
19 appreciate it, Mr. Brockman.

20 THE WITNESS: Yes, sir.

21 MR. BRUCE: I have nothing further in this  
22 matter, Mr. Examiner.

23 EXAMINER JONES: Okay, Gail, do you have any  
24 questions?

25 MS. MacQUESTEN: No questions, thank you.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

EXAMINER JONES: Okay, thanks very much.

With that, we'll take Case 13,580 under  
advisement.

(Thereupon, these proceedings were concluded at  
9:10 a.m.)

\* \* \*

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. \_\_\_\_\_  
heard by me on \_\_\_\_\_, Examiner  
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL October 28th, 2005.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 16th, 2006