

1 STATE OF NEW MEXICO  
2 ENERGY AND MINERALS DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BLDG.  
5 SANTA FE, NEW MEXICO  
6 12 OCTOBER 1983

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Phillips Petroleum Company for the amendment of Division Orders R-3181 and R-3181-A, Lea County, New Mexico. CASE 7974

10  
11  
12 BEFORE: Richard L. Stamets, Examiner

13  
14 TRANSCRIPT OF HEARING

15  
16 A P P E A R A N C E S

17  
18 For the Oil Conservation  
19 Division:

W. Perry Pearce, Esq.  
Legal Counsel to the Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

20  
21  
22 For the Applicant:

W. Thomas Kellahin, Esq.  
KELLAHIN & KELLAHIN  
P. O. Box 2245  
Santa Fe, New Mexico 87501

23  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

MICHAEL BROWNLEE

Direct Examination by Mr. Kellahin 3

E X H I B I T S

Applicant Exhibit One, Plat	4
Applicant Exhibit Two, Map	6
Applicant Exhibit Three, History	10
Applicant Exhibit Four, Graph	11
Applicant Exhibit Five, Tabulation	12
Applicant Exhibit Six, Schematic	13
Applicant Exhibit Seven, Schematic	13
Applicant Exhibit Eight, Schematic	13
Applicant Exhibit Nine, Summary	15
Applicant Exhibit Ten, Tabulation	15
Applicant Exhibit Eleven, Water Information	16
Applicant Exhibit Twelve, Order 3181	17
Applicant Exhibit Thirteen, Order 3181-A	17
Applicant Exhibit Fourteen, Proposed Changes	17
Applicant Exhibit Fifteen, Proposed Changes	17

1  
2  
3 MR. STAMETS: We'll move on to  
4 Case 7974.

5 MR. PEARCE: That case is on  
6 the application of Phillips Petroleum Company for the amend-  
7 ment of Division Orders R-3181 and R-3181-A, Lea County, New  
8 Mexico.

9 MR. KELLAHIN: If the Examiner  
10 please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing  
11 on behalf of the applicant and I have one witness to be  
12 sworn.

13 MR. PEARCE: Are there other  
14 appearances in this matter?

15 (Witness sworn.)

16 MICHAEL BROWNLEE,  
17 being called as a witness and being duly sworn upon his  
18 oath, testified as follows, to-wit:

19 DIRECT EXAMINATION

20 BY MR. KELLAHIN:

21 Q Mr. Brownlee, for the record would you  
22 please state your name and occupation?

23 A I'm Michael H. Brownlee. I'm a reservoir  
24 engineer for Phillips Petroleum in Odessa, Texas.

25 Q Mr. Brownlee, have you previously testi-  
fied before the Division as a reservoir engineer and had

1  
2 your qualifications accepted and made a matter of record?

3 A Yes.

4 Q And as a reservoir engineer for Phillips  
5 Petroleum Company have you made a study of the facts  
6 surrounding this particular application?

7 A Yes, sir.

8 MR. KELLAHIN: Mr. Examiner, we  
9 tender Mr. Brownlee as an expert reservoir engineer.

10 MR. STAMETS: He is considered  
11 qualified.

12 Q Mr. Brownlee, let's skip the first exhibit,  
13 which is not identified by exhibit number but is the  
14 Commission Form C-108, and have you turn to what we've  
15 labeled as Exhibit Number One, which is a plat showing the  
16 Vacuum Abo Unit of Lea County, New Mexico.

17 Using that as our first exhibit, Mr.  
18 Brownlee, would you please identify for us what is indicated  
19 by the blue hatched line running from the northeast to the  
20 southwest corner of the map?

21 A The blue hatched line is the outer bound-  
22 ary of the Vacuum Abo Unit as it exists today.

23 Q All right, sir, and what is the signifi-  
24 cance of the red lines that have divided the unit into three  
25 parts?

A The area between the two red lines is the  
pressure maintenance project area as it exists today, as  
outlined by Order 3181-A.

1  
2 Q All right, the original Commission Order  
3 3181 is the one that approved the pressure maintenance pro-  
4 ject and that's the area contained within the two red lines?

5 A Essentially, yes.

6 Q And then that order was subsequently  
7 changed by Order Number R-3181-A.

8 A Correct.

9 Q All right. What's the significance of  
10 the three wells that are identified in various ways on the  
11 exhibit, some are circled in red and I think others are  
12 identified in yellow? What are those three wells?

13 A All right, those three wells, all of  
14 which have a cross through them, are the three gas injection  
15 wells by which we are injecting gas into the unit at this  
16 time, and it's the existence of those three wells that pro-  
17 vides for the project area.

18 Q All right, sir. What do you propose to  
19 do now with this application?

20 A With the approval of this application we  
21 will amend order -- the two orders that we've discussed to  
22 allow for the injection of water into this unit through the  
23 10 wells that are shown with the arrows through them on Ex-  
24 hibit One.

25 Q You'll continue to use the gas injection  
wells as gas injection wells.

A That's correct.

1  
2 Q And what we're doing is adding then the  
3 ten -- converting ten producing wells to water injection  
4 wells.

5 A Right.

6 Q All right, sir, what else to you want to  
7 do?

8 A Well, by the injection of water, we also  
9 wish to expand the project area, the pressure maintenance  
10 project area, to include everything within the boundaries of  
11 the unit.

12 Q All right, sir.

13 All right, let's go to a map that's on a  
14 little larger scale, which is Exhibit Number Two, Mr. Brown-  
15 lee.

16 All right, what have you depicted on Ex-  
17 hibit Number Two?

18 A Well, as required by rules on the Form C-  
19 108 we've identified all of the wells within the half mile  
20 radius, or a two mile radius of each of the proposed injec-  
21 tion wells.

22 We've also drawn in a circle -- ten  
23 circles, actually, which just the intersections are shown  
24 here, and identified on a table which we'll talk about  
25 later, all of the wells that do penetrate the Abo formation.

The yellow line is the unit boundary and  
the ten red arrows do point at the proposed injection wells.

Q Before we get into the other requirements

1  
2 of the Form C-108, let's talk about what you propose to  
3 accomplish with the water injection wells patterned in the  
4 particular configuration you have recommended.

5 A Well, geologic data was submitted during  
6 the first hearing whenever we did get the pressure  
7 maintenance order, and that data does show that this is a  
8 reef, is a massive reef structure with the high point on the  
9 structure actually being -- running lengthwise along the  
10 center of this unit.

11 By injection down structure into these --  
12 into these wells on the back and fore fronts of the reef, we  
13 do plan to recover approximately 14-million barrels of oil  
14 by repressuring and by moving the oil up structure into  
15 wells where it can be recovered.

16 Q What happens to this Abo Reef as you move  
17 to the south and east?

18 A The area inside the unit is a massive  
19 reef. Now as you can see there, as depicted by the  
20 triangles, there are other wells completed in the Abo to the  
21 -- to the southeast; however, those wells are not actually  
22 on the massive reef itself. Those are detrital deposits;  
23 however, they are designated as the Vacuum Abo as a field  
24 name, but don't actually share in the same -- in the same  
25 reservoir.

26 Q All right, sir, what happens when we move  
27 to the north and west of the reef? What kind of wells do we  
28 find out there?

1  
2 A To the north and west we really don't  
3 have any -- any Abo producers. The formation is just not  
4 there to be produced.

5 To the, let me go on directly to the --

6 Q Yeah, let me, before you leave, on the  
7 north and west, what kind of wells do we find out in that  
8 area?

9 A Our deepest completions are in the Glo-  
10 rieta, which are approximately 2500 to 3000 feet shallower  
11 than the Abo formation.

12 Q All right, sir. Now, on the southwestern  
13 corner here, adjacent to the Texaco and Getty acreage, what  
14 happens to this Abo Reef formation at that point?

15 A The actual producible high of the struc-  
16 ture exists on Section 7, Township 18, Range 35, on tracts  
17 leased by Getty and Texaco and Exxon.

18 The structure tends to run from a low on  
19 the very northeastern part of our unit to a high, as I just  
20 quoted, on Section 7.

21 Q What will be the source of the water that  
22 you'll use for injection water in the ten injection wells?

23 A At present we are going to use just pro-  
24 duced water and this produced water will come from Rice En-  
25 gineering Vacuum 35 Salt Water Disposal System, which they  
operate in Section 35 of Township 17, Range 35.

Q All right, I see in the northeast corner

1  
2 of Section 35 there are at least two salt water disposal  
3 wells indicated on the exhibit.

4 A Right. Those are Rice's.

5 Q All right, Rice Disposal System takes  
6 produced water from your unit and is disposing of that water  
7 into those disposal wells?

8 A Correct.

9 Q And you propose then to take the water,  
10 instead of disposing of it into the disposal wells, to  
11 re-inject it in your injection wells.

12 A That's correct.

13 Q What other sources of water will you  
14 have?

15 A It hasn't been contracted as yet but we  
16 -- but Mobil operates a Ogallala completed fresh water well  
17 in Unit B of Section 5, Township 18, Range 35, and it's not  
18 shown on this map, but it's just outside our unit boundary.

19 Q Okay, in Section 5, Unit B --

20 A Right.

21 Q -- there is a --

22 A There's a fresh water well.

23 Q There's a fresh water source there?

24 A Right. And we feel that that water can  
25 also be used for injection in the future.

Q The current pressure maintenance order,  
R-3181, as amended, shows what I'll call a rather complex  
formula for determining allowables and all the rest for the

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

gas injection wells.

Now, insofar as that order is concerned, is it necessary to amend any of those pressure maintenance provisions?

A No.

Q All right, what we're talking about doing is inserting the use of water for the injection into these ten wells.

A That's true.

Q You have some specific proposals; we'll talk about language shortly.

Before we leave the exhibit, then, Mr. Brownlee, within the area of review, I assume you've made a tabulation of all those wellbores that have penetrated the Abo.

A Yes.

Q All right. That tabulation is exclusive of four plugged and abandoned wells where -- for which you have prepared or are preparing schematics.

A Correct.

Q All right, let's turn to those now.

I've got a couple exhibits before I get to that one, Mr. Brownlee.

Let's talk about your production forecast. First of all, Exhibit Number Three is your past history on the -- on the pressure maintenance project. Would you identify that exhibit for us?

1  
2           A           Yes, sir. It's just a, for a matter of  
3 record, the unitization was done February 1st of 1967, pro-  
4 duced under primary recovery until gas injection was started  
5 in March of 1970.

6                       We've produced approximately 47-million  
7 barrels of oil inside the unit since that time.

8                       At present we produce approximately 2000  
9 barrels of oil a day, 5000 barrels of water, 3.8-million  
10 cubic feet of gas, and we inject approximately 1.2-million  
11 cubic feet.

12           Q           All right, sir, let's look at Exhibit  
13 Four, which is the forecast of what you anticipate will hap-  
14 pen with the water injection.

15           A           At present we have, as is shown by this  
16 blue highlighted line at the top, we have about 15,000 bar-  
17 rels of water available for injection. For simplicity's  
18 sake I started it at the first of the year.

19                       We have enough gas to move our gas injec-  
20 tion up to about 2-million cubic feet a day and continue  
21 that through 1991, which is a point picked solely because  
22 it's on a dip, it's on the decline side of the -- of the oil  
23 production forecast.

24                       The oil production forecast shows that we  
25 have a 15-year project which will peak in about 1989 at 6000  
barrels of oil a day.

                      Q           What's the source of the gas used in the  
gas injection wells?

1  
2 A The gas is residue returned to us from  
3 Phillips' Lea plant after processing.

4 Q Gas produced on the unit?

5 A Yes, gas produced on the unit.

6 Q Let's go to Exhibit Number Five, now, Mr.  
7 Brownlee, which your tabulation of wellbores penetrating the  
8 Abo.

9 Was this prepared by you or compiled un-  
10 der your direction?

11 A Yes.

12 Q In your review of the various wellbores  
13 that penetrate the Abo, Mr. Brownlee, are you aware of any  
14 of these wellbores that constitute what I will call problem  
15 wells?

16 A No, all of the wells, predominantly the  
17 cement on the production casing ties back into the interme-  
18 diate casing and even in the cases where it does not, the  
19 top of that cement is identified well above the Abo, the top  
20 of the Abo Reef.

21 Q Generally what is the location vertically  
22 of fresh water sources in the area in relation to the Abo?

23 A The Ogallala is the -- is the fresh water  
24 that's used in the area, and it's approximately 50 to 100  
25 feet deep.

Q Are there --

A Well above this zone.

Q And what producing horizons exist between

1  
2 the Glorieta and the Abo?

3 A None.

4 Q Well, do you have San Andres production?

5 A San Andres production exists above the  
6 Glorieta. I should make note here that we are in the geo-  
7 graphical location of the East Vacuum-Grayburg-San Andres  
8 Unit, which is already -- is a pressure maintenance project  
9 and has already taken great care and caution to seal off any  
10 contamination from the San Andres up.

11 Q All right. Leaving the tabulation, Mr.  
12 Brownlee, let's go to Exhibits Six, Seven, and Eight, which  
13 are three of the four wellbore schematics for plugged and  
14 abandoned wells in the area.

15 A Exhibit Six is the Standard of Texas, now  
16 Chevron USA, (inaudible) No. 1, located in Unit O of Section  
17 4, Township 18, Range 35.

18 This well was the original well drilled,  
19 actually, drilled to the Devonian, with casing set at 9072  
20 feet, below the Wolfcamp correlation point.

21 Q In your opinion as a reservoir engineer,  
22 Mr. Brownlee, has this well be properly plugged and aban-  
23 doned to isolate the Abo formation?

24 A Yes.

25 Q All right, sir, let's go to Number Seven,  
then, and have you give us your opinion about the way this  
well has been plugged and abandoned.

A Again, the Cities Service State K No. 5

1  
2 that has met state regulations in the manner in which it was  
3 plugged and sealed off the Abo formation such that we don't  
4 expect any problems.

5 Q All right, sir, let's go to Exhibit Num-  
6 ber Eight.

7 A Again, the same, Phillips Santa Fe No. 3,  
8 with cement plugs covering the Abo formation.

9 Q All right. The fourth plugged and aban-  
10 doned well for which we need to submit a schematic is in  
11 Section 35, is it not, Mr. Brownlee?

12 A Yes, it is.

13 Q And where in Section 35 is it?

14 A It's in Unit A of Section 35. It's Well  
15 No. 2 and it's marked with a plugged and abandoned designa-  
16 tion. It's on what is designated there as TBC&O lease.  
17 That well is actually, as I've come to learn, was actually  
18 drilled and completed by Mac Jones, and also abandoned by  
19 that company.

20 I did not realize that at the time when I  
21 was doing the search for the plugged and abandonment. I  
22 have since had an associate go to the Division Office in  
23 Hobbs yesterday, and we should have a schematic ready for --  
24 to put in the mail to the Commission tomorrow.

25 Q All right, sir. Based upon the informa-  
26 tion you've learned about that well, do you have an opinion  
27 as to whether that well has been properly plugged  
28 and abandoned?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A I don't know yet.

Q All right, sir.

Let's turn now to Exhibit Number Nine and Ten. Let's look at those together.

Nine is your written summary of how you're going to convert the producing wells to injection and then Ten is the tabulation of all the wellbore schematics for the injection wells.

A Five of the wells, five of the ten wells that we plan to convert to injection have been plugged in the Abo formation, not such that the entire Abo formation is plugged but such that when the water encroachment came into the well we plugged them back so that we could get more economical completions.

Those five are designated there at the top of Exhibit Nine.

What we basically plan to do is to move in a completion unit and drill out the plugs that are there, reperforate those lower intervals, acidize so as to stimulate them, and then put the wells on injection in accordance with regulations.

The other five wells do not have these plugs and we will go with completions just as they are.

Q What is your proposed injection volumes for each of the injection wells?

A Should average about 2000 barrels a day with a maximum of up to 4000.

1  
2 Q Do you know whether or not these injec-  
3 tion wells will take the water under gravity or will you re-  
4 quire some surface pressure?

5 A With current bottom hole pressure surveys  
6 that we've run, we don't feel that we will incur any surface  
7 injection pressure at all for some time.

8 Q So if the order by the Division approves  
9 a surface limitation of not to exceed .2 of a pound per foot  
10 of depth, you can live within that pressure.

11 A Sure.

12 Q All right, let's go to Number Eleven and  
13 have you tell us what is indicated by this exhibit.

14 A As I said earlier, the water sources  
15 we'll have will be from Rice Engineering and from the Mobil  
16 fresh water source well, and that is, as on the front page  
17 of this, Water Source Well No. 8, and that is -- it's desig-  
18 nated here as Rice, but that's actually Mobil's well.  
19 That's our fresh water well.

20 What we've done is actually taken and  
21 gotten analysis of those two waters and since the Rice  
22 system does contain so much Vacuum Abo water, we feel that  
23 -- that the Vacuum Abo analysis would be real similar and  
24 we've actually run some mixtures from the -- between the  
25 salt water disposal system and the Water Source Well No. SO-  
8, looking for any problems in particulates falling out,  
precipitants forming, and this is actually the data that we  
built and analysis of that doesn't show that we will have

1  
2 any serious problems with plugging or contamination of the  
3 Abo Reef by injection of this water.

4 Q How do you propose to handle the water  
5 that comes from the Rice Disposal System back into the  
6 injection wells in order to insure that hydrocarbon contami-  
7 nants that may exist in that water are not re-injected in  
8 the injection wells?

9 A We have allocated money for a skim and  
10 separation tank that might pick up any of the contaminants.

11 Q All right.

12 MR. KELLAHIN: If the Examiner  
13 please, the geologic data that's necessary to complete the  
14 application is found in abundant quantities in the case file  
15 in 3181.

16 We'd like to incorporate that  
17 by reference if you'll permit us to do so.

18 MR. STAMETS: Yes, we will be  
19 happy to do that.

20 Q Mr. Brownlee, let me direct your atten-  
21 tion now to the specific previous orders that have been en-  
22 tered on the pressure maintenance project, and have you  
23 identify for us the exact language that you would propose to  
24 have included in the new order in order to accomplish what  
25 you seek.

In that regard, let's refer to Exhibits  
Twelve, Thirteen, Fourteen, and Fifteen.

I have marked Fourteen and Fifteen your

1  
2 proposed rule changes.

3 Twelve is Exhibit 3181; Thirteen is 3181-  
4 A.

5 Let's start with Order R-3181 and let's  
6 turn, I think, to page three and at the end of not rule one  
7 but at the end of paragraph one and just before we start  
8 paragraph two, right in the middle of the page? All right.

9 A We propose to insert the two paragraphs  
10 shown on Exhibit Fourteen, which would expand -- outline the  
11 pressure maintenance project area to include all area inside  
12 the unit boundary.

13 I'm sorry, pardon me.

14 Paragraph one is for the actual conver-  
15 sion of the ten wells.

16 Q It identifies the ten wells to be  
17 converted to water injection.

18 A Right.

19 Q Paragraph one of this order talks about  
20 approval of the wells for gas injection, right?

21 A Right.

22 Q And we're inserting just below that para-  
23 graph a new paragraph, which would be numbered, in order to  
24 do it correctly, would be number two and three.

25 A Right.

Q Number these two and three and then the  
existing number two becomes number four.

All right, sir, apart from that change,

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

where does the next change occur?

A The next change would occur, would be special rule number one.

Q On the same page.

A Right.

Q All right, sir.

A This rule was amended in 3181-A, and it pertains to the project area that I've just discussed awhile ago.

Q The amendment at this point would include the expansion of the project area to include the entire area of the unit.

A Right.

Q All right. All right, there is one more change, I believe, Mr. Brownlee, and I think that occurs on page four of this order.

A Right, in rule seven, approximately halfway through that paragraph, there is a phrase that says this: "As a well receives a substantial response to gas injection"...now I've highlighted on that page the word "gas".

We would like, since we are going to have both gas injection and water injection in this projection at this time, we would like to delete that word from the order.

In most, in several other points in this order the word "injection" will -- is used by itself without the adjective "gas" there, so we would just like to really

1  
2 stick with the same type of language as used throughout the  
3 rest of the order.

4 Q By the deletion of the word "gas" from  
5 order -- rule number seven, then the only thing you have  
6 done is added the availability of using water injection  
7 wells.

8 A Correct.

9 Q And it won't change any of the other for-  
10 mulas or calculations as to how the different credits are  
11 applied for the gas injection.

12 A That's right.

13 MR. STAMETS: Okay, on page  
14 five of that first order there's a formula for determining,  
15 oh, the wells daily adjusted allowable, and that takes into  
16 account only gas injection. Now is that going to continue  
17 to be the case?

18 A Yes, sir.

19 MR. STAMETS: And is there  
20 going to be a bonus for the water injection at all?

21 A No, sir.

22 MR. KELLAHIN: Gets an allow-  
23 able but it doesn't get that gas injection bonus.

24 MR. STAMETS: Okay.

25 A The allowables for the injection wells  
are outlined on rule five, page four.

MR. STAMETS: Okay, very good.

MR. KELLAHIN: If the Examiner

1  
2 please, we do not have available for you the required  
3 notices to the offsets and the surface owners. We are  
4 getting those and would like to submit those subsequent to  
5 the hearing, if that's acceptable.

6 That concludes my examination  
7 of Mr. Brownlee.

8 We would move the introduction  
9 of Exhibits One through, I believe, Sixteen is the last one.

10 MR. STAMETS: The exhibits will  
11 be admitted.

12 Were those notices indeed made?

13 MR. KELLAHIN: Yes, but we  
14 didn't make them within the fifteen days prior to the  
15 hearing date and so we need to notify, explain to all those  
16 people that we've had the hearing but they still have the  
17 option of object.

18 MR. STAMETS: All right.

19 Are there any questions of the  
20 witness?

21 MR. KELLAHIN: We'd be happy to  
22 draft an order for your review, if you would like.

23 MR. STAMETS: I would really  
24 appreciate that under the current circumstances that have  
25 absolutely nothing at all to do with this case.

If there are no questions the  
witness may be excused and if there is nothing further the  
case will be taken under advisement.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 7974 heard by me on 10-13 1983.  
Richard P. Starn Examiner  
Oil Conservation Division