

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )

APPLICATION OF PARALLEL PETROLEUM )  
CORPORATION FOR THE ADOPTION OF SPECIAL )  
RULES AND REGULATIONS FOR THE WALNUT )  
CREEK-WOLFCAMP GAS POOL, CHAVES COUNTY, )  
NEW MEXICO )

CASE NO. 13,986

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, Jr., Technical Examiner  
DAVID K. BROOKS, Jr., Legal Examiner

September 20th, 2007

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, Jr., Technical Examiner, DAVID K. BROOKS, Jr., Legal Examiner, on Thursday, September 20th, 2007, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

RECEIVED  
2007 OCT 3 PM 1 51

## I N D E X

September 20th, 2007  
 Examiner Hearing  
 CASE NO. 13,986

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>DEANE DURHAM</u> (Engineer) Direct Examination by Mr. Kellahin	7
<u>MIKE MOYLETTE</u> (Geologist) Direct Examination by Mr. Kellahin	14
<u>DEANE DURHAM</u> (Engineer, recalled) Direct Testimony Direct Examination by Mr. Kellahin Examination by Examiner Jones Examination by Examiner Brooks	32 44 45 58
<u>MICHAEL M. GRAY</u> (Landman) Direct Examination by Mr. Kellahin Examination by Examiner Brooks Examination by Examiner Jones Further Examination by Examiner Brooks Further Examination by Examiner Jones	60 61 62 63 64
REPORTER'S CERTIFICATE	68

\* \* \*

## E X H I B I T

Applicant's	Identified	Admitted
Exhibit 1	44	45

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

DAVID K. BROOKS, JR.  
Assistant General Counsel  
Energy, Minerals and Natural Resources Department  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   8:38 a.m.:

3           EXAMINER JONES: Okay, let's call Case 13,986,  
4   which is the Application of Parallel Petroleum Corporation  
5   for the adoption of special rules and regulations for the  
6   Walnut Creek-Wolfcamp Gas Pool, Chaves County, New Mexico.

7           Call for appearances.

8           MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
9   the Santa Fe law firm of Kellahin and Kellahin, appearing  
10   on behalf of the Applicant this morning, and I have three  
11   potential witnesses to be sworn.

12          EXAMINER JONES: Any other appearances?

13          Will the witnesses please stand to be sworn?

14          (Thereupon, the witnesses were sworn.)

15          MR. KELLAHIN: Mr. Examiner, we'll try not to  
16   scare you with all this stuff. The initial impression is,  
17   there's a lot of information here and it's overwhelming for  
18   a short hearing.

19                 The concept was to give you the opportunity to  
20   have a full and complete review of the Wolfcamp exploration  
21   that's going on in New Mexico with Parallel and others, in  
22   which the practice has become to drill two horizontal  
23   wellbores in the same 320-acre spacing unit. That is  
24   occurring in the southern end of this play, in an area  
25   called the Cottonwood Creek Pool. And it's being done

1 through an administrative process for EOG. Every time they  
2 want to drill the second well, they are filing an  
3 administrative application that the Division must process  
4 in order to have that approved.

5 What Parallel has done on my recommendation is,  
6 north of this in an area that's been identified by the  
7 District as a new pool called Walnut Creek, the Walnut  
8 Creek Pool is our attempt to adopt special rules for that  
9 area in which you're allowed by rule to have the second  
10 well.

11 The presentation we're about to make to you has  
12 been upgraded from the one that Mr. Brooks and Mr. Ezeanyim  
13 saw in February of this year, which was a detailed  
14 presentation by PowerPoint setting up the science of this  
15 and the methodology in which the operators have chosen to  
16 develop this in the way they've chosen.

17 For your purposes, we will try to key you on the  
18 points of information necessary for you to enter an order  
19 and make a decision about the specific subject of this. In  
20 doing so, we'll try to briefly hit the highlights of how  
21 this study was evolved, the pieces of the puzzle, and in  
22 doing so at least give you the chance to ask questions, and  
23 if not now, to have the DVD program of the slide show --  
24 the exhibit book tracks by page number the slides that  
25 you're about to see on the screen. The larger

1 documentations are big copies of what on the screen turn  
2 out to be very small cross-sections or structure maps,  
3 which are impossible to use on a regular basis.

4 So that is sort of the scope of our effort today.

5 In addition, with your permission, we'll do  
6 something a little unusual. The first witness is our  
7 engineering witness, and Mr. Durham is going to make the  
8 introduction. And with your permission, I'd like to  
9 temporarily excuse him and call Mr. Moylette, the  
10 geologist, let him give us the summary of the geology, and  
11 then we'll recall Mr. Durham to give you the engineering  
12 science upon which he has made conclusions based upon the  
13 prior geologic presentation. And at the end of that  
14 process we hope we've answered your question.

15 In addition, I have available to you Mr. Mike  
16 Gray, who's the petroleum landman for this company. He and  
17 I have both made a diligent search, and pursuant to the  
18 Division Rules with regards to special pool rules you're  
19 going to find that the only operator within this pool as  
20 currently designated -- or within a mile the only operator  
21 is Parallel. So under the current rule we do not have any  
22 other parties to notify. However, we chose to notify all  
23 the interest owners of current production in these  
24 wellbores, and so that was done.

25 Finally, as a further footnote, the Division has

1 recently approved for the south half of Section 16 two  
2 wells, the Swale 1 and the Swale 2, and it has done that  
3 administratively with the assistance of Mr. Brooks and Mr.  
4 Ezeanyim, and we do now have that approved.

5 So our efforts now are to get a generalized rule  
6 for the pool that we can use for the further development of  
7 this concept for accessing production in the Wolfcamp that  
8 we might not otherwise obtain.

9 EXAMINER JONES: Okay, thank you.

10 EXAMINER BROOKS: The chief engineer will be very  
11 pleased with your --

12 MR. KELLAHIN: We expect his gratitude.

13 EXAMINER BROOKS: Go ahead.

14 DEANE DURHAM,  
15 the witness herein, after having been first duly sworn upon  
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Mr. Durham, sir, please state your name and  
20 occupation.

21 A. My name is Deane Durham. I'm the engineer for  
22 Parallel Petroleum Corporation.

23 Q. Where do you reside, sir?

24 A. Midland, Texas.

25 Q. On prior occasions have you testified before the

1 Division as a petroleum engineer?

2 A. No.

3 Q. Summarize for the Examiner when and where you  
4 obtained your degree.

5 A. University of Texas, 1987.

6 Q. What has been your involvement on behalf of your  
7 company with this horizontal drilling program?

8 A. They've made -- the New Mexico engineer. I'm in  
9 charge of the complete well operations from staking through  
10 construction, drilling, completion and production.

11 Q. Were you present here in the Division hearing  
12 room back in February of this year when an informal  
13 presentation was made to the Division technical staff  
14 concerning this topic?

15 A. I was.

16 Q. Have you been involved with Parallel's horizontal  
17 wellbores being drilled and permitted in this area?

18 A. Yes.

19 Q. Are you knowledgeable about the wellbores being  
20 drilled and permitted by EOG and other operators?

21 A. Yes.

22 Q. Have you worked in association with a qualified  
23 petroleum geologist to study the geology?

24 A. Yes, we have.

25 Q. And based upon all this effort, do you now have

1 conclusions and opinions about what the Division should do  
2 in managing this production?

3 A. Yes, sir.

4 MR. KELLAHIN: We tender Mr. Durham as an expert  
5 petroleum engineer.

6 EXAMINER JONES: How do you spell your last name?

7 THE WITNESS: D-u-r-h-a-m.

8 EXAMINER JONES: Okay, Mr. Durham, you're  
9 qualified as an expert in petroleum engineering.

10 Q. (By Mr. Kellahin) Please proceed.

11 A. Gentlemen, this is a rather lengthy PowerPoint  
12 presentation, and you have the presentation in its entirety  
13 in your booklet. The live demonstration itself could go on  
14 as long as an hour and a quarter, and we'll try to shorten  
15 that by moving through some slides that are apparent, and  
16 then I won't bore us all by reading every point given.

17 I'm sorry, may I stand up?

18 Q. Yes, sir.

19 A. The evidence you'll be given today will support  
20 the necessity for 160-acre density for horizontal drilling  
21 in the Wolfcamp formation, and feel like not only for this  
22 pool, named the Walnut Creek, but it will also support, I  
23 believe, in the entire 300,000 acres of the Wolfcamp  
24 horizontal gas play as we go forward.

25 So what we'll present today, the Wolfcamp

1 formation of southeast New Mexico is productive, and it's  
2 very similar across the whole 300,000 acres. This play is  
3 economic -- it's not economic using old conventional  
4 vertical drilling methods and completion methods.

5 Not just this pool, but the entire play can be  
6 economically produced using horizontal drilling and multi-  
7 stage slickwater-type fracture techniques.

8 The data you'll be seeing today is in four major  
9 categories. There is a transient pressure analysis that  
10 was actually seen here on February 13th. I'll run through  
11 that quickly, because it has been presented here before, it  
12 is public data.

13 There's a one-page analysis that confirms the  
14 permeability and porosity of that transient pressure  
15 analysis, and then there's a recommendation for a fracture  
16 half-length in order to produce on a 160-acre density.

17 The next area is microseismic studies. There is  
18 one in this presentation. There's an additional one on  
19 your CD that we'll not present here, but it -- both of them  
20 support the fact that the way Parallel fractures their  
21 wells actually is less than the 1100-foot recommended  
22 fracture half-length.

23 And then there's production data on four wells in  
24 a section that supports the recovery factor for four wells  
25 per section or a density of 160 acres pre well. And then

1 finally there'll be some engineering calculations,  
2 volumetric calculations that also support this 160-acre  
3 density.

4           And when it's all through, said and done, we'll  
5 show that using two horizontal drain holes per 320-acre  
6 production unit should be utilized to take -- produce this  
7 natural resource. And if we only limit ourselves to one  
8 well per 320, there's a potential for revenues of  
9 approximately 1 1/2 trillion cubic feet of gas to be lost  
10 to the public and the producers and the mineral owners of  
11 the state.

12           That was their introduction.

13           We'll go through a quick history, and then Mike  
14 will get up and talk about the geology.

15           Then as I mentioned, the transient analysis, the  
16 microseismic data and production data, and then we'll  
17 summarize. Try to go pretty fast so we won't bore anybody.

18           In the late '70s this Wolfcamp formation was  
19 drilled by a number of producers and a great number of  
20 wells. There were 19 vertical producers over that 50-mile  
21 fairway, and the very best one recovered approximately  
22 three-quarters of a BCF over about 28 years.

23           Parallel's participation started in 2004 with a  
24 company called Perenco. We drilled six horizontal wells as  
25 a working interest owner with those guys. The wells were

1 drilled and they were completed in what we felt was a  
2 substandard method, Parallel's opinion.

3 We participated in 2005, with EOG completing the  
4 Nile 22 Number 1, and it was the first well in the play to  
5 be properly stimulated in our opinion. It has cemented  
6 liner, multi-stage slickwater frac, selected perforations  
7 along the horizontal, and as a result it came in at  
8 slightly under 4 million per day, initial rate.

9 To date the industry has permitted over 300 wells  
10 and completed well over 66. This slide was made in  
11 February.

12 And then active producers in the play are  
13 ourselves; Parallel Petroleum; EOG Resources; LCX Energy,  
14 formerly Perenco; David Arrington; Yates; COG; Devon and  
15 MYCO.

16 Picture on your left is just a cartoon rendering  
17 of the field. The purple there contains the area we're --  
18 of this pool, the Walnut Creek pool. Directly south of  
19 that purple area in yellow is where the Cottonwood Creek  
20 Pool is.

21 This is a simple drawing showing the escalation  
22 in activity over the last three or four years and why we're  
23 involved in the play. It's a technology-driven play. You  
24 need horizontal drilling, multi-stage fractures to actually  
25 produce this tight gas formation.

1 Fairway is rather large, 50 miles long by 10  
2 miles wide, encompasses over 300,000 acres. And as we'll  
3 show later in our volumetric calculations, that adds up to  
4 about 3 trillion cubic feet of gas recoverable.

5 Parallel currently owns about 103,000 gross acres  
6 and about a third of the play, makes us one of the larger  
7 players in there. And there is acreage remaining, but a  
8 limited amount of acreage remaining in this play.

9 All of our acreage was acquired specifically for  
10 the Wolfcamp. We didn't have acreage that was Morrow play  
11 or whatever and then -- we acquired all our leases for the  
12 Wolfcamp, we're targeting that zone.

13 And Parallel also has a unique and, as I see it,  
14 intelligent position, because we participate in over 75  
15 percent of the wells drilled out here with our drilling our  
16 own wells, participating with EOG, LCX, MYCO and others. I  
17 feel like we have a pretty good handle on the best  
18 practices involved in the field.

19 We're now at the point where -- the geology  
20 section --

21 MR. KELLAHIN: With your permission, Mr.  
22 Examiner, we'd like to temporarily excuse Mr. Durham and  
23 call the geologist.

24 EXAMINER JONES: Sure.

25 MR. KELLAHIN: Thank you.



1 petroleum geologist.

2 EXAMINER JONES: Mr. Moylett is qualified as an  
3 expert petroleum geologist.

4 Q. (By Mr. Kellahin) If you'll turn to the next  
5 slide, we're now on page 6 of the exhibit book.

6 A. This basically is just a paleogeography map of  
7 the Permian Basin of west Texas, southeast New Mexico.  
8 It's just to orientate us where we were during Wolfcamp  
9 time here.

10 We are located in the carbonate shelf on the  
11 northwest shelf here. This is Eddy County, Chaves County,  
12 swings over here.

13 The play as we have identified it runs from  
14 basically southern Chaves County through northwest Eddy  
15 County to western Chaves County, so that's where we have  
16 identified the fairway for gas production. However, the --  
17 the zone itself you can correlate even further, but the  
18 productive one that's -- in our opinion, is located where  
19 I've pointed out.

20 This is just a stratigraphic chart of the  
21 northwest shelf showing where we're located here. The  
22 Wolfcamp zone is our target. It's Permian age, it produces  
23 from the Wolfcamp, basically, it's a gas reservoir, this  
24 stratigraphic chart.

25 This next cross-section is a diagrammatic cross-

1 section depicting how I interpret the Wolfcamp to have been  
2 deposited. It was deposited in a lagoonal environment,  
3 basically a sabkha shelf model. The Wolfcamp reservoir was  
4 deposited in a restricted lagoonal platform facies belt  
5 where dolomitization and porosity has occurred to enhance  
6 -- dolomitization and fracturing has occurred to enhance  
7 the porosity and permeability of the reservoir, but in deep  
8 enough water where evaporites are not prevalent to occlude  
9 the porosity.

10 The reservoir itself as particted [*sic*] here is  
11 in this brownish color here. Now updip from the reservoir  
12 to the north northwest we do have evaporites that cement  
13 the porosity that form the updip seal to the Wolfcamp.

14 Downdip from the Wolfcamp reservoir are basinal  
15 limestones that do not contain a reservoir development.

16 So this is a stratigraphic trap that has  
17 anhydrites updip and basal limestones downdip, so it's a  
18 stratigraphic trap.

19 Next one. This is a type log of a well south of  
20 Hope. It's our Music Box well. All the logs I'm going to  
21 show you here are neutron density logs. This is the gamma-  
22 ray scale here, neutron scale in blue, and a density log  
23 porosity in red there.

24 I've identified here that -- what we consider the  
25 top of the Wolfcamp pay zone, the base of the Wolfcamp pay

1 zone. Down below that you get your basinal lime muds.  
2 This Wolfcamp shale you can correlate throughout the entire  
3 region. I've used the Wolfcamp shale as a structure map  
4 marker to map. You can follow it around.

5 MR. KELLAHIN: Mr. Examiner, if you'll turn to  
6 the additional handouts, there's a larger copy of this type  
7 log that's easier to read for your study.

8 THE WITNESS: Right.

9 Q. (By Mr. Kellahin) When we look at the type log,  
10 Mr. Moylett, the horizontal wells are drilled horizontally  
11 in what portion of the pay interval of the Wolfcamp?

12 A. Within the top and the base of the Wolfcamp pay.  
13 We usually try to stay in the better porosity zones,  
14 because it increases your rate of penetration.

15 Q. What is the strategy for doing that?

16 A. The strategy? As far as drilling it?

17 Q. No, to staying in that portion of the pay  
18 interval?

19 A. Well, basically we know the dips of the  
20 reservoir, I'll explain next, but we know what the dips  
21 are, and basically it's about one degree a mile. So we  
22 just, you know, pick a target point in a vertical well,  
23 project it out into the toe of the lateral well.

24 We also want to point on this cross-section,  
25 Wolfcamp pay zone consists of alternating cycles. It's

1 very shallow, carbonate, depositional environment. The  
2 matrix porosity, you could see here where the porosity  
3 actually increases to the left. That's a dolomitic  
4 fusulinic packstone. It contains your matrix porosity.

5 Now -- and in a lagoonal environment over time  
6 you start getting shallow water, you get more restriction,  
7 and you get conditions not favorable for the fusulinids to  
8 live, so either the facies belts move to a different part  
9 of the lagoon that's conducive for their growth, or they  
10 die out.

11 And on top of your dolomite you get a burrowed  
12 lime mud, and that usually has some fractures in it. And  
13 on top of your burrowed lime mud you get another flooding  
14 event, deepening of the environment, and you get a thin  
15 lagoonal shale on top of that lime mud. And then as that  
16 shale column water starts thinning, you start getting your  
17 conditions favorable for the dolomite again. So -- And we  
18 have verified this through core, we have a bunch of cores  
19 out here.

20 So basically you've got a dolomite, a burrow lime  
21 mud, lagoonal shale. And these things -- once again,  
22 there's -- in a carbonate environment there's a lot of  
23 lateral heterogeneity and also vertical heterogeneity.  
24 These things do not correlate over 50 miles, but the -- The  
25 overall packages do, but, you know, any kind of carbonate

1 environment, you know, these things are -- have a lot of  
2 heterogeneity in them. Otherwise, one well could probably  
3 drain a whole field, you know, one continuous --

4 Q. Mr. Moylett --

5 A. -- pay zone.

6 Q. -- what is the reason to have horizontal wells as  
7 opposed to vertical wells? What are you achieving?

8 A. Well, with vertical wells it's just not economic.  
9 What we need to do with the horizontal well is increase the  
10 KH to the wellbore, just open up more of the reservoir.

11 And there's also -- there's natural fractures in  
12 the reservoir that we're seeing through cores, through FMI  
13 data, and also through some of the fracs we've monitored.  
14 Your principal stress out here -- you know, your maximum  
15 stress direction is north-south. So that means your  
16 fractures would be running north-south.

17 If you look at the play history, operators  
18 originally drilling their wells north-south. Then as we  
19 start doing a little more science and a little more  
20 engineering till we realize we have to be drilling east-  
21 west to encounter more of the fractures. So you look at  
22 all of the industry -- right now we're pretty much drilling  
23 them east-west. Every now and then someone might drill a  
24 north-south well based on a land consideration, not a  
25 technical consideration out there.

1 Q. Do you have the locator map that shows these  
2 wells? Should be the next exhibit.

3 A. Yes. And like I say, the overall thickness of  
4 the reservoir is anywhere from -- gross thickness, you  
5 know, anywhere from a few feet up to 70 feet thick.

6 This is a locator map. It's actually what I use  
7 to identify the fairway. The well I showed you was down  
8 here in the southern part of the map here, that type log.

9 This, once again -- this is Eddy County, here's  
10 Chaves County. These are how I identify the fairway. What  
11 I use -- this is -- these lines here, what I consider the  
12 Wolfcamp porosity limits, and in here are some of the key  
13 wells I use to identify the fairway.

14 The data I use to identify the fairway, obviously  
15 if I had vertical production, those are some key wells.  
16 Also, I need to have density porosity over zero percent in  
17 the mudlog show. If I got density porosity over zero  
18 percent I'll have a mudlog show. So I use that to define  
19 -- define the fairway here.

20 And once again, I defined the fairway first, and  
21 then we started leasing. We didn't actually start leasing  
22 and then define the fairway.

23 MR. KELLAHIN: Mr. Examiner, there's a larger  
24 copy of this display in the handouts.

25 THE WITNESS: And some of the key wells -- this

1 is a well -- this is a 19 South, 23 East, Section 7. It's  
2 the Mesa Frank State well, it's made .4 of a BCF to date.  
3 The Yates State AEX Number 1, almost .8 of a BCF. And the  
4 Yates Terry well, about .4 of a BCF.

5 But it takes 30 years to get that cum. These  
6 wells really have a really, really -- really sharp decline,  
7 and within a month they're down to 40, 50 MCF a day. This  
8 well maybe hung in there with about 100 MCF. And I say  
9 "M", you know, a thousand cubic feet of gas per day. But  
10 really just...

11 And they were really targeted for the Wolfcamp.  
12 They were either, you know, deeper Pennsylvanian producers,  
13 the Morrow or Atoka or a Strawn well, and then they would  
14 -- on the way out of the hole, if there was pipe in the  
15 ground, they'll perf it.

16 So once again, if I had density porosity over  
17 zero percent, I always have a mudlog show.

18 And also, a lot of the old wells out here, when I  
19 got into the top of the zone, back in the '50s they  
20 actually run a DST in the top of the zones. They never  
21 completed them, but they actually had a little show, and so  
22 something -- something to target.

23 So that's just a map showing the key.

24 For scale here -- this is a large map -- each one  
25 of these boxes is a square mile, or roughly 640 acres. So

1 you can see we identified the play. It's almost 60 miles  
2 long and about 10 to 12 miles wide.

3 Q. (By Mr. Kellahin) Let's turn to the structure  
4 map.

5 A. Okay, this is a structure map on top of the  
6 Wolfcamp shale. You have a large version of it on your --  
7 in your handouts there.

8 The contour interval on this is one inch to 100  
9 feet. There's really no structure on this map. You have  
10 the Huapache anticline down here to the southwest. That's  
11 a tertiary Laramide feature. It wasn't present during  
12 Wolfcamp deposition. The Wolfcamp probably does --  
13 actually does extend over the Laramide, but basically cut  
14 off right here.

15 There's really no structure out here to --  
16 actually to say it's a structural play. You don't see any  
17 closures. Mainly just a regional dip. It's roughly 100  
18 feet a section, about -- and downdip is to the east here.  
19 So about one degree -- one degrees downdip, so...

20 Measured depth down here, you're looking around  
21 4200 feet to the top of the Wolfcamp pay zone, around 5500  
22 feet up there.

23 So that's just a structure map to show you. For  
24 reference here again, here's the Chaves County-Eddy County  
25 line.

1           Color-coded here, Parallel wells are --  
2 horizontal wells are blue, the EOG wells are in green. If  
3 there's a gas symbol on there, it's a producer when you  
4 look at your map, because a lot of the permitted wells are  
5 also on this map. Structure map.

6           Next I made a gross isopach map for the play, and  
7 that's from that type log, the top of the Wolfcamp gas zone  
8 to the base of the Wolfcamp gas zone. And for the most  
9 part, the thickest part of the fairway, you get about 70  
10 feet of gross pay in there, and generally if you've got  
11 more gross pay you've got more net pay.

12           However, there's not a correlation sometimes  
13 between a really good thick well and a good producer,  
14 versus a thin well and a good producer, because of the  
15 natural fractures in the reservoir.

16           EXAMINER JONES: Oh.

17           THE WITNESS: However, your best chances are,  
18 sometimes, to stay in the thick. It just makes sense. But  
19 there are some good wells that are associated with thins  
20 and some poor wells associated with thicks. So that's just  
21 a -- that's a gross isopach map. Contour interval is 10  
22 feet, so basically here's your zeroes, and up in the thick  
23 here, up to 70 feet thick.

24           This next one is just a placeholder. Well, you  
25 have the -- Next one is cross-section A-A'. That cross-

1 section runs basically south to Hope -- or call it beyond  
2 Hope, but it's really -- truly south of Hope, New Mexico,  
3 all the way up to basically Hagerman up in there. The town  
4 of Artesia is just over here.

5 It shows you on that cross-section -- it's  
6 roughly almost 60 miles long of used -- the pilot hole  
7 logs, the Parallel logs, EOG logs, and it shows that you  
8 can correlate that zone -- the gross interval, over the --  
9 basically the whole trend. The Wolfcamp shale doesn't  
10 change. You see the cross-section here. You can follow  
11 that throughout the play.

12 Basically it shows -- It's really one continuous  
13 reservoir, with some heterogeneity in it, but basically you  
14 can correlate it throughout the play. So even though  
15 you've got a different name of the pool here, a different  
16 pool here, a different pool here, a different pool here,  
17 it's the same pool.

18 And it shows you -- actually, you can correlate  
19 it over vast distances up in there, so that --

20 MR. KELLAHIN: Mr. Examiner, as Mr. Moylett  
21 indicated, it is --

22 THE WITNESS: Right.

23 MR. KELLAHIN: -- the actual map itself is in the  
24 handouts.

25 Q. (By Mr. Kellahin) And then the next one?

1           A.    And one of the -- one of the wells on the cross-  
2 section that we'll talk to a bunch is EOG Nile well. That  
3 was one of the first wells -- that was actually the first  
4 well in February of '05 that actually was completed with a  
5 cemented liner, you know, four-stage frac, you know,  
6 Barnett shale-type frac.

7                    But basically, I -- This is basically neutron  
8 density logs running throughout the fairway. Don't really  
9 run resistivity logs. It's a dry-gas formation, you know,  
10 you really don't have any water out here, so -- you know,  
11 at first we put a little more science to it, but now I just  
12 basically have a mud log and a porosity log, you know, to  
13 pick our target zone.

14                   The next map is actually a -- it's a structure  
15 map, it's actually -- not actually a -- we're going over  
16 the regional part, you know, of the fair- -- I'm just  
17 focusing up on the county line area here. These two rows  
18 of EOG wells in our row -- in our Walnut Creek field, just  
19 showing you that -- I just had a blowup of the structure  
20 map, and it's just a larger scale to show you where -- you  
21 know, where our pool is and where their pool is.

22                   And also that map has more data in it, you know,  
23 because that's been -- a lot of the -- more of the activity  
24 has been recently done up here. It's actually updated that  
25 map. The structure map and isopach map was probably done

1 in February of '07, as far as having a presentation --

2 Q. Let's take a moment, Mr. Moylett, and unfold --

3 A. Right.

4 Q. -- one of these copies for the Examiner so he can  
5 actually see all the data you have on this map.

6 A. Right.

7 EXAMINER JONES: Which one is that?

8 MR. KELLAHIN: This is identified on page 13 of  
9 the exhibit book as item number VIII.

10 THE WITNESS: This -- basically the scale, this  
11 map is one inch to 3000 feet, 100-foot contour interval.  
12 It just shows you that, you know, even when you get into a  
13 more, you know, heavily drilled area the structure doesn't  
14 really change that much either, you know, so that's --  
15 that's the point.

16 Anything with a gas symbol with a line going  
17 across the horizontal -- horizontal producer. The wells  
18 that don't have any gas symbols are just permitted wells.

19 And you'll see up in 16 of 15 South, 25 East, the  
20 Forego Number 1, the Swale Number 1, All Along and the  
21 Silver Charm -- that's our Walnut Creek pool.

22 You come down to the county line and those green  
23 wells and even the red above it, that's the Cottonwood  
24 Creek Pool. And you see what EOG has done on the density  
25 of their wells, they've basically drilled theirs at 160-

1 acre spacing, which is -- geology and the engineering will  
2 support, is prudent practice, because these wells are \$2.2  
3 to \$2 million. You know, we could just drill two wells per  
4 section versus four, we'd be saving almost \$4.5 million a  
5 section. So we -- we wouldn't want to do that.

6 So anyway, that's just kind of a large-scale of  
7 the area, just kind of hone in on it. You know, you see  
8 the town of Hagerman up there, Lake Arthur.

9 The next map is just a blowup of the isopach map  
10 that we saw up in Chaves County, and it's pretty much --  
11 Again, 10-foot contour intervals, you've got gross isopach  
12 map --

13 EXAMINER JONES: Which exhibit is it? Just the  
14 -- it says top of Wolfcamp; is that what it is?

15 THE WITNESS: Wolfcamp isopach map, yeah --

16 EXAMINER JONES: Oh, Wolfcamp --

17 THE WITNESS: 13-VII.

18 EXAMINER JONES: Here's the gross.

19 THE WITNESS: It's the next one, 13-VIII.

20 EXAMINER JONES: The gross isopach?

21 THE WITNESS: Yes, yes. Appearance the same as  
22 the regional map, it's just -- And if you see, most of the  
23 activity has stayed within the fairway as identified by  
24 porosity limits. Those wells up in 13-27 in the northwest  
25 part of the map are not economic, so --

1 EXAMINER JONES: Okay, they're not --

2 THE WITNESS: -- we feel pretty good about the  
3 fairway for the most part --

4 EXAMINER JONES: Okay.

5 THE WITNESS: -- because like any geology map, it  
6 could change a little bit, but -- I drew the fairway first  
7 and then started with these things, but...

8 The point being, the thick part -- you see, we're  
9 focusing in the thick part of the play right now, and over  
10 time it will start being developed towards the edges,  
11 depending on the results of the wells. But there's natural  
12 fractures in the play.

13 Q. (By Mr. Kellahin) Before you fold up all your  
14 maps, would you show the Examiner the focal point of the  
15 various study area? There is the --

16 A. Right.

17 Q. -- Alysheba area?

18 A. Okay, we first started drilling up in here, the  
19 Alysheba area. That's where actually we monitored a couple  
20 fracs up in here. We also monitored some fracs south of  
21 Hope.

22 But here's the Alysheba. Here's the Walnut Creek  
23 pool right up in here, in 15-25. That's where -- that's  
24 where Walnut Creek field is.

25 Then south of it, right on the county line, is

1 the -- in 16-15-25 is where Walnut Creek field is.

2 EXAMINER BROOKS: 16 or 15?

3 THE WITNESS: 15-25, excuse me, Section 16.

4 MR. KELLAHIN: Mr. Examiner, the Division's  
5 District Office is currently showing all of 16 and the  
6 south half of 17 as being the boundaries of what they have  
7 created as the Walnut Creek Pool, and they've assigned a  
8 pool number to it. I don't know if it's actually been on  
9 your nomenclature docket.

10 EXAMINER JONES: I don't know. I know there's a  
11 Walnut Creek Pool already.

12 THE WITNESS: Right. The 4 goes in that, and --

13 EXAMINER JONES: It's real small.

14 THE WITNESS: Yes. Hopefully it's going to get  
15 bigger.

16 EXAMINER JONES: Okay.

17 MR. KELLAHIN: We're ready to make a transition  
18 back to the engineering data.

19 THE WITNESS: I got one more cross-section --

20 MR. KELLAHIN: Okay.

21 THE WITNESS: -- and you can look at it, but it's  
22 just a blowup of the -- we'll go back -- it just shows --  
23 in the Walnut Creek Pool -- it's just -- since I showed you  
24 our blowup of the structure map and the isopach map, I show  
25 you some large-scale logs, I just go from the Swale Number

1 1 to the Forego Number 1 to the Alysheba, and it shows the  
2 same thing as the regional -- big regional cross-section,  
3 that you can correlate -- it's the next one. I think it's  
4 in the bottom of the pile there.

5 EXAMINER JONES: This is not it?

6 THE WITNESS: It's the next one way at the  
7 bottom.

8 This is just a three-well cross-section, goes  
9 from the Swale to the Forego to the Alysheba, and it shows  
10 -- yes, you can correlate the Wolfcamp shale, you can  
11 correlate the top and base of the Wolfcamp zone, but there  
12 is some lateral and vertical heterogeneity in the  
13 reservoir.

14 And also, the point being, you know, you've got  
15 the Swale -- and that's a neutron density log, five-inch  
16 log. One inch is 40 feet on it. The scale between wells,  
17 actually numbers on top. The Swale and Forego are --

18 EXAMINER JONES: Okay.

19 THE WITNESS: -- about .9 of a mile, that's --  
20 what, roughly --

21 EXAMINER JONES: Seven --

22 THE WITNESS: -- seven miles over to the  
23 Alysheba.

24 You can see -- you can follow the Wolfcamp shale  
25 across, you can follow the top of the pay zone and base of

1 the pay zone, but there's porosity changes within, you  
2 know, those wells up in there.

3 And once again, it shows, you know, the Swale and  
4 Forego, you know, probably should be in the same pool as  
5 the Alysheba or vice-versa. It's -- the pools -- it's the  
6 same reservoir throughout the -- throughout the area.

7 That's the point I wanted to make, just kind of  
8 wrap it up unless you have any questions. But basically  
9 you can correlate this from basically, you know, south of  
10 Hope all the way up to Hagerman. It's a tight, tight, you  
11 know, gas play.

12 EXAMINER JONES: Spectral gamma-ray on this?

13 THE WITNESS: Yes, that's what you see, a  
14 spectral gamma-ray on there, then a gamma-ray --

15 EXAMINER JONES: You needed all the spectral?  
16 You need the spectral gamma-ray?

17 THE WITNESS: You know, those -- I don't really  
18 see any hot streaks in there for the most part, you know, I  
19 still -- every once in a while the dolomites look a little  
20 streaky.

21 But for the most part those high-porosity zones,  
22 all your lagoonal shales, you can see on a spectral gamma-  
23 ray on there, and you'll see it on a regular gamma-ray.  
24 But those really high-porosity zones are your lagoonal  
25 shales.

1                    DEANE DURHAM (Recalled),  
2     the witness herein, having been previously duly sworn upon  
3     his oath, testified as follows:

4                    DIRECT TESTIMONY

5                    MR. DURHAM: This next section is the transient  
6     pressure analysis presented here on February 13th. It's a  
7     matter of public record, and I have permission of the  
8     author to use this.

9                    As we've seen it before, we're going to try to go  
10    through it fairly quickly. But it's a study of transient  
11    pressure analysis of the -- of eight key vertical wells,  
12    because they have enough time to actually have some  
13    transient pressure. And so we'll just go forward.

14                   We're going to do a quick reservoir description,  
15    very quick because Mike has already explained it, results  
16    of the analysis and then drainage and the spacing  
17    recommendations.

18                   This was the entire play encircling permitted  
19    wells at the time.

20                   As Mike mentioned, it's a dolomite with an  
21    anhydrite inclusion and thin limestone interbeds. It also  
22    has some very thin shale interbeds in there, typically 20,  
23    30 foot of measurable permeability and an additional 50  
24    feet, sometimes, of nano- and micropermeability surrounding  
25    that.

1           So they took eight vertical wells in the Hope  
2 area and the Cottonwood Creek area and they determined  
3 permeability, the effective infinite fractured half-length,  
4 and the area that is drained.

5           The best well in the Hope area, using this study,  
6 was drilled in '79, had a net height of 31 feet at 4400  
7 foot depth and 9-percent porosity, which is relatively good  
8 for this field. IP'd a little less than a half a million  
9 cubic feet a day and cum'd a little over an eighth of a BCF  
10 and took it 27 years to cum that.

11           The EUR for this well is .63 BCF. So you do a  
12 little quick calculation, it's going to take another 60, 70  
13 years, at least, to achieve that. So hence the vertical  
14 wells aren't really economic in today's dollars.

15           The permeability gathered from this was a .023  
16 millidarcy, and it drained 49 acres. And there's the well  
17 log, it's similar to the logs you have in front of you.

18           And then if you plot dimensionless pressure  
19 versus dimensionless time, this type curve also indicates  
20 and supports the low permeability, .02 millidarcies, and  
21 the effective drained half-length of 122 feet.

22           And just fading in here, this cartoon represents  
23 that effective fracture drainage area -- that's the drawing  
24 of the drained portion of the fracture. In red is the  
25 actual fracture that has proppant in it. And then the blue

1 is the maximum fractured half-length achieved.

2 So as you can see, the actually produced area in  
3 yellow is quite a bit smaller than the fracture you have  
4 created.

5 This is the next example well. In the log there,  
6 very low permeability, .006 millidarcies, only drained 29  
7 acres. That's a '80 model well, very low production.

8 And then here's a vertical well in the Cottonwood  
9 Creek area. It's a '79 vintage well. Basically same  
10 properties, 21 feet of net pay at a depth of 5000 feet, and  
11 very good porosity for the zone, 14.5 percent.

12 Permeability is still .02 millidarcies or below. Effective  
13 drained fractured half-length 69 feet. It only drained 21  
14 areas [sic], and it's taken a long time to do that.

15 This is a log, a vertical well log, of the -- of  
16 a horizontal example. It's the EOG Yellow A-7 Number 1.  
17 It was drilled east-west at about 5000 foot TVD. The IP of  
18 that well is 1.2 million, completed in '06. And the 180-  
19 day cum on that well was 135 million cubic feet, so in 180  
20 days that well cum'd almost as much as a vertical well did  
21 in 27 years.

22 EXAMINER JONES: I'm sorry, this was the log of  
23 the horizontal portion or the log of the --

24 THE WITNESS: No, what we do is, we drill a  
25 vertical well, pilot hole, and log the vertical well, and

1 then we target the actual zone, we plug back and drill  
2 horizontally into that target zone.

3 EXAMINER JONES: Okay.

4 THE WITNESS: So all the logs you're looking at  
5 are logged during vertical well operations.

6 And so what's the summary?

7 Most of the permeabilities are .01 millidarcy,  
8 .02, very low permeabilities. Very low drainage area in  
9 vertical wells, 20 to 40 acres. And it takes a very long  
10 time to drain that, upwards of 30 years.

11 So what is the recommendations for the fractured  
12 half-length?

13 It's okay to overlap fractured half-length in  
14 wells, it's okay to overlap even the propped half-length  
15 slightly. It's not okay to overlap the effective drained  
16 half-length, or your wells would interfere with each other  
17 during production. So we're looking at achieving the  
18 greatest effective fractured half-length possible without  
19 stretching it out there and interfering with the well.

20 So what's our goal in horizontal drilling to  
21 achieve that?

22 If you drill four transverse wells on a section,  
23 we want to frac 1100 feet normal to the wellbore in order  
24 to achieve 500 to 600 feet of prop length, in order to  
25 achieve that effective length of 300 to 400 feet.

1           And a section would look like this. At the end  
2 of radial flow the orange indicates the drained pattern of  
3 four wells. That's not to scale, of course, it's just a  
4 cartoon, but that's what your section would look like, the  
5 yellow being undrained portions of that section.

6           And this is a 20-well sample of production, 90-  
7 day production. The wells in our field, this Walnut Creek  
8 field, the three wells we currently have, fall in or below  
9 the P<sub>50</sub> number, the median well, so we're talking about  
10 average wells here, not anything less or more.

11           Conclusions of the study again.

12           Low drainage areas, long time to drain, very low  
13 permeability. It is a tight gas play, and we can only  
14 utilize it economically using the new technology such as  
15 horizontal drilling and multi-stage completion techniques,  
16 and by four-well density per section.

17           Excuse me a sec.

18           And this is just a core analysis we did. We were  
19 partnered with Bold Energy in a well called the Delilah.  
20 They did a core analysis. We had a separate core analysis  
21 done on that core ourselves. And this core analysis -- and  
22 it's easier to read on your sheet, but the best sample,  
23 number 3, has a .0104-millidarcy permeability in air and at  
24 3.5-percent porosity. So it just supports the analysis  
25 that it is low porosity, low permeability.

1           And then we have a microseismic -- I think this  
2 is the last time I have to get up.

3           As Mike said, we did microseismic studies on two  
4 -- we've done them on three or four wells now. There's two  
5 included in your CD, there's only one in this presentation.  
6 This is the Alysheba well, which you have the log on the  
7 cross-section.

8           And I'll just mention, the other one on the CD,  
9 it's rather lengthy because it goes through a -- I'll call  
10 it microseismic 101. It lays out a bunch of the groundwork  
11 how we do microseismic, and this one was a later well so  
12 they didn't include all that in our presentation.

13           It's the Alysheba Number 1. We monitor the  
14 Alysheba frac, which is going west to east from another  
15 horizontal well called the Bold Venture, and there's the  
16 distances from the tool string to the perforations of the  
17 well.

18           That's a side view of the same thing. We ran a  
19 dipole sonic log in the Bold Venture Number 1 so that they  
20 could get a velocity model in order to do their  
21 microseismic studies. And there's the perforation timings.

22           There's stage 1 frac. The little blue diamonds  
23 indicate where the microseismic events occurred during that  
24 stage 1 frac, and that's a numerical graphic illustration  
25 of where those fracs were. As you can see, the very

1 farthest distance normal to the wellbore in stage 1 was a  
2 little less than 500 feet. And run a normal curve through  
3 there and you're going to get about 200 foot of frac  
4 length.

5 Here's a side view of that stage 1, edge view.

6 And then we go to stage 2. Stage 2 is our best  
7 stage in this well, and we had a fractured half-length of  
8 900 feet, and -- measured normal to the wellbore. And  
9 there's the graphic of that. You can see there's just two  
10 or three points a little over 900 feet, most of them are  
11 right around 700 feet distance normal to the wellbore.  
12 That's the fractured half-length that we accomplished in  
13 stage 2, as I said, the best stage.

14 There's the end view. I can't -- because of the  
15 position of the tool string, most of the events were heard  
16 on the north side of the well. I think if we had any on  
17 the south side they were probably masked.

18 And then this is stage 3. Didn't get a very good  
19 frac on that, and/or we were gaining distance from the tool  
20 string and we weren't even -- weren't hearing them all.

21 Side view, end view of stage 3.

22 Here's stage 4. We only saw one event, and it  
23 occurred, instead of where the stage 4 perforations are,  
24 way up here. Again, I think the tool string distance had  
25 something to do with that.

1           And then this is a picture of all four stages put  
2 together. And you can see the maximum distance is 900 feet  
3 normal to the wellbore of fractured events.

4           A side view of that same thing, and an end view.

5           And these are the conclusions that Pinnacle made  
6 to us about this. Number one reason we wanted to do this  
7 study was to figure out where these fractures are going.

8 As Mike mentioned, the predominant fracture direction,  
9 natural fracture direction out here, is north-south.

10 Possibility in this well, secondary north 35 east, but we  
11 learned what we wanted to about the fracture orientation.

12           We also learned that our method of completions --  
13 and all the operators complete a little -- similarly, but  
14 not -- all not exactly the same. We feel like we have the  
15 best mousetrap. We have 900 feet of fractured half-length.

16           And then they made some recommendations how to  
17 change our fracture method, and he recommends 1100 foot of  
18 fractured half-length. We achieved 900 on this well.

19           And next we'll see some production data. As we  
20 mentioned, for the Nile Number 1 was the earliers  
21 horizontal well produced here. And that Section 22, which  
22 is southwest of Artesia, is the only section that has four  
23 horizontal wells on it, that has enough time and public  
24 data -- public production data to actually see any results.  
25 A lot of these wells are so new, there's not enough data,

1 so...

2 So this Section 22 -- and I'll race through them  
3 real quick. Here's the Nile 22 Number 1, a production  
4 history.

5 There's the Jordan Number 1 production history.

6 The Jordan Number 2, which was drilled in between  
7 the first two wells.

8 And then the Nile Number 2, which is one 160-acre  
9 density spacing west of the Nile Number 1.

10 Then you overlay all four of those together. And  
11 I think what you can see immediately is, the decline rate  
12 of all these is very similar, very similar.

13 And then the Nile Number 1, the Jordan Number 1,  
14 were completed in '05. And if you notice closely on the  
15 production curve, when the other two wells were brought on,  
16 relatively soon after each other in early '06, there's no  
17 decline -- additional decline, in the first two wells in  
18 the production curve. I think we can at least assume that  
19 there's no detriment early on that there's interference  
20 between these wells.

21 This is just a cartoon. Those wells were, like I  
22 say, drilled early on, so they were all drilled north-  
23 south. The Nile Number 1 came on in the first quarter of  
24 '05. EUR on that, 1.82.

25 Now, these EUR numbers we get from our

1 independent consultants, Colley-Gillespie. They figure out  
2 our reporting for us, so they're -- they're numbers that  
3 are not EOG's numbers, they are our numbers because we're  
4 partners with them in these wells.

5 So the Nile was here -- the Nile Number 1 was  
6 here, first quarter '05.

7 The Jordan was drilled here, and they were all  
8 drilled from the south to the north, so the surface  
9 locations are down here. The Jordan can on second quarter  
10 '05.

11 Jordan Number 2 is drilled right in between them,  
12 came on first quarter of '06.

13 And then the -- lastly, the Nile Number 2, and --  
14 shortly thereafter and still in the first quarter of '06.

15 And all their associated EURs, if you combine all  
16 those EURs for the section you get a 5.27 BCF.

17 And I'll show you in a couple more slides -- and  
18 we're near the end -- the volumetrics for that section is  
19 8.8 BCF.

20 So take those numbers, the recovery factor for  
21 this section is 60 percent. Not bad. Not great, but not  
22 bad.

23 All right, this is a single-well drilling  
24 economics. This is done also by Colley-Gillespie, using  
25 47-well average, zero a month -- time month production,

1 initial rate of 1.9 million, initial decline of 75 percent  
2 and hyperbolic exponent of 2.

3 And here, as Mike mentioned early, capital  
4 expenditure on these wells is anywhere from \$2 to \$2.5  
5 million. \$2.2 million is what we use on this. So believe  
6 me, if we could only drill one well in a 320, we would.  
7 We'd like to save that money.

8 But anyway, this single-well economics yields a  
9 1.6 BCF EUR.

10 This is the 320-acre production unit, gas  
11 initially in place. And I used our Walnut Creek Section 16  
12 data to calculate this. I got the temperature and the  
13 gross and net thickness from the Swale Number 1 well log  
14 and the crossplot porosity from the Swale Number 1. We  
15 have 33 foot of net pay, 5 percent weighted average on the  
16 porosity there.

17 The Forego well, which is also in that section,  
18 we have a gas analysis on that and we have pressure data on  
19 that, so we got that from the Forego well.

20 The only assumption I'm using here is the water,  
21 and I put it at .12 in the dry-gas reservoir. I feel like  
22 that's a very good assumption, and in fact it may be a real  
23 conservative assumption. After you get the load water from  
24 the frac wells back on these wells, they really don't make  
25 much water at all. I feel like that's a good assumption.

1           And then there's all your volumetrics. Bottom  
2 line is, gas initially in place for that 320 is 4.4 BCF.

3           So if we drill two wells on a 320 we would  
4 produce 3.2 BCF ultimately. That yields 73-percent  
5 recovery factor. If we're limited to only well that would  
6 be a 36-percent recovery factor, given the 1.6 BCF to a  
7 4.4.

8           If you run that number out over the entire  
9 300,000 acres of the field, that's 1.5 trillion cubic feet  
10 of gas recoverable that's lost.

11           And in summary, again, it's a technology-driven  
12 play. I think we've shown, and it's been proven over the  
13 years, that vertical wells are noneconomic. The only way  
14 to make these economic is to drill them with horizontal  
15 drilling and slickwater fracs, multi-stage fracs.

16           We've gone over four major areas of data, the  
17 transient pressure analysis along with the core data, the  
18 microseismic data, production data and volumetric  
19 calculations that show that 160-acre density is  
20 recommended.

21           And to drive the point home again, using two  
22 horizontal drain holes per 320 producing unit should be  
23 utilized to take advantage of this natural resource.

24           And revenues from approximately 1.5 trillion  
25 cubic feet of gas could be lost to mineral owners and

1 operators and the public by drilling only one well per  
2 producing unit over the entire area of play.

3 That's our presentation. Thank you, sir.

4 DIRECT EXAMINATION (Resumed)

5 BY MR. KELLAHIN:

6 Q. Mr. Durham, is Parallel the only operator in the  
7 pool?

8 A. At the present time, yes, sir.

9 Q. And within a mile boundary of the current pool  
10 boundaries, is Parallel the only operator?

11 A. Yes, sir.

12 Q. Do you recommend that the Division adopt special  
13 rules and regulations that allow an operator to drill these  
14 second wells in a spacing unit in the manner that you've  
15 described?

16 A. I do, sir.

17 Q. Would it result in an economy effort by the  
18 operators and the Division in processing these drilling  
19 permits?

20 A. Yes, sir.

21 MR. KELLAHIN: We move the introduction of  
22 Parallel's exhibits. They've been marked as Exhibit 1, and  
23 the pages are numbered, and I think they're all associated  
24 with identifications in Exhibit 1 that will allow you to  
25 simply admit Exhibit 1 and have everything in the record.

1 EXAMINER JONES: Okay, Exhibit 1 will be  
2 admitted.

3 EXAMINATION

4 BY EXAMINER JONES:

5 Q. Mr. Durham, the -- did you make a -- how many  
6 vertical wells would you have to drill to get this same  
7 recovery if -- In other words, you looked at, obviously,  
8 your economics of your vertical drilling versus your  
9 horizontal drilling, and you think you need to drill two  
10 horizontal wells per 320; is that correct?

11 A. Yes, sir.

12 Q. So you want to keep the spacing at 320 because  
13 you want to drill that length of wells, and you don't want  
14 to drill any further. Obviously, you've satisfied a lot of  
15 your drilling problems.

16 But if you drill vertical wells, could you ever  
17 get the recovery that you're getting from two horizontals  
18 in a 320? And then if you did, how many vertical wells  
19 would you need to drill?

20 A. It's just an estimate right now, and I'd say a  
21 minimum of eight to ten, but like I say I'm just guessing  
22 now.

23 And your question was worded very wisely. You  
24 said, Could you ever get? And I think you could ever get  
25 as much gas out of them as you could two horizontals, but

1 it would be a much longer, longer time frame.

2 Q. Okay.

3 A. Two horizontal wells -- and it's an estimate --  
4 you know, in 15 years you could probably gain your EUR and  
5 those eight or 10 or 15, however many vertical wells. It  
6 still would take you 30 -- 25, 30 years to gain that same  
7 amount of gas.

8 Q. And your drilling cost for your horizontals,  
9 obviously this play is -- it seems to me like it's been --  
10 I heard you refer to the Barnett shale technology. I don't  
11 know anything about the Barnett shale. Maybe you can  
12 explain the Barnett shale fracs, for instance, and why you  
13 chose them to drill to intersect fractures here, rather  
14 than drill along the maximum stress direction and then do  
15 the fracs that way.

16 In other words, these slickwater fracs, is that  
17 gel without cross-linker in it, or is it just fresh water,  
18 just water?

19 A. It's just water, there's no gel, no cross-link in  
20 there.

21 Q. So you could only go up to what, two pounds per  
22 gallon?

23 A. We actually on our last frac, which has been --  
24 experimented a little bit, and we achieved three pounds per  
25 gallon towards the end.

1 Q. Toward the end?

2 A. Yes, sir.

3 Q. And you've still got 900 feet of frac length?

4 A. Yes, sir. Well, we did not monitor that one with  
5 microseismic. We assume we're getting that much at least.

6 And our main reason for doing that on the last  
7 stage was just to have the very entry point or -- right at  
8 the perforations, that part of the frac, just force it open  
9 a little more with that extra concentration of sand.

10 Q. Okay.

11 A. It wasn't -- the reasoning behind that wasn't to  
12 gain frac length or frac height, it was to try to get a  
13 higher concentration of sand right at the perforation,  
14 right at the beginning of the fracture, hopefully stimulate  
15 a little better early-on production.

16 Q. Okay. That Pinnacle, is that the Pinnacle out of  
17 Golden that's doing this for you?

18 A. Their main office is in Houston, I think. I  
19 believe they do have an office in Golden.

20 Q. Okay. Are they -- They're using microseismic to  
21 actually verify what's happening with the frac, along with  
22 the fracture simulator; is that right? Are they using the  
23 fracture simulator to -- In other words, you're not going  
24 to do these microseismics on every well, you just --

25 A. Oh, no.

1 Q. -- you just kind of -- So are they using fracture  
2 simulator?

3 A. Well, they'll coordinate with the frac company  
4 and look at the simulation prior to the job, and then  
5 they'll put the actual frac job rates and pressures in  
6 their simulation before their final presentation.

7 Q. Are they monitoring it live --

8 A. Yeah --

9 Q. -- so you --

10 A. -- it's real-time monitor.

11 Q. -- you guys watch it in your office while it's  
12 going on?

13 A. Yes, sir.

14 Q. And so are you drilling to intersect fractures,  
15 and then are you -- Tell me about the well construction.

16 A. All right. Well, you asked about the Barnett  
17 shale, and it's a shale, and the reason for putting a high-  
18 volume, high-rate frac on that is what they call rubble-  
19 izing. You want to get fractures, and they're like spider  
20 web or whatever, out into that shale, and it cracks a lot  
21 of rock.

22 And although we're using the same technique,  
23 high-volume, rate, slickwater fracs, here it's for a little  
24 bit of a different purpose, because this is a dolomite.  
25 It's a lime formation, not a shale formation. The rubble-

1 izing is not what we're after here, because that's not what  
2 occurred.

3 We're after creating a set of fractures over the  
4 full length of the horizontal in order to drain  
5 systematically the whole well.

6 We do it in four stages. I have several  
7 perforation sets per stage and four stages, and there's 144  
8 perforations total throughout the whole well, so we do it  
9 in four different stages.

10 Q. Put cemented casing in the --

11 A. We cement the long-string production casing with  
12 acid-soluble cement, we run in with tubing convey guns to  
13 perforate the toe perms, and then we move in the frac  
14 equipment on the day of the frac, we frac the toe, use  
15 wireline to pump down a composite frac plug, check valve,  
16 if you were, and perforate the next stage and just work our  
17 way out of the hole as we frac and perforate alternating.

18 Q. One day for all that?

19 A. We usually schedule two days. We're tweaking it  
20 now, we're flowing back between each stage now three or  
21 four hours, so that takes us two days if you're going to  
22 stop and flow back each stage individually for four hours.

23 Q. Okay. You're drilling them east-west, and they  
24 said your fracture going most likely 35 degrees of north;  
25 is that right?

1           A.    It depends on where you are in the field.  Up  
2 near where we are here in that Alysheba, it indicated  
3 slightly east of due north, possibly 35.  Down in the Hope  
4 area it's more -- almost due north-south.

5           Q.    Okay.  So the high rate then is what?  How many  
6 barrels per minute?

7           A.    Eighty barrels per minute.

8           Q.    Wow.

9           A.    And we're doing 80 barrels per minute.  EOG is  
10 around 60 to 65 barrels a minute right now, and they do  
11 have a little gel crosslinker in their last stages.

12          Q.    Oh.

13          A.    Some people use CO<sub>2</sub>, some don't.  We've used it  
14 in the past and are currently not using it, so it's --  
15 we're ever trying to get that best practices and trying to  
16 experiment with proppant types and proppant sizes.  So it's  
17 -- Technology is an ever-changing thing.

18          Q.    Yeah, Mike said that the water is not really a  
19 problem in the Wolfcamp, but you're putting in a lot of  
20 water with these frac jobs.

21          A.    Yes, sir.  And we have to use quite a bit of  
22 additives like biocide, scale inhibitors, friction reducers  
23 because of the high rates, microemulsion surfactant to  
24 enhance the wettability of the rock and try to get all frac  
25 water out as quickly as possible.  So there's some add- --

1 it's just not fresh water, there are additives involved.

2 Q. And you don't put pumping units on them, you just  
3 flow them?

4 A. No, for the most part -- and we've drilled over  
5 30 wells and producing them all right now. We have not  
6 drilled a dry hole. There's a wide variation in the amount  
7 of production. There's some that are very marginal, even  
8 submarginal, and some that are barn-burners. But we  
9 haven't drilled a dry hole yet.

10 And there's two of them, actually, we have  
11 temporary pumping units on there, to get some of the water  
12 off of them. They're very low-volume wells, and so we are  
13 -- For the most part, they're dry gas flowing wells.

14 Q. The pipeline or gathering system is in place out  
15 here, or are you guys having to construct that?

16 A. We -- actually, in the area we're talking about  
17 here, Walnut Creek, we have built and constructed our own  
18 pipeline. We have a small gas plant just south of  
19 Hagerman, and our pipeline goes all the way to Transwestern  
20 main line, east of the Pecos River.

21 Q. That economics is built into your whole system --

22 A. Yes, sir.

23 Q. -- developing this?

24 Would you envision -- You guys are wanting to  
25 drill two wells per 320, but are you going to start out

1 just drilling one per spacing unit and then see how that  
2 goes and then come back later and drill --

3 A. That would be in our --

4 Q. -- hedge your bets a little bit here?

5 A. That would be our technique, mainly because you  
6 want to see. If you've got a well that's a real fantastic  
7 well, I think you'll produce it a while and move on to  
8 other sections before you even consider drilling a second  
9 well on that 320.

10 Q. Okay. And what did your cost start out at, in  
11 these horizontal wells? You said you're down to \$2.2 now,  
12 but --

13 A. Well, and that's --

14 Q. -- there's always a curve on that.

15 A. That's kind of an average. We are actually  
16 drilling two wells from one pad in a lot of cases. For  
17 instance, the Swale Number 1 in Section 16, and the other  
18 well, we call it a sister, it's All Along Number 1, is in  
19 Section 17. They were both drilled off the same drilling  
20 pad, wellheads are 18 feet apart. And we drilled them in  
21 such a way that by the time they reached horizontal they  
22 were orthodox or 660 from the section line, and then  
23 drilled the lateral.

24 So we try to save money like that. Not only  
25 money, we disturb a lot less ground like that, and we're

1 getting better at drilling, the days are coming down. So  
2 I'm going to say the range there at one time was probably  
3 \$2.3 to \$2.8 million, and that range is probably now from,  
4 say, \$1.8, \$1.9, up to about \$2.2, \$2.3 million.

5 And it depends on the trouble you have. There's  
6 quite a bit of surface trouble here, lost circulation in  
7 that -- in the shallower zones, and sometimes it gives you  
8 a lot of trouble and sometimes not.

9 Q. Have you lost any wells that you've had to  
10 redrill?

11 A. We've actually skidded the rig on two wells, and  
12 they all had to do with surface problems, very shallow,  
13 boulders or sugar sands or something that got us stuck, and  
14 we had to plug back and skid over and attempt it again.

15 Q. Before I forget, I'd like to thank you guys for  
16 putting on a good -- nice thorough, scientific show here,  
17 and I think you did a really -- really good job. And I  
18 have a few more questions here, but...

19 The cores you took were vertical pull cores --

20 A. Yes, sir, they were --

21 Q. -- sidewalls or anything?

22 A. -- they were oriented cores in the vertical pilot  
23 hole.

24 So not only did we gain the data for permeability  
25 and porosity, we also used the orientation of those cores

1 that came out of the hole to estimate fracture direction  
2 also.

3 Q. Okay. Speaking of that, what was the date of  
4 that show that happened on the --

5 A. I believe it was February 13, if I'm not  
6 mistaken.

7 Q. February 13.

8 A. '07.

9 Q. Okay. Okay, the -- Obviously, you're considering  
10 this to be the same -- like a common source of supply, but  
11 I guess as far as our mile-long -- mile between pools it  
12 becomes a wildcat, according to our rules, but --

13 MR. KELLAHIN: Well, the concept here was to play  
14 off of what was presented in February and give you a formal  
15 transcript and a case number to make a decision by the  
16 Division if you want to take this as a type example and  
17 extend this rule to the whole play --

18 EXAMINER JONES: Yeah.

19 MR. KELLAHIN: -- which may be convenient for  
20 everybody and would eliminate the need to file these  
21 individually or have multiple hearings on various areas of  
22 what turns out to be the same common source of supply.

23 So it's an administrative decision for the  
24 Division to make in terms of the scope of what this evolves  
25 into, but we certainly would encourage you to use this as

1 your model to do that.

2 EXAMINER JONES: And in particular for this  
3 hearing, the Walnut Creek Pool is what you're going for now  
4 though?

5 MR. KELLAHIN: That's our specific --

6 THE WITNESS: Yes.

7 MR. KELLAHIN: -- request as of --

8 EXAMINER JONES: Okay.

9 MR. KELLAHIN: -- this hearing.

10 EXAMINER JONES: And as a result, it wouldn't  
11 require any more notice to people around -- to everybody  
12 around if you drill two wells -- two horizontals per 320?

13 MR. KELLAHIN: The procedure was, if we're within  
14 a mile of the outer boundary of this with the next stepout,  
15 then we could drill it without the requirement of  
16 additional notice.

17 Then as the pool expands, if that is the  
18 sequence, it will eventually encompass the whole area, and  
19 then you'll have the problem of how you integrate this pool  
20 with the Cotton Creek [sic] --

21 EXAMINER JONES: Okay.

22 MR. KELLAHIN: -- which is on the same spacing  
23 unit.

24 Q. (By Examiner Jones) Okay, I guess one more  
25 little question. You'd be drilling -- is that water-based,

1 normal pressure drilling?

2 A. It is water-based, and normal to underpressured.

3 Q. To under?

4 A. Yes, sir. We have very -- lost circulation  
5 problems in the upper hole quite frequently. And then in  
6 the zone itself horizontally, drill with about a 9.2 mud  
7 only, because there are some shale streaks in there, and if  
8 you get them wet they will slough off and fall in on it.  
9 So you have to have that mud weight to hold that shale  
10 back.

11 As far as pressure is concerned, you could  
12 probably drill it with 8.3 water really easily if you  
13 didn't have that shale to contend with.

14 Q. What's your rate of penetration?

15 A. Anywhere from 30 to 130 feet an hour, depending  
16 on if -- if you're in the best porosity -- and that's where  
17 we try to stay, because that's where you're going to get  
18 the best gas and the best permeability -- it drills faster  
19 there also.

20 Q. Is that how you tell where you're at?

21 A. Yeah, we have a mudlogger out there, and we have  
22 a rate of penetration --

23 Q. Okay.

24 A. -- and Mike and I keep up with it every -- not  
25 just every day, all day, while we're in the horizontal.

1 Q. That's interesting.

2 You said that you'd get a show if you're -- if  
3 you get any porosity on your density log, which is kind of  
4 interesting, you don't have a three-percent cutoff or  
5 something like that.

6 So I assume this is limestone matrix logs that  
7 you're running on this stuff?

8 A. Yes, sir.

9 EXAMINER JONES: Okay, David? You've been  
10 looking at these for --

11 EXAMINER BROOKS: Well, I wouldn't undertake to  
12 ask any questions on the technical aspects of it, but  
13 perhaps Mr. Kellahin would be the person who would answer  
14 the questions that I would have.

15 Other than -- Well, let me get back to the map  
16 that you had here. Where is the area map that showed the  
17 -- Yeah.

18 Are there any existing Wolfcamp pools in this  
19 area that -- other than this one and the Cottonwood Creek,  
20 that are part of this play?

21 MR. KELLAHIN: To the best of my knowledge, there  
22 are not.

23 EXAMINER BROOKS: Okay, so the Cotton- --

24 THE WITNESS: Well, there's a --

25 MR. KELLAHIN: Yes, sir.

1 THE WITNESS: -- there's a pool called the -- I  
2 believe, the Lake Arthur, which is actually over by the  
3 town of Lake Arthur.

4 EXAMINATION

5 BY EXAMINER BROOKS:

6 Q. Now this -- this -- I started to say rectangle,  
7 but it's not a rectangle -- this rectangle with a nick in  
8 the upper right-hand corner --

9 A. Yes, sir, that's Lake Arthur.

10 Q. Is that the Lake Arthur Pool, or is that the town  
11 of Lake Arthur?

12 A. Well, that's the town of Lake Arthur. The well  
13 is directly north of there. You'll see the symbols north  
14 and a little east, continue north there.

15 Q. Yeah.

16 A. WITNESS: Right up there where the gas symbols  
17 are.

18 Q. Up in this area?

19 A. Yeah, these are --

20 Q. Up --

21 A. -- these wells are considered -- and I don't know  
22 the exact name of the pool, but I believe it's called the  
23 Lake Arthur-Wolfcamp Gas Pool.

24 Q. And that's in the north part of 15-26 and the  
25 south part of 14-26?

1 A. Yes, sir.

2 Q. Okay. Now where is -- This pool is in 16 of  
3 15-25?

4 A. Yes, sir.

5 Q. The Walnut -- what's the --

6 A. Walnut Creek.

7 Q. Walnut Creek Pool is over in 15.

8 And then down in Eddy County, in 16 South, is  
9 where the Cottonwood Creek is?

10 A. Yes, sir, and that now also extends one section  
11 to the north --

12 Q. Is that over here --

13 A. That's --

14 Q. -- or --

15 A. -- our Cottonwood Creek Pool.

16 Q. Okay. And as far as you know, are those the only  
17 pools that are in this play, the only existing pools,  
18 Wolfcamp pools that are in this play?

19 A. The --

20 MR. KELLAHIN: Let me call Mike Gray, he's  
21 studied all the pools.

22 Mr. Gray, come forward.

23 For the record, this is Mr. Mike Gray. He's a  
24 petroleum landman with Parallel and he has been studying  
25 all these pools.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MIKE GRAY,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Gray, can you respond to the question?

A. Yes, they're south of the -- of our Application pool, south of the Cotton- --

Q. Walnut.

A. -- Walnut Creek. There's a -- the Cottonwood Creek field, which is directly south.

There's also a Cottonwood Creek west field that is contiguous to Cottonwood Creek to the west in the --

EXAMINER BROOKS: This is not -- I have -- this is probably -- Go ahead.

THE WITNESS: The -- Anyway, Cottonwood Creek is directly south and southwest of this field and goes for several miles to the south in 16-25. Cottonwood Creek West is also a Wolfcamp Pool that is contiguous to Cottonwood Creek, just west of it, and it also goes for a few miles south from the county line and a little bit into 15-24 in Chaves County.

There's also -- we also have a -- we have a new field, a newly designated field in Section 36 of 14-25, newly designated by the District as the Hagerman Ditch

1 field.

2 EXAMINATION

3 BY EXAMINER BROOKS:

4 Q. So the Hagerman Ditch field is in 36 of 14 --

5 A. -- 14-25, right.

6 Q. -- 25?

7 And the Lake Arthur-Wolfcamp is up in --

8 A. It's in 14-26 --

9 Q. -- 14-26.

10 A. -- and 15-26.

11 Q. Okay. And the Cottonwood Creek Wolfcamp is down  
12 in Township 14 -- Township 16 South?

13 A. It's -- Yeah, it's in the very southern -- in the  
14 southern tier of sections. It now encompasses Sections 32  
15 and 33 of 15-25 and then goes several miles south of there.

16 Q. Okay, and then the Cottonwood Creek West is over  
17 in 16-24?

18 A. Right, and it -- and it's -- and it's in -- yeah,  
19 16- -- the west part of 16-25 and into 16-24 and up into  
20 15-24.

21 Q. And as far as you know, is that all the pools  
22 that are --

23 A. In this --

24 Q. -- pools --

25 A. -- in this vicinity, in the 50-mile play, there

1 are -- I can't tell you how many pools there are. There  
2 may be half a dozen or more.

3 Q. Okay, so there are other pools that would be in  
4 this play?

5 A. Yes, all the way down to, you know, 10 or 12  
6 miles south of Hope.

7 EXAMINER BROOKS: And I guess I would address  
8 this to the engineering witness, then. The considerations  
9 that were a part of your presentation would apply to the  
10 entire play, if I understand --

11 MR. DURHAM: Yes, sir, I believe they do.

12 EXAMINER BROOKS: The entire 50 miles?

13 MR. DURHAM: Yes, sir.

14 EXAMINER BROOKS: Okay. I think that's all the  
15 questions I have.

16 EXAMINATION

17 BY EXAMINER JONES:

18 Q. Mike, when you noticed people for this hearing,  
19 you guys said you noticed all the revenue interest owners  
20 in the Walnut Creek Pool; is that right?

21 MR. KELLAHIN: We notified the interest owners in  
22 16 and in the south half of 17 and the offsets.

23 EXAMINER JONES: 16 and the south half of 17 --

24 MR. KELLAHIN: And if you take a boundary around  
25 that as if you were filing an administrative application,

1 we just sent those notices to the same people that we sent  
2 notices to for the administrative approval for the Swale  
3 pairs.

4 EXAMINER JONES: Okay.

5 EXAMINER BROOKS: So you didn't -- you didn't do  
6 a one-mile radius around the current pool boundaries?

7 MR. KELLAHIN: Well, there was no other operator  
8 but Parallel.

9 FURTHER EXAMINATION

10 BY EXAMINER BROOKS:

11 Q. Okay. I guess -- Let's see, the current  
12 boundaries of the -- the current boundaries of the pool are  
13 -- is it only Section 16?

14 A. It's all of 16 and the south half of 17.

15 Q. And that's in --

16 A. 15-25.

17 Q. -- 15-25.

18 A. Yes, sir.

19 Q. So you're talking about 16 and the south half of  
20 17.

21 And if you go -- Is Parallel the only operator  
22 all the way around?

23 A. We either have -- we have all the offsets either  
24 permitted, or there is no permit or operator in -- Parallel  
25 -- I can tell you, if you're looking at the map. Parallel

1 has permits in -- and you can -- the --

2 MR. MOYLETT: They're on the map.

3 THE WITNESS: -- Section -- Yeah, Section 9 is  
4 permitted, Section 8 is permitted by Parallel, Section 20  
5 is permitted by Parallel, Section 21 is permitted by  
6 Parallel, the south half of 10 is permitted by Parallel,  
7 the north half of 15.

8 I don't believe there is a permit in the south  
9 half of 15 right now. There's no permit in the north half  
10 of 22, and there's no permits in Sections 18 and 19.

11 Q. (By Examiner Brooks) All these wells that are  
12 shown on here are permitted by Parallel?

13 A. All the wells within -- yes, within a mile of the  
14 field, of the new pool, are permitted by Parallel.

15 EXAMINER BROOKS: Okay, I believe that -- I  
16 believe that covers it, but...

17 FURTHER EXAMINATION

18 BY EXAMINER JONES:

19 Q. While he's looking, the EOG people didn't want to  
20 coordinate with you guys on this presentation?

21 A. The -- One of the problems, and one reason -- one  
22 reason we're here now, as opposed to next month or a month  
23 from now, is, the -- as these fields grow, the notice  
24 provisions become either unwieldy or impossible, because  
25 you have -- you know, the Cottonwood Creek field is a huge

1 field now, and it's going to take lots and lots of notice.

2           Although if it's the operator only, then it's a  
3 lot simpler than, for instance, the notice for the  
4 increased density well, which requires basically notice to  
5 everybody and their dog.

6           But the -- as these fields grow -- and another  
7 problem is -- is, you know, we're completing a well out  
8 here every 15 or 20 days, and if Bryan puts it into field  
9 every time we -- you know, every time we bring one on,  
10 you'd never finish. The field is going to grow faster than  
11 you can get a hearing scheduled. So...

12           EXAMINER BROOKS: Yeah, it looks like it is only  
13 operators within one mile of the pools.

14           MR. KELLAHIN: That's the rule I was looking at.  
15 It's 1210.B.(4).(b).

16           EXAMINER BROOKS: That would appear to be the  
17 applicable rule.

18           THE WITNESS: And again, I'll stress Tom's  
19 comment. If it would be possible to take this presentation  
20 and do some kind of consolidation, at least in this area,  
21 it would be really helpful to both the operators and to the  
22 Commission, because you guys are going to get these  
23 increased density applications -- they're just going to  
24 pour in as these fields are developed and infilled.

25           EXAMINER JONES: Well, that's something that we

1 have to talk about --

2 EXAMINER BROOKS: Well --

3 EXAMINER JONES: -- or have a conference about or  
4 something.

5 EXAMINER BROOKS: -- that's true, because the way  
6 that Richard would like to see it done is to get -- have  
7 pool rules applications for -- or special pool rules for  
8 all the pools that are affected, and --

9 THE WITNESS: The -- and I'll tell you, my  
10 perspective on this is that Cottonwood Creek, for instance  
11 -- I think EOG's -- I mean, they've got a machine that  
12 generates those applications, and it's in -- and I don't --  
13 and the Division probably doesn't have a machine to approve  
14 them.

15 EXAMINER JONES: He's the machine.

16 THE WITNESS: But the -- Cottonwood Creek -- or  
17 EOG's portion of Cottonwood Creek is very rapidly being  
18 drilled up --

19 EXAMINER BROOKS: Yeah.

20 THE WITNESS: -- and the infill wells are for the  
21 most part in place, or many of them are. They no longer  
22 have an interest in changing the field rules because --

23 EXAMINER BROOKS: Yeah.

24 THE WITNESS: -- they're about through.

25 As the field expands to the south on the other

1 operators, though, you're going to have the same problem.

2 EXAMINER BROOKS: Okay. Well, we appreciate your  
3 bringing this before us, and as Will says, we appreciate  
4 your thorough and professional presentation.

5 EXAMINER JONES: Okay, that's -- that's  
6 everything?

7 MR. KELLAHIN: Yes, sir.

8 EXAMINER JONES: With that, we'll take Case  
9 13,986 under advisement.

10 Let's have a 15-minute recess.

11 (Thereupon, these proceedings were concluded at  
12 10:05 a.m.)

13 \* \* \*

14  
15  
16 I do hereby certify that the foregoing is  
17 a complete record of the proceedings in  
18 the Examiner hearing of Case No. \_\_\_\_\_,  
19 heard by me on \_\_\_\_\_.

20 \_\_\_\_\_, Examiner  
21 Oil Conservation Division  
22  
23  
24  
25

