

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )

APPLICATION OF CONOCOPHILLIPS FOR )  
AN EXCEPTION TO THE WELL DENSITY )  
REQUIREMENTS OF THE BASIN-DAKOTA )  
GAS POOL, RIO ARRIBA COUNTY, NEW MEXICO )

CASE NOS. 14,016

APPLICATION OF CONOCOPHILLIPS FOR )  
AN EXCEPTION TO THE WELL DENSITY )  
REQUIREMENTS OF THE BLANCO-MESAVERDE )  
GAS POOL, RIO ARRIBA COUNTY, NEW MEXICO )

14,017

APPLICATION OF CONOCOPHILLIPS FOR )  
AN EXCEPTION TO THE WELL DENSITY )  
REQUIREMENTS OF THE BLANCO-MESAVERDE )  
GAS POOL, RIO ARRIBA COUNTY, NEW MEXICO )

and 14,018

(Consolidated)

REPORTER'S TRANSCRIPT OF PROCEEDINGS  
EXAMINER HEARING

ORIGINAL

BEFORE: WILLIAM V. JONES, Jr., Technical Examiner  
DAVID K. BROOKS, Jr., Legal Examiner

RECEIVED  
APR 8 AM 10 51

January 10th, 2008  
Santa Fe, New Mexico

These matters came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, Jr., Technical Examiner, DAVID K. BROOKS, Jr., Legal Examiner, on Thursday, January 10th, 2008, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
(505) 989-9317

80/8/8  
KJM

## I N D E X

January 10th, 2008  
Examiner Hearing  
CASE NOS. 14,016, 14,017 and 14,018 (Consolidated)

	PAGE
EXHIBITS	3
APPEARANCES	4
OPENING STATEMENT BY MR. KELLAHIN	5
APPLICANT'S WITNESS:	
<u>NEALE ROBERTS</u> (Engineer)	
Direct Examination by Mr. Kellahin	8
Examination by Examiner Jones	43
REPORTER'S CERTIFICATE	53

\* \* \*

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	10	43
Exhibit 2	10	43
Exhibit 3	12	43
Exhibit 4	14	43
Exhibit 5	17	43
Exhibit 6	18	43
Exhibit 7	30	43
Exhibit 8	38	43

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

DAVID K. BROOKS, JR.  
Assistant General Counsel  
Energy, Minerals and Natural Resources Department  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2 4:15 p.m.:

3           EXAMINER JONES: Let's go back on the record.  
4 Do you want to combine all three of these?

5           MR. KELLAHIN: Yes, please.

6           EXAMINER JONES: Okay, let's call Case 14,016 and  
7 Case 14,017 and Case 14,018. They're the Application of  
8 ConocoPhillips for an exception to the well density  
9 requirements of the Blanco-Mesaverde Gas Pool and also, in  
10 Case 14,016, the Blanco- -- the Basin-Dakota Gas Pool, all  
11 three in Rio Arriba County, New Mexico.

12           Call for appearances.

13           MR. KELLAHIN: Mr. Examiner, my name is Tom  
14 Kellahin, I'm on the Santa Fe law firm of Kellahin and  
15 Kellahin, appearing this afternoon on behalf of the  
16 Applicant, and I have one witness to be sworn.

17           EXAMINER JONES: As I see no other appearances --  
18 Any other appearances?

19           Will the witness please stand to be sworn?

20           (Thereupon, the witness was sworn.)

21           MR. KELLAHIN: By way of introduction, Mr.  
22 Examiner, Mr. Neale Roberts is a petroleum engineer with  
23 ConocoPhillips. He resides in Farmington, and he's the  
24 team leader of the group of technical people that are in  
25 the hearing room today. And in order to accommodate the

1 remaining time and try to expedite the process, Mr. Roberts  
2 is the presenter.

3           The geologic components that are in the  
4 presentation that you're about to see have been worked on  
5 by he and a geologic expert with ConocoPhillips. If we are  
6 not successful in that part of the presentation, or if  
7 there are questions that Mr. Roberts cannot answer, we do  
8 have an expert geologist here to supplement his testimony.

9           In addition, we have two land people here to talk  
10 about land issues if that becomes necessary.

11           What you're about to see is the result of an  
12 extensive research effort by ConocoPhillips to inventory  
13 its wells for compliance with the well density requirements  
14 of the Blanco-Mesaverde and the Basin-Dakota Pools.

15           You may recall that back in March of last year  
16 you were the Hearing Examiner when Burlington brought to  
17 you an example of a noncompliant spacing unit in which, by  
18 happenstance, Burlington had put two Mesaverde wells in the  
19 same 40. And I have copies of that order to refresh your  
20 memory.

21           As part of that process, when there was the  
22 consolidation of the two companies, ConocoPhillips then  
23 picked up the same methodology of research and study to see  
24 if their inventory of those wells for those pools had any  
25 of those kind of problems.

1           As an end result of that search, Mr. Roberts is  
2 here to testify about how all that was done. We come down  
3 with a population of six 320-acre spacing units, of which  
4 three have a circumstances in which within those 320s there  
5 are a 40-acre tract that have two wells. In two of the  
6 cases they're Mesaverde wells. In the third case, it's a  
7 Dakota that's paired up.

8           In none of those 320-acre spacing units have we  
9 exceeded the density that would otherwise be allowed. The  
10 mistake has been, they have drilled two wells in the same  
11 40, as opposed to spreading them out into two different 80-  
12 acre tracts.

13           The dilemma for Mr. Roberts and his team was not  
14 only to satisfy that those were the only ones, but then to  
15 decide whether one of those wells ought to be plugged and  
16 abandoned. Currently three of those wells are shut in so  
17 that there is no noncompliance going on.

18           The question now is whether we restore those to  
19 production and will grant them as exceptions. The end  
20 result of Mr. Roberts' study with his technical people is  
21 that he has found correlative rights would not be violated  
22 if you allow them to return those wells to production, and  
23 he goes through a complex set of calculations with some  
24 reservoir simulation to show you how you reach that  
25 conclusion. So that's about where we're headed.

1           And with your permission, Mr. Examiner, there's a  
2 PowerPoint show. In addition, the hard copies of the  
3 display are in the exhibit books before you, and Mr. Brooks  
4 and the court reporter has a copy. Finally, I will give  
5 you the disc of the PowerPoint. If for any reason you need  
6 to go through the PowerPoint again, you'll have the disc  
7 for your own computer.

8                           NEALE ROBERTS,

9 the witness herein, after having been first duly sworn upon  
10 his oath, was examined and testified as follows:

11                           DIRECT EXAMINATION

12 BY MR. KELLAHIN:

13           Q.    With that introduction, Mr. Roberts, would you  
14 please state your name and occupation?

15           A.    Neale Roberts, and I'm a reservoir engineer at  
16 ConocoPhillips.

17           Q.    And where do you reside, sir?

18           A.    Farmington, New Mexico.

19           Q.    Give us a general summary of what is that you've  
20 done as an engineer concerning the projects involved in the  
21 three cases that Examiner Jones is about to hear.

22           A.    I became involved in the project at the  
23 conclusion of the research that you described wherein the  
24 cases to be considered were identified. And from that  
25 point I -- we actually found six violations, and I

1 recommended other solutions in three of them and then  
2 pursued the arguments to request exceptions for the  
3 remaining three. So that -- kind of the decision as to  
4 what to do with the six violations and then the assessments  
5 of the three cases that we decided to proceed to request  
6 exceptions for, all of that work was done by me.

7 Q. On prior occasions have you testified and  
8 qualified as a petroleum engineer before the Division?

9 A. Yes.

10 Q. Have you satisfied yourself that you have had  
11 sufficient database on which to perform the work that you  
12 did?

13 A. Yes.

14 Q. And with the assistance of the geologist, did you  
15 have a sufficient geologic basis in which to select  
16 geologic parameters for your reservoir simulations?

17 A. Yes, we -- the work that we did integrates  
18 pressure and production and geologic data into a fairly  
19 coherent analysis that all serves to support and validate  
20 the conclusions.

21 Q. As part of your study, did you have available to  
22 you the appropriate production and pressure data from the  
23 area?

24 A. Yes.

25 MR. KELLAHIN: We tender Mr. Roberts as an expert

1 petroleum engineer.

2 EXAMINER JONES: Mr. Roberts is expert in  
3 petroleum --

4 Q. (By Mr. Kellahin) If you'll take the exhibit  
5 book for a moment, Mr. Roberts, and let's go past Exhibit  
6 1, which is simply a reproduction of the three hearing  
7 Applications and the associated plats, and let's turn to  
8 what would be marked as Exhibit Tab Number 2. If you look  
9 behind that tab, you're going to find an area locator map.

10 Correspondingly, if you'll take the PowerPoint at  
11 this point, Mr. Roberts, let's start with the display which  
12 first appears behind Tab Number 2 and let you set the stage  
13 for what Mr. Brooks and Mr. Jones are about to see.

14 A. Yes, this is a plat of the San Juan Basin showing  
15 the township boundaries as well as the unit boundaries.  
16 And highlighted on this plat in pink are the 28-and-7 Unit  
17 in a southwesterly position, with the 29-and-5 Unit to the  
18 northeast.

19 Two of the exceptions that we're requesting occur  
20 in 28-and-7, including one Mesaverde, as well as one Dakota  
21 case --

22 (PowerPoint display went blank.)

23 THE WITNESS: That's not good. Did we pull a  
24 plug here?

25 FROM THE FLOOR: I think that was probably the bulb.

1 THE WITNESS: The bulb burned out?

2 FROM THE FLOOR: Yeah.

3 THE WITNESS: Okay, carry on from the book?

4 Q. (By Mr. Kellahin) Let's go to the book.

5 A. Okay, go from the book.

6 The remaining third case is a Mesaverde case, and  
7 it occurs in the southern part of the 29-and-5 Unit.

8 MR. KELLAHIN: If you flip to the second page of  
9 Exhibit 2, let's focus in on the plat. And for the record,  
10 Mr. Jones, you're looking at the Dakota issue, and you're  
11 looking at Case 14,016, is the first plat.

12 EXAMINER JONES: Okay.

13 Q. (By Mr. Kellahin) Identify for us the spacing  
14 unit involved, Mr. Roberts.

15 A. Yeah, this would be the west half of Section 24.  
16 In the northwest quarter of the southwest quarter we find  
17 two Dakota wells indicated by the blue boxes. That would  
18 be the 259 and the 259G.

19 Q. And sometimes the computer overlays may cause you  
20 some concern about the compliance, so when we're looking at  
21 this display we're focusing on the southwest quarter of  
22 Section 24?

23 A. That's correct.

24 Q. And it's clear from your understanding of this  
25 color code that the two Dakota wells are located in the

1 same 40-acre tract?

2 A. That's correct.

3 Q. Let's turn past that one and also orient the  
4 Examiner and look at the next colored display. What are we  
5 seeing here?

6 A. Here we're looking at the northeast quarter of  
7 Section 34 in 28-and-7, where the blue wagon-wheel-type  
8 symbols indicate Well 225F and Well 91 are both Mesaverde  
9 completions in the northwest quarter of the northeast  
10 quarter of Section 34.

11 MR. KELLAHIN: Mr. Examiner, this locator map is  
12 associated with Case 14,018, and it involves the Mesaverde.

13 Q. (By Mr. Kellahin) And then the next locator, Mr.  
14 Roberts?

15 A. Again, it's a Mesaverde case, so we're looking at  
16 the blue wagon wheels, and we see in this case, in Section  
17 34, northeast -- no, excuse me, southwest quarter of the  
18 northeast quarter we see two Mesaverde wells in that  
19 quarter section -- quarter quarter.

20 MR. KELLAHIN: And for the record, then, Mr.  
21 Jones, this is Case 14,017.

22 Q. (By Mr. Kellahin) At this point, Mr. Roberts,  
23 would you turn to Tab 3 and look at the first display, and  
24 let's start with the overview. Would you summarize for the  
25 Examiner what it is that you and ConocoPhillips have done

1 concerning this project?

2 A. Yeah, this outlines the process that we followed  
3 in this project, as well as the testimony that we've  
4 prepared for today. We began with a research project where  
5 we -- Following the procedure similar to the Burlington  
6 case that was presented in 2006, we went back over the  
7 Heritage ConocoPhillips well database to identify similar  
8 density violations.

9 And concurrent with that, at the same time, we --  
10 having just gone through the acquisition and merging the  
11 two business units, it was necessary to review the  
12 compliance assurance process and basically re-establish  
13 that process following very closely the processes  
14 established with Burlington Resources and included in the  
15 testimony of that Case 13,667.

16 Q. We'll talk more about the compliance assurance  
17 process, but am I clear in understanding that there are now  
18 in place for ConocoPhillips the same type of internal  
19 protections to preclude the occurrence of multiple wells in  
20 the wrong quarter quarter section?

21 A. Right.

22 Q. And in addition, that program would allow the  
23 company to stay in compliance with the well density for  
24 those pools involved?

25 A. Correct.

1 Q. Following the outline, then, after you've  
2 satisfied yourself you have a quality-assurance system in  
3 place, did you further make an individual-case assessment  
4 for the noncompliant spacing units?

5 A. Yes, following all of those processes we looked  
6 at each of the three cases that we wanted to bring before  
7 you today from a general point of view, and then to examine  
8 the issues with respect to correlative rights as well as  
9 incremental recoveries.

10 Q. Let's go now to Tab 3 [sic] and talk about the  
11 summary of the research efforts, Mr. Roberts.

12 A. Yeah, for the research we began by building our  
13 database, and in that process we -- it was necessary to  
14 identify all the directional wells in order to correct our  
15 locations to the bottomhole locations of the directional  
16 wells.

17 Having done that, then, we proceeded to identify  
18 all quarter sections that contain more than two wells, as  
19 well as all quarter quarter sections that contain more than  
20 one well.

21 With those wells, then, we reviewed previous  
22 pilot approvals to see if any of them had already been  
23 granted exceptions, and verified the company ownership, and  
24 then finally researched the well files to confirm, in fact,  
25 that each of the wells that we had identified were, in

1 fact, noncompliant, in order to finalize our list.

2 Q. Do you have finalized lists to share with the  
3 Examiner this afternoon?

4 A. Yes, we found six instances where we were, in  
5 fact, in violation.

6 Q. So if you'll turn to the next page following  
7 Exhibit Tab 4, you'll see the summary of those six  
8 noncompliant spacing units?

9 A. Right. And in the first case, in Section 18 of  
10 28-and-7, we found three completions in a quarter section,  
11 which upon further research we discovered that one of those  
12 completions had been recorded with the State as a temporary  
13 abandonment following a sidetrack to a Dakota well. And in  
14 this case we simply filed paperwork to indicate that that  
15 zone had been plugged and abandoned, and that was resolved.

16 In 30-and-6, Section 2, we found three Mesaverde  
17 completions in a quarter section, and that one we found we  
18 had simply failed to abandon, Well Number 15 of San Juan  
19 Unit 31-and-6, which was our original plan, and we are now  
20 preparing that abandonment.

21 Q. That well currently is shut in?

22 A. Yes.

23 Q. Okay. And the third one, now?

24 A. 31-and-8, Section 32, same thing, three Mesaverde  
25 completions in a quarter sections. This particular case,

1 it's a very high deliverability area with checkerboard  
2 leasing, and in fact, ConocoPhillips as well as Burlington  
3 both operate in that area, and being more or less in a  
4 situation of conflicting interests, we didn't see any  
5 alternative except to plug that -- or abandon that zone in  
6 Well 36.

7 Q. The fourth one on the list refers to Case 14,018,  
8 and what's the status of that?

9 A. And that is Section 34 of 28-and-7. We have two  
10 Mesaverde wells in a quarter-quarter section, and we have  
11 shut in Well Number 91 of 28-and-7 Unit, and are here  
12 requesting an exception to pool rules today.

13 Q. The third one down [sic] is associated with Case  
14 14,017?

15 A. And that is 29-and-5, Section 34, where we have  
16 two Mesaverde completions in a quarter quarter section.  
17 We've shut in Well Number 34, and we're requesting an  
18 exception to pool rules.

19 Q. And the last one, or the sixth on the list, is  
20 associated with Case 14,016?

21 A. Right, that's in 28-and-7, Section 24. We have  
22 two Dakota completions in a quarter quarter section. We've  
23 shut in Well Number 259, and we're requesting exception to  
24 pool rules.

25 Q. As we continue through the exhibit book, Mr.

1 Roberts, you have then divided the book so that each of the  
2 next three sections is unique as to the individual case and  
3 the problems associated with that case?

4 A. Except there's four sections remaining.

5 Q. Four sections.

6 A. Compliance assurance.

7 Q. Okay, so if we turn to Tab 5, then, what are we  
8 seeing here?

9 A. Under Tab 5, this is the work that kind of was  
10 performed in parallel with the research effort to bring our  
11 compliance assurance process up to speed, in order to avoid  
12 situations going forward.

13 Q. Let's do that now. If you'll turn to Tab 5, and  
14 let's look at the summary of the compliance assurance  
15 process.

16 A. Yes, this has been in place now since early 2007  
17 and is based largely on the Burlington process that was  
18 presented in testimony for Case 13,667.

19 And all of our capital projects are initiated by  
20 a project development team, which carries projects from the  
21 planning and budgeting stage to the implementation stage,  
22 and includes process steps in our land group, surveying  
23 group, regulatory, construction and engineering. And each  
24 step along the way includes verification of location  
25 compliance, and this verification is included as checkoffs

1 on a checklist in a commonly held database using  
2 proprietary software.

3 And then ongoing improvement to this process is  
4 being taken up in order to account for increasing numbers  
5 of directional wells, which are a bit of a loop at the  
6 moment, yes.

7 And finally, any recompletion projects are  
8 checked against our drilling inventory in order to avoid  
9 duplicating completions.

10 Q. So as each part of the company, whether it's the  
11 land, the geology or the engineering, is utilizing the same  
12 master manager, if you will? --

13 A. Yes.

14 Q. -- to make sure that as you go through this  
15 process it will recognize and alert you to what your  
16 density is for a well, to make sure that you're staying  
17 within compliance --

18 A. Correct.

19 Q. -- to the location and density for wells in these  
20 two pools?

21 A. Uh-huh.

22 Q. If you'll turn now, sir, to Tab Number 6, let me  
23 direct your attention to Case 14,018, and start off with  
24 what you did in this particular case to come to the  
25 conclusions that you have.

1           A.    Yes, for each of the cases we had a general  
2 review of the case that included the well locations and the  
3 general land situation, as well as the geologic setting and  
4 the specific well completions and production histories.

5                   Following that, we looked at correlative rights  
6 issues by mapping the drainage areas using no-flow  
7 boundaries from relative rate calculations as described by  
8 Golan and Whitson in their book titled *Well Performance*.  
9 These maps then were validated using flowing material  
10 balance, which would take pressure and rate data into  
11 account, as well as volumetric data, to back into an area  
12 that would be used, then, to confirm or not the drainage  
13 area map.

14                   Finally, we looked at incremental recoveries to  
15 determine whether or not the loss of the noncompliant well  
16 would result in a loss of recovery.

17           Q.    Let me ask you generally as to each of the three  
18 cases, what did you conclude about any potential  
19 correlative-rights violation?

20                   A.    In each case we concluded that there would be no  
21 correlative-rights violations.

22           Q.    And how do you define that question?

23                   A.    We did our best to describe the drainage area of  
24 the noncompliant wells, and provided that that drainage  
25 area was contained entirely within an area of common

1 interest, we decided that that therefore posed no threat to  
2 correlative rights.

3 Q. As we look at each of the three cases, are you  
4 dealing with production that's associated with a  
5 participating area that's common in that general area?

6 A. That's correct. And in fact, in one case, the  
7 one in Section 34 of 28-and-7 is very much interior to the  
8 unit, and we did not do that particular part of the  
9 analysis for that case because it was clear that there were  
10 no correlative-rights issues.

11 Q. In a situation where there was a potential for  
12 correlative-rights violation, did you then do the drainage  
13 assessment for those other two cases?

14 A. Yes, we did that for the Case in Section 34 of  
15 29-and-5, because that proration unit is adjacent to the  
16 28-and-5 Unit, which has different ownership.

17 And we also did it for the Dakota case in this  
18 west half of Section 24 of 28-and-7, which has, in fact, a  
19 buffer proration unit to the east before you go into the  
20 adjacent unit. But since it was as close as that, we still  
21 had a look at that one as well.

22 Q. When you get to the final point, having addressed  
23 correlative rights, you then examined whether the  
24 noncompliant 40-acre tract ought to have one of those wells  
25 plugged. And the analysis then was to see if in

1 combination the two wells were producing more gas than a  
2 single well might otherwise recover?

3 A. That's correct.

4 Q. Is that how you would identify incremental  
5 reserves?

6 A. Yes, we built a model from our analysis of that  
7 area to simulate the production from the two wells and the  
8 drainage area in question, and we ran cases with both wells  
9 producing and a case with one of the wells shut in, in  
10 order to see whether there was any difference in recovery.  
11 And in each case, again, we found that there was  
12 incremental reserves produced by leaving both wells on  
13 production.

14 Q. I'll have some more questions for you as we look  
15 at that process, but that's the end result of your work?

16 A. That's correct.

17 Q. Let's turn, now, to the next display behind  
18 Exhibit Tab Number 6 and look more specifically again at  
19 the details for Case 14,018. Starting again, then, with  
20 the locator map.

21 A. Yes, again, the wells in question are here in  
22 San Juan 28-and-7 Unit, and they're found in Section 34 of  
23 28-and-7 and are specifically the wells 225F and Well 91.  
24 And those are both Mesaverde wells, they're in a standup  
25 unit in the east half of Section 34, interior to the unit.

1 There are therefore no correlative-rights issues in this  
2 case, so we went directly to the question in this case of  
3 whether the wells were going to produce incremental  
4 reserves if they were left on production, as compared to if  
5 one was shut in.

6 You might notice on this display some apparent  
7 other offenses or noncompliances with the spacing rule.  
8 For example, in the southwest of Section 26 you notice two  
9 wells in the southeast quarter of the southwest quarter.  
10 In fact, Well 27 has been plugged and abandoned, and so  
11 that one is not out of compliance.

12 Similarly in the northeast quarter of Section 34,  
13 Well Number 1 has been temporarily abandoned.

14 In the northeast of Section 4 in 27-and-7, Well  
15 82 has been temporarily abandoned.

16 Q. I think you misspoke, it's Section 33, the  
17 northeast --

18 A. You're right.

19 Q. -- of 33?

20 A. Yes, northeast of 33, Well Number 1 is TA'd.

21 Q. So now when we come back and focus on Well 50, 91  
22 and 225F, do you have a side-by-side comparison of a two-  
23 well cross-section so we can look at the geology and how  
24 those wells were completed?

25 A. Yes, on the next display you see a cross-section

1 showing the main intervals of the Mesaverde with the Cliff  
2 House, the Menefee and the Point Lookout, and you can see  
3 in this display, the 225F has completed all three layers,  
4 while the Well Number 91 has completed only the Cliff House  
5 and the Point Lookout.

6 Q. When we get to the question of the reservoir  
7 simulation, am I correct in understanding that the  
8 reservoir simulator is going to make some assumptions or  
9 generalizations about the geologic characteristics of each  
10 of these two wellbores as it runs its calculation?

11 A. That's correct. The basic geologic model will  
12 have come from a study that is illustrated essentially by  
13 the maps that follow this display.

14 Q. Now, the model will make an assumption that  
15 there's a certain range of uniformity in reservoir  
16 characteristics?

17 A. Yes, essentially what we did is, we took the  
18 properties from this geologic study at the center of the  
19 section and assumed that they were constant throughout the  
20 study area, which was a piece of that section.

21 Q. Have you and the geologist come to the technical  
22 conclusion that it's reasonable and appropriate to make  
23 those assumptions?

24 A. Yes. Yes, and that's shown, in fact, I think, on  
25 the displays. The first map --

1 Q. Let's look at the first display, and we're  
2 looking at the Cliff House?

3 A. Right, the Cliff House formation, and we see  
4 we're in a relative thick of the Cliff House that would be  
5 associated with an upper marine --

6 Q. And that's the first --

7 A. -- environment --

8 Q. -- display on the cross-section, right?

9 A. That's correct.

10 Q. All right.

11 A. And highlighted -- the section in question is  
12 highlighted in red here in 28-and-7, and you see that we're  
13 at a relative thick associated with an upper marine facies,  
14 and that although there is some gradient or thinning to the  
15 south in that section, the northeast part of the section is  
16 relatively uniform in the Cliff House.

17 Q. Mr. Roberts, have you and the geologist come to  
18 the conclusion, then, that both of these wellbores are in a  
19 homogeneous area of the Cliff House?

20 A. Yeah, relative to each other they're very  
21 similar.

22 Q. Let's look at the relationship in the Menefee.  
23 If you'll turn to the next area map behind that.

24 A. In the Menefee again, you see relatively little  
25 variation in the area of interest, which could be

1 characterized as -- the Menefee in general is a nonmarine  
2 unit which has much discontinuity, and in this particular  
3 position away from the depicenter, so to speak, you would  
4 expect that it would have very large issues with  
5 discontinuities and tend not to contribute much to the  
6 production in this area.

7 Q. Let's turn to what you and the geologist have  
8 concluded about the Point Lookout, which is the next area  
9 geologic map.

10 A. The Point Lookout, we see a much thinner area  
11 with respect to the area of interest, but at the same time  
12 very little variation within the area of interest.

13 Q. So I don't have to keep asking you the same  
14 question, are you and the geologist in agreement that  
15 there's a sufficient similarity in the reservoir here that  
16 your no-flow boundary is reasonable, making those  
17 assumptions?

18 A. That's correct.

19 Q. Let's turn now to the specifics of the production  
20 for these two wells.

21 A. What we see on the next slide is a graph of the  
22 production from the two wells over time, with Well Number  
23 91 being completed in the Mesaverde since September, 1958.

24 Q. And this is a well that's now shut in?

25 A. That's correct. The 225F was completed in the

1 Dakota in August, 2001, with the Mesaverde being added,  
2 then, in January of 2002.

3 Q. The point of this display would be what?

4 A. Simply to illustrate the history of the  
5 completions and the production. There's nothing terribly  
6 profound coming from this in terms of analysis.

7 Q. Okay, let's turn to your next display and look at  
8 your material balance.

9 A. Okay, this is a plot of flowing material balance,  
10 which is indicating from Well 91 an original gas in place  
11 within the well drainage area of about 4.8 BCF.

12 Using our volumetric model that comes from the  
13 geologic model that we have just displayed, we arrive at a  
14 drainage area equivalent of about 230 acres around this  
15 well.

16 Q. As a comparison, then, can you run a reservoir  
17 simulation to see how this lines up with what you've  
18 calculated volumetrically and from material balance?

19 A. Well, in fact, we take the conclusion from this  
20 that 230 acres is what is being drained by Well 91 in order  
21 to construct a 230-acre simulation model, using the same  
22 input as the flowing material balance.

23 Q. Lead us through the analysis of how you do this.

24 A. Okay, it's a two-layer model, including Cliff  
25 House and Point Lookout, which are the assumptions that we

1 use to arrive at the 230 acres, and if we look at the  
2 graphs on the following page what we see is --

3 MR. KELLAHIN: Let me make sure everybody stays  
4 with you. I'm sorry I didn't number these pages, I should  
5 have. What we're leaving now is the page that's captioned  
6 Numerical Simulation, and that would be this one, and this  
7 is the one that's showing the layer of the computer which  
8 Mr. Neale Roberts has got layered.

9 The next one says Numerical Simulation, and it's  
10 the quadrant display.

11 EXAMINER JONES: Okay.

12 MR. KELLAHIN: Okay.

13 THE WITNESS: Okay, in the upper two displays  
14 we're looking at the history match, and the red circles are  
15 indicating the actual production history while the red line  
16 is indicating the simulated production history, and the  
17 black line is indicating the backpressure control on the  
18 well.

19 And so we input the same backpressure history  
20 that the actual well has, and we find that the model  
21 produces a rate very much like the actual rate, and so we  
22 say from that that the model is reasonably matched to the  
23 actual data.

24 Then if we take that model and put it in  
25 prediction mode and forecast going forward, we have one

1 case shown on the lower left where we close the 91 as of  
2 today and leave it closed, and then another case in the  
3 lower right where we leave the 91 open. And the rates for  
4 the model, both wells total, are shown in red, and the  
5 cumulative production for both wells total is shown in  
6 black.

7 And we see in the case where the 91 is allowed to  
8 continue to flow that there is a slightly better recovery  
9 in the following -- in the next 50 years.

10 Q. (By Mr. Kellahin) Can you estimate the  
11 additional incremental recovery associated with the  
12 modeling of these two wells?

13 A. Yes, it appears to be in excess of 200 million  
14 cubic feet.

15 Q. Let's turn now to the next part of the analysis.  
16 Here it's captioned Cliff House Layer Pressure. What are  
17 we doing here?

18 A. Right, this is a picture of the Cliff House layer  
19 pressure as of 2058, and in the upper left it's a map view  
20 of the Cliff House layer pressure in 2058 for the case  
21 where the 91 well is shut in. You see both wells there,  
22 indicated in black.

23 And then in the map on the right you see the same  
24 display for the case where the 91 is allowed to continue to  
25 flow, and from the colors you can ascertain that the

1 pressure in the Cliff House layer as of 2058 is lower in  
2 the case where the -- significantly lower, I should say, in  
3 the case where the 91 well is allowed to continue to flow.

4 You can also see on each of those maps a red line  
5 traversing the map. And if you walk along that line, you  
6 would observe the pressures that are indicated in the chart  
7 at the bottom, with the dashed line coming from the model  
8 where the 91 is shut in and the solid line coming from the  
9 model where the 91 is flowing.

10 And so it's showing the same information, just a  
11 different display. It's essentially a cross-sectional view  
12 of the pressure in this layer in 2058 for the two different  
13 cases.

14 And what you see is again the pressure of the  
15 Cliff House layer in 2058, if the 91 is allowed to continue  
16 to flow, will be, or should be, in the range of 200 p.s.i.,  
17 whereas if it is shut in, it would be greater than 250  
18 p.s.i.

19 Q. With the Well 91 flowing and achieving a lower  
20 pressure, what is -- what happens, or what's the result of  
21 having a lower flowing pressure?

22 A. Right, the lower reservoir pressure would be an  
23 indication of a greater volume of production. There's been  
24 more gas removed from this layer, and that would be why the  
25 pressure is lower.

1 Q. Let's turn now to an analysis of the Point  
2 Lookout.

3 A. Similarly, for the Point Lookout layer you see  
4 two maps for the two cases, one where the 91 is shut in and  
5 one where the 91 is flowing, and you see again for the case  
6 where the 91 is flowing, a lower pressure as of 2058  
7 illustrated in the map, as well as the layer pressure  
8 traverses.

9 Q. Let me have you summarize, then, your conclusions  
10 and recommendations concerning the wells associated with  
11 this case.

12 A. The conclusions of this analysis are that there  
13 are no correlative-rights issues, given the location of the  
14 infraction, that the abandonment of Well 91 would result in  
15 a loss of reserves which I would estimate to be on the  
16 order of 240 million cubic feet, and therefore we are here  
17 today to request a waiver to produce this well.

18 Q. Let's turn to the next case, which is the second  
19 pair of Mesaverde wells. Now we're dealing with Tab Number  
20 7, and we're looking at the exhibits associated with Case  
21 Number 14,017.

22 Start again with the locator map.

23 A. Right, we're looking in this case at the 34 and  
24 34R in the east half of Section 34, which is adjacent to  
25 the 28-and-5 Unit to the south, Burlington-operated 28-and-

1 5 Unit to the south. And we have those two wells occurring  
2 both in the southwest quarter of the northeast quarter, in  
3 other words, two wells in a 40-acre block.

4 Q. As part of your research and study, Mr. Roberts,  
5 have you made any attempt to come to any conclusions  
6 concerning how these violations occurred?

7 A. No. No, we accepted the research that basically  
8 the violations existed, and our focus has been on where to  
9 go forward.

10 Q. Whether to plug and abandon or whether you could  
11 produce --

12 A. Yeah.

13 Q. -- them and what would happen?

14 A. You know, is to devise a compliance-assurance  
15 process that would prevent future occurrences, and then  
16 decide what to do with these wells.

17 Q. Let's then look at the first display behind the  
18 locator map, and again let's look at the geologic  
19 comparison on the cross-section of Well 34 and 34R.

20 A. In this case we see Well Number 34 has  
21 perforations in all layers of the Lewis, as well as  
22 Mesaverde, while the 34R has omitted the second Otero layer  
23 of the Lewis.

24 Q. Now let's go through the series of geologic  
25 displays and have you tell me about your conclusions

1 concerning the uniformity or the nonuniformity of the  
2 geology when you're looking at these two wellbores.  
3 Starting off, then, with the -- what we call the Navajo  
4 City.

5 A. What you'll see in each of these maps is a well  
6 that is fairly marginally located with respect to the  
7 Mesaverde fairway, but in each case relatively uniform  
8 within the area of interest.

9 And again, the section of interest is highlighted  
10 with a red square in the south part of 29-and-5. So with  
11 the Navajo City you see some very minor gradient across the  
12 section, but not much.

13 Q. You're starting at the top, going down?

14 A. Yes.

15 Q. So after the Navajo City what happens?

16 A. In the Otero 1 you see a relative absence of  
17 sandstone, as well in the Otero 2.

18 And then again in the Cliff House you're very  
19 much in a distal position, very marginal in terms of sand  
20 content.

21 And the Menefee, same story, as well in the Point  
22 Lookout.

23 Q. Then after you get beyond the geologic displays  
24 you're going to come to the production tabulation?

25 A. Right, we see Well 34 coming on production in the

1 Mesaverde since February of 1957, and the 34R finally being  
2 added in February of '96.

3 There's a large jump in the 34's production after  
4 February of '98 that was caused by a Lewis payout.

5 Q. As a point on the production display, you have --  
6 ConocoPhillips has shut in the Number 34 well?

7 A. That's correct.

8 Q. That's the shut-in well?

9 A. Yes.

10 Q. Moving past the production, then, we come to a  
11 drainage area map?

12 A. Yes. And this map was built using the relative  
13 rates. The well names are indicated in black, the rates  
14 are shown in red, and the no-flow boundaries are calculated  
15 between each well based on their rates.

16 And so we posted the no-flow boundaries and drew  
17 the outline of the drainage area and then digitized and  
18 planimetered that outline in order to arrive at an area for  
19 the two wells.

20 Q. Let me know, on this display there's an area  
21 identified in a box, and the caption in the box says unit  
22 boundary?

23 A. Right, that's an important point. That is the  
24 boundary between the 29-and-5 and the 28-and-5 Units, and  
25 we see that our drainage area for the two wells in question

1 does not go over that boundary.

2 Q. Give us a general understanding of, when you run  
3 this calculation, why -- Mr. Roberts, as an end result of  
4 the reservoir simulation, you're able to draw this map. Is  
5 this a product of the simulation?

6 A. No, this actually was a very simple calculation  
7 derived purely from the rates of the wells in the area.  
8 And it is then validated using flowing material balance  
9 and, upon validation, used as input to the simulation  
10 model.

11 Q. Give us a general understanding, and perhaps use  
12 an example within the context of this map, of how this  
13 works?

14 A. Okay, for example, if we look at -- a very simple  
15 example, if we look at Well 34 and Well 89, we see that  
16 both of those wells are producing 110 MCF a day. And given  
17 that they're producing the same rate, we should expect to  
18 find the no-flow boundary halfway between the two wells,  
19 which is where it's drawn.

20 At the same time you see maybe Well Number 9 to  
21 the northeast is only producing 25 MCF a day, and you see  
22 the boundary there is drawn perhaps four-fifths of the way  
23 from the well that's making 110 MCF a day to the well  
24 that's making 25. So the no-flow boundary is proportionate  
25 to the relative rates.

1 Q. And north of the common boundary line with the  
2 unit to the south, when we're in the unit that contains 34  
3 and 34R, that is within a participating area within that  
4 unit that has had its interests consolidated by  
5 participation?

6 A. Yes, and that is shown in a previous display,  
7 that all of -- all of this 29-and-5 area is fully expanded  
8 and participating in the unit.

9 Q. Let's turn to the next display, it's captioned  
10 Material Flow Balance -- Flowing Material Balance.

11 A. Right. Now this step was made as another  
12 approach to arrive at a drainage area, and what we do here  
13 is, we go first to the original gas in place being drained  
14 by the wells, and then we use our volumetric data to  
15 translate that volume into an area.

16 So in other words, if we find 5.8 billion cubic  
17 feet, and we know that our hydrocarbon height in that area  
18 is a given amount, we can use those two numbers to back  
19 into a drainage area. And in this case we find 500 acres  
20 being affected by the Well 34.

21 Q. Did you do a similar analysis for Well 34R?

22 A. Yes, and that analysis indicates about 50 acres  
23 being affected by Well 34R, with the total being about 550  
24 acres, which serves to validate the drainage area map that  
25 we were first discussing.

1 Q. And following the Flowing Material Balance, you  
2 have a display that shows the reservoir simulation model,  
3 and it says Numerical Simulation?

4 A. Right, now that -- having arrived at an area and  
5 validated the volumetric model, we can use that information  
6 to build a numerical model containing the two wells, and  
7 all of the same input data as we used for the previous  
8 analysis, in order to look at the impact of abandoning one  
9 of the wells in the quarter section.

10 Q. If you'll turn to the next display after that,  
11 you come again to the similar presentation as we just made  
12 for the prior case, the top part of which you're looking  
13 for a reservoir -- you're looking for a simulation match?

14 A. That's correct, the top two displays show our  
15 history match on the two wells in question, which we deem  
16 to be acceptable, and given that reasonable history match,  
17 we then have some confidence that we can forecast going  
18 forward. And we've done two forecasts, one with Well 34  
19 continuing to be shut in, and the other with Well 34 open  
20 to flow for the next 50 years.

21 Q. And what's your conclusion?

22 A. In this case we see again a significant  
23 incremental recovery allowed by leaving both wells flowing.

24 Q. Let's look at this case in terms of the layered  
25 pressure. If you'll turn to the next display.

1           A.    The first display showing the Lewis layer  
2 pressures as of 2058, and the map displays show a  
3 significantly lower pressure for the case where the 34 is  
4 allowed to continue to flow along with the 34R.

5                   And then in the layer pressure traverse we see  
6 that the Lewis pressure in 2058 could be as low as 300  
7 pounds if the 34 is allowed to continue to flow, whereas if  
8 it is shut in it will probably be closer to 450 pounds,  
9 indicating a much lower recovery in that case.

10           Q.    Okay, let's look at the Cliff House.

11           A.    In the Cliff House we see the same effect.  If we  
12 just go directly to the layer pressure traverses, we see  
13 that the difference between the two cases is on the order  
14 of 320 pounds, if the 34 is flowed for the next 50 years,  
15 versus maybe 450, 500 pounds if the 34 is shut in.

16           Q.    And your summary?

17           A.    The summary is that we believe that there's about  
18 a 550-acre area being drained by the two wells, but there  
19 are no correlative-rights issues within the map drainage  
20 area, and that abandonment of one of the wells would result  
21 in a loss of reserves on the order of a half a BCF or more,  
22 and therefore we would request a waiver to produce both  
23 wells going forward.

24                   MR. KELLAHIN:  Mr. Examiner, because this spacing  
25 unit's southern boundary is the unit boundary line, the

1 unit to the south is the San Juan 28-and-5, which is  
2 operated by Burlington.

3 When you review the exhibits associated with Tab  
4 Number 1, you'll find out that there's a certificate of  
5 notification where we caused all the working interest  
6 owners in the San Juan 28-and-5 Unit to be notified. And  
7 to the best of my knowledge and Mr. Alexander's there have  
8 been no objections.

9 The other two were internal to their units, and  
10 we chose not to send notice to any of the offsets, because  
11 all the offsets were common.

12 Q. (By Mr. Kellahin) Now, Mr. Roberts, let's turn  
13 to the final case behind Tab Number 8. Let's look at the  
14 Dakota issue, and the case number is 14,016. Again, start  
15 with the locator map.

16 A. The two wells in question in this case are the  
17 259 and the 259G. They are located in the northwest  
18 quarter of the southwest quarter of Section 24 in the  
19 28-and-7 Unit.

20 Q. Again, this spacing unit is the west half of  
21 Section 24?

22 A. That's correct. And the unit boundary would be  
23 on the eastern side of the eastern half of Section 24.

24 Q. Now let's go to the two-well cross-section, look  
25 at the two-well comparisons, and let's talk about the

1 geologic components associated with this production.

2 A. Each of the wells is completed in four layers of  
3 the Dakota, the top layer being the Twowells.

4 The second layer, although we see perforations in  
5 the Paguate member, we did not include that in our  
6 modeling, simply because our geologic -- current geologic  
7 model basically has a negligible volume in this layer, in  
8 this area.

9 The next layer down is called the Cubero member.  
10 Both wells are completed.

11 And below that we have something that on this  
12 display is called lower Cubero member, following an older  
13 nomenclature, and we'll find that member actually  
14 illustrated or labeled the Dakota White Rock Mesa in a  
15 later map, but they're the same layer. It's a nomenclature  
16 issue.

17 Q. As part of your study, have you and the  
18 geologists working with you come to conclusions about  
19 assumptions to be made about the uniformity of the geology  
20 associated with each of these two wellbores?

21 A. Yes, all of our analyses assume a constant  
22 petrophysical parameters, and we'll show in the maps that  
23 this is a reasonable assumption.

24 Q. Let's do that. Go through the maps as we look at  
25 the Dakota and have you make those comments for us.

1           A.    The first map is of the Twowells, and we see  
2 we're in a relatively sand-rich area, fairly uniform. The  
3 unit or the section in question is highlighted in red.

4           Similarly for the Cubero sandstone, we see that  
5 in the next display, fairly uniform sand distribution.

6           And then in the third map we're looking at  
7 something that is called the Dakota White Rock Mesa, and  
8 again we're in a fairly uniform area of this member, which  
9 is referred to in the cross-section as the lower Cubero.

10          Q.    Let's turn your attention now, Mr. Roberts, to  
11 the production information associated with this case.

12          A.    We see the Dakota production starting in Well 259  
13 in September of 1978. This well -- we realized during the  
14 drilling of the 259G that we had made this mistake, and so  
15 we actually shut the well in prior to the completion of the  
16 259G, which happened in April of 2006, and we have been  
17 producing the 259G as a Mesaverde-Dakota commingle since  
18 April, 2006.

19          Q.    Turn to the drainage map for us and identify and  
20 describe this display.

21          A.    This drainage area map is again -- it's  
22 calculated from relative rates, and what we see here is a  
23 drainage area around Well 259 of about 116 acres that does  
24 not impinge on the unit boundary to the east.

25                The 259G is located to the northwest of the 259.

1 It's not shown on this display, but it was not included in  
2 this analysis because it had not yet stabilized, and so it  
3 was not possible to analyze that well. But the impact of  
4 the 259G would be to reduce slightly the drainage area of  
5 the 259 and to extend the combined drainage area to the  
6 northwest, which would be away from any correlative-rights  
7 issues.

8 Q. Well 259G is the Dakota-Mesaverde dual?

9 A. Yes.

10 Q. Downhole commingle?

11 A. Yes.

12 Q. I said dual, it's downhole commingle?

13 A. Yeah, it's a commingled well.

14 Q. Let's turn to the material balance.

15 A. The material balance on the 259 indicates 2 BCF  
16 in the drainage area, which equates to 112 acres, which  
17 agrees very closely with the 116 acres from the drainage  
18 area mapping. So we feel confident in those numbers and  
19 have used them as input, then, to our numerical simulation  
20 model.

21 Q. Let's turn to the next display.

22 A. Here we see that we've modeled the Dakota as a  
23 single layer, and that's just been our experience, that  
24 while the Mesaverde exhibits very strong layered reservoir  
25 properties with no crossflow, the Dakota is -- the layered

1 behavior is less apparent and can be neglected without any  
2 significant errors, so we have simplified this one by  
3 looking at it as a single layer, and again using all of the  
4 data that was input or determined from the previous  
5 analysis.

6 Q. Let's look at your simulation results. First  
7 your history match and then your simulations.

8 A. So again, the top two displays are showing a nice  
9 history match on the existing wells, followed by two  
10 forecasts, one with the 259 shut in, and the second with  
11 the 259 restored to production for the next 50 years. And  
12 we see in this case incremental recovery from the model.

13 Q. Let's relate that to your study of the pressure.  
14 You have some flowing pressure here?

15 A. Yes, here we have -- we see the layered pressures  
16 in map view, indicating significantly greater depletion in  
17 the case where the 259 flows.

18 And on the pressure traverses we see the case  
19 where the 259 is flowing, having a pressure in 50 years  
20 that ranges between 300 and 550 pounds, while the case with  
21 the 259 shut in has a lowest pressure of around 420 and  
22 pressure near the perimeter in excess of 700 pounds. So  
23 significantly better recovery for the case where the 259 is  
24 allowed to continue to flow.

25 Q. Summarize for us your conclusions and

1 recommendations for this case.

2 A. In this case, the 259G is still in transient  
3 flow, so we were unable to do a drainage area calculation,  
4 but we were able to confirm a plus or minus 150-acre  
5 drainage area for the 259 through flowing material balance  
6 and drainage area mapping.

7 The 259G would further reduce the 259 drainage  
8 area and extend the collective area into the northwest away  
9 from correlative rights problems, and so we have determined  
10 that there are no correlative-rights issues with this case  
11 and furthermore determined that the abandonment of Well 259  
12 would result in a loss of reserves on the order of 120  
13 million cubic feet. And therefore we would request a  
14 waiver to continue to produce both of these wells.

15 MR. KELLAHIN: Mr. Examiner, that concludes my  
16 examination of Mr. Roberts.

17 We move the introduction of his exhibits  
18 associated with the exhibit book, marked Exhibits 1 through  
19 8.

20 EXAMINER JONES: Exhibits 1 through 8 associated  
21 with this exhibit book will be admitted.

22 EXAMINATION

23 BY EXAMINER JONES:

24 Q. Probably another most impressive showing we'll  
25 have all year here with you guys, like it was last year.

1 I'm continuously impressed by the way you have all these  
2 logs in your computer and you're able to generate these  
3 maps based on the little members in these formations. It's  
4 amazing. It's a real powerful tool to come up with ways of  
5 managing your reservoir, obviously.

6 A. Yeah, it is.

7 Q. It's something that the smaller operators will  
8 not have, and even a lot of the bigger operators, you know,  
9 so...

10 So basically, it sounds like you've come up with  
11 a pressure differential and a MCF differential, so can you  
12 use that to make other conclusions? In other words, like  
13 -- Obviously, the biggest issue internally to you guys is  
14 whether you should drill another well in those quarter  
15 quarters that you haven't drilled wells at yet, so did you  
16 guys look at that? And you have to make your own decision,  
17 obviously, whether you're going to do that or not. But  
18 based on economics --

19 A. Yeah, in fact, I mean, we expect that those would  
20 also be economic, and that's kind of -- the way we're  
21 looking at it is that they will get drilled eventually as  
22 we downspace the Basin to 40 acres.

23 Q. That way you won't have to shut in these other  
24 wells?

25 A. Right.

1 Q. Okay.

2 A. Yeah, our expectation is that some day they will  
3 be drilled --

4 Q. Okay.

5 A. -- but we would wait for the -- you know, the  
6 infill order.

7 Q. Yeah. The -- I guess -- I've got several  
8 questions related to -- Oh, I guess I should concentrate on  
9 this flowing material balance thing, just real quickly --

10 A. Okay.

11 Q. -- for me and Mr. Brooks here, probably  
12 especially me.

13 You -- I see where you've got a P/Z and a  
14 producing, and you extrapolate those out to an original gas  
15 in place; is that right? Grab one here to look at. I  
16 guess on the Dakota one -- yeah, here we go, that Dakota  
17 one you came up with 112 acres. That was based on your  
18 drainage -- your no-flow boundary, drainage area, and the  
19 original gas in place of 2 BCF; is that right?

20 A. Well, no --

21 Q. You know, they were two different wells?

22 A. Yeah, I arrived at the 110 acres independently,  
23 and --

24 Q. Okay.

25 A. -- and that serves as my validation.

1 Q. Okay.

2 A. What I've done -- the flowing material balance,  
3 essentially, it -- you -- if you look at the left axis  
4 here, that's the data that I'm actually curve-fitting --

5 Q. Uh-huh.

6 A. -- and that is a normalized rate. In other  
7 words, I take the rate, and I normalize it for the flowing  
8 pressure and the flowing viscosity --

9 Q. Okay.

10 A. -- and by taking those variables out of the  
11 equation, I'm left with nothing but the reservoir pressure  
12 to drive the decline.

13 Q. Okay.

14 A. And so that will point me to the original gas in  
15 place, similar to the way of  $P/Z$ , which is the red line,  
16 which is purely hypothetical --

17 Q. Right, because you don't have the data?

18 A. -- I don't have the data, right, but  
19 hypothetically that is the way the reservoir pressure is  
20 actually declining, while the green is the way the  
21 normalized rate is declining. And they point to the same  
22 original gas in place.

23 Now that's a volume, and I use my log model to  
24 say, okay, the height in this area is this, therefore what  
25 is the area --

1 Q. Oh --

2 A. -- of that volume? --

3 Q. -- okay, based on the --

4 A. -- and when I do that --

5 Q. Porosity for that height?

6 A. Correct. So I take the hydrocarbon height and  
7 divide it into this volume to calculate my area, and  
8 then --

9 Q. Okay.

10 A. -- I arrive at 110 acres, which is very close to  
11 what I arrived at using the other methodology, which gives  
12 me confidence that that's a good input for my numerical  
13 simulation.

14 Q. Is there a paper that tells about using that  
15 normalized rate projection to --

16 A. There is --

17 Q. -- point to your --

18 A. -- there's been a lot published in the last 10  
19 years about this method. I can't quote to you the name of  
20 the --

21 Q. It's not -- it's not anything to do with  
22 Crafton's method that he -- Colorado School of Mines  
23 professor that -- he sells these pressure transient --  
24 flowing pressure transient analysis software --

25 A. It's being included in most of the --

1 Q. -- reverse -- or reverse --

2 A. -- reverse productivity index.

3 Q. Yeah.

4 A. I'm not sure if it's on that --

5 Q. This is a different deal, then, than that?

6 A. Yeah, but it -- this is being included in a lot  
7 of the -- like the RTA is another similar production data  
8 analysis software --

9 Q. Yes.

10 A. -- and it has included this --

11 Q. Okay.

12 A. -- this type of approach as well as, I think,  
13 some other software packages are including this now.

14 Q. So you're relatively confident in using this  
15 versus the P/Z?

16 What I mean is -- I hate to put you on the spot  
17 but, you know, we got rid of pressure testing requirements  
18 several years ago with OCD, and we said we'd revisit them  
19 after five years and see if anybody's -- I'm not sure you  
20 guys have a problem in the northwest, but the southeast,  
21 you know, we have cases all the time where people are  
22 relying solely on geology, instead of any pressure data  
23 that they don't have anymore, based -- plot these Morrow  
24 sands, meandering sands, and I have a problem with it as a  
25 -- you know, an ex-person in the industry, I can

1 understand.

2           So you as a -- you're one of the most  
3 accomplished reservoir engineers we see around here. Do  
4 you agree that no pressure data should be gathered by the  
5 State?

6           A.    The pressure data is very valuable.

7           Q.    Okay. Well, I won't push it any further than  
8 that.

9           A.    Yeah, when we have it we --

10          Q.    -- use it.

11          A.    -- make great use of it, and when we don't have  
12 it it's a lot tougher.

13          Q.    Okay. And that used Eclipse again for this?

14          A.    Yeah, the numerical simulation was done using  
15 Eclipse.

16          Q.    You guys have it internally, or you like it  
17 and --

18          A.    Yeah.

19          Q.    -- you can use it real well?

20          A.    Uh-huh.

21          Q.    Yeah, the other cases that we had a year or two  
22 ago, I think Alan was here for those, and we had a lot of  
23 testimony about no-flow boundaries on those. I think that  
24 was it. They used a lot of that. And they didn't use this  
25 other to -- and so I'm glad you did add this other check to

1 it, you know --

2 A. Uh-huh.

3 Q. -- that makes a lot of sense. Kind of put your  
4 geologist on the spot by assuming everything's, you know --

5 A. Constant?

6 Q. I'm sure there was a little bit of grinding of  
7 teeth there, you know, but -- oh, well, you have to do it,  
8 I guess. But the wells are close together anyway.

9 A. Yeah.

10 Q. The Cliff House directional permeability, do you  
11 have any idea about that? Does it depend on where you're  
12 at in the San Juan Basin?

13 A. The only idea we have about it is that it  
14 probably exists, and that's about it. We would expect that  
15 it would vary across the Basin. We expect that it becomes  
16 more important as we go to higher densities, and it's  
17 really the -- one of our primary reservoir characterization  
18 objectives going forward, as far as we're doing some  
19 horizontal -- we're planning some horizontal tests, and  
20 then we've got also the infill pilot plan, and one of the  
21 main data-gathering and reservoir-characterization  
22 objectives of both of those projects is to better  
23 understand the horizontal isotropy which, you know, we only  
24 theorize about now --

25 Q. Yeah.

1 A. -- we have not quantified at all.

2 Q. The Cliff House has this La Ventana sand -- not  
3 in this area, but -- you know, I think south -- probably  
4 southwest, that's real -- the resistivity logs are --  
5 really separate there, and you've got a lot of invasion  
6 apparently, and it's a target people like to use for  
7 injection, but then we found out that maybe -- maybe it's a  
8 little too shallow and a little too fresh to be used for  
9 that, and the EPA got ahold of it, and -- We have to watch  
10 that real close.

11 A. Uh-huh.

12 Q. But we don't have the time or the personnel to do  
13 -- or the expertise to do a study on how that varies, you  
14 know, so we're kind of in a quandary there --

15 A. Yeah.

16 Q. -- and I wanted to ask you about anyway.

17 So I guess that's about it. I appreciate --  
18 appreciate all this effort you guys did for this.

19 A. Thanks.

20 EXAMINER JONES: Mr. Brooks might have some  
21 questions too.

22 EXAMINER BROOKS: well, if it were earlier in the  
23 day --

24 EXAMINER JONES: Yeah.

25 (Laughter)

1 EXAMINER BROOKS: -- but Mr. Jones can draft the  
2 order, so I think I'll leave it with his -- what he's  
3 doing.

4 EXAMINER JONES: And I promise it won't be a big  
5 delay. I know you've got wells shut in, so...

6 MR. KELLAHIN: Mr. Examiner, may I approach you?  
7 Here's a copy of the Burlington order to --

8 EXAMINER JONES: Okay.

9 MR. KELLAHIN: -- refresh your memory on how that  
10 was done. And if you really want to see the slide show --

11 EXAMINER JONES: I do.

12 Okay, thank you very much --

13 THE WITNESS: Thank you.

14 EXAMINER JONES: -- Mr. Roberts and Mr. Kellahin.

15 MR. KELLAHIN: That concludes our presentation,  
16 Mr. Jones.

17 EXAMINER JONES: Okay, with that we'll take Cases  
18 14,016, 14,017 and 14,018 under advisement.

19 (Thereupon, these proceedings were concluded at  
20 5:29 p.m.)

21

\* \* \*

22

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. \_\_\_\_\_  
heard by me on \_\_\_\_\_.

23

24

\_\_\_\_\_, Examiner  
Oil Conservation Division

25

## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                   )    ss.  
 COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL April 7th, 2008.



STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 16th, 2010