

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

14 May 1986

EXAMINER HEARING

IN THE MATTER OF:

Case 8030 being reopened pursuant to CASE
the provisions of Order No. R-7471, 8030
Sandoval County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Jeff Taylor
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For Gary Williams Oil
Producer:

W. Thomas Kellahin
Attorney at Law
KELLAHIN & KELLAHIN
P. O. Box 2265
Santa Fe, New Mexico 87501

I N D E X

STATEMENT BY MR. KELLAHIN

3

DAVID DLOUHY

Direct Examination by Mr. Kellahin

4

Cross Examination by Mr. Catanach

14

Redirect Examination by Mr. Kellahin

15

JOHN NIKONCHIK

Direct Examination by Mr. Kellahin

16

Cross Examination by Mr. Catanach

35

E X H I B I T S

GW Exhibit One, Plat

8

GW Exhibit Two, Plat

21

GW Exhibit Three, Graph

24

GW Exhibit Four, Decline Curve

27

GW Exhibit Five, Decline Curve

28

GW Exhibit Six, Decline Curve

29

GW Exhibit Seven, Economics

32

1
2 MR. CATANACH: Call next Case
3 8030.

4 MR. TAYLOR: In the matter of
5 Case 8030 being reopened pursuant to the provisions of Order
6 No. R-7471, Sandoval County, New Mexico.

7 MR. CATANACH: Are there
8 appearances in this case?

9 MR. KELLAHIN: If the Examiner
10 please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
11 on behalf of Gary Williams, Oil Producer, and I have two
12 witnesses to be sworn.

13
14 (Witnesses sworn.)

15
16 MR. KELLAHIN: Mr. Examiner, we
17 are back before you to make permanent the special pool rules
18 for the Rio Puerco-Mancos Oil Pool in Sandoval County, New
19 Mexico.

20 This is a fractured Mancos sec-
21 tion. It's the Niobrara interval that's similar to the one
22 that Mr. Greer operates in the Puerto Chiquito. There are
23 temporary rules on 320-acre spacing. The two witnesses we
24 have today are the same two witnesses that appeared at a
25 hearing before this Division back on January 30th, '85, in

1 which this pool was discussed.

2 For your reference, the orig-
3 inal case was 8030. The order is R-7471, entered effective
4 March 7th of '84.

5 Subsequently there was an
6 amendment to that order and that hearing is in Case 8448,
7 heard on January 30th, 1985. The geologist and engineer
8 from that last hearing are the two witnesses today.

9
10 DAVID DLOUHY,
11 being called as a witness and being duly sworn upon his
12 oath, testified as follows, to-wit:

13
14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q All right, sir, for the record would you
17 please state your name and occupation?

18 A My name is David L. Dlouhy. I'm a staff
19 geologist with Gary Williams, Oil Producer, in Denver.

20 Q Mr. Dlouhy, did you testify before the
21 Division on January 30th, 1985, concerning the special pool
22 rules as one of the subject matters of that hearing for the
23 Rio Puerco-Mancos Oil Pool in Sandoval County.

24 A Yes, I did.

25 Q Pursuant to that testimony and your em-

1 ployment, had you studied the geology of that specific area
2 for this Niobrara interval in the Mancos?

3 A Yes. I've studied it thoroughly and I've
4 been involved in the project since my start with Garyl Wil-
5 liams on the order of three years ago.

6 Q Let me refresh the examiner's recollec-
7 tion of what the situation was with the pool back on January
8 of '85 very briefly.

9 I have taken out of the case file, 8448,
10 a copy of Exhibit B as well as a copy of Exhibit C. I'm
11 going to lay these out on the table, sir, and if you'll come
12 around, I want to ask you some questions about them.

13 Mr. Dlouhy, with regards to Exhibit Num-
14 ber B from Case 8448, does that represent your work product
15 or a work product that you have reviewed and concurred with
16 at that time?

17 A This represents a combined effort with
18 respect to a work product. It's a seismic structure map
19 that integrates seismic data along with geologic data. So
20 input into this map involves my input as well as a geophysi-
21 cist's input.

22 I'm thoroughly familiar with everything
23 that's gone into it and again I've reviewed that data.

24 MR. KELLAHIN: At this time
25 we'll tender Mr. Dlouhy as an expert petroleum geologist.

1 MR. CATANACH: Mr. Dlouhy is
2 considered qualified.

3 Q Let me have you take a few minutes and
4 explain to the examiner generally the type of geologic
5 features and characteristics that you have determined
6 existed back in January of '85 with regards to this pool,
7 using first of all Exhibit Number B as an example of what
8 you want to explain.

9 A Okay. Basically, the Rio Puerco Field is
10 a fractured Mancos producing pool. It's very similar to the
11 fracture fields elsewhere in the San Juan Basin, the Puerto
12 Chiquito Field probably being the closest, the Boulder Field
13 and the (not clearly understood) Field also being very
14 analagous.

15 What you see on Exhibit B is our detailed
16 structure map of the Rio Puerco Field, again expressing the
17 structural variations in the Mancos, and we believe that the
18 structural variations are related to fracturing.

19 The production is very specifically
20 related to fractures and fracture trends and very limited
21 dependence on lithology.

22 Exhibit B again shows our structural
23 interpretation and it's one mechanism that we use to try to
24 propose the fracture trend and the extent of the fracture
25 systems in the Rio Puerco area.

1 On the map you also see two cross section
2 lines, which is Exhibit C and the intent there is to show,
3 really, the lithologic variations are very minor throughout
4 the field, the lithology being a very minor factor with res-
5 pect to production, oil and gas production, in the Rio Puer-
6 co Field.

7 Q Let's go to Cross Section C from the
8 hearing back in January, 1985. Perhaps you might want to
9 speak from the wall. Let's hang this one up there.

10 A Oil production from the Rio Puerco Field
11 comes from a portion of the Mancos that is commonly referred
12 to as the Gallup or Niobrara. It's roughly in the center of
13 the Mancos section, roughly about 800 feet from the Point
14 Lookout and again about 800 feet above the Greenhorn lime-
15 stone.

16 This is a cross section of the portion of
17 the Mancos that's particularly prone to fracturing and is
18 essentially the portion of the Mancos that we're producing
19 oil and gas from in the Rio Puerco Field.

20 What I wanted to illustrate here by two
21 cross sections that generally criss-cross the entire pooled
22 area, as proposed in January, is a very consistent lithology
23 throughout the Rio Puerco Field, consisting of a very finely
24 -- about a 400-foot section of very finely interbedded, very
25 fine grained sand, silt, and shale, again very consistent

1 throughout the field, very easily correlated. We've arbit-
2 rarily identified a zone in this portion of the Mancos and
3 have labeled them A, B, C, and D.

4 The lithology shown here represents a
5 very low porosity, permeability matrix, and the key to the
6 play and the production is the fracture system, and basical-
7 ly what I'm trying to illustrate is the consistency of the
8 lithology and, really, the fracture systems are what dic-
9 tates the play in general.

10 Q Let me direct your attention now to what
11 we have marked as Exhibit Number One for today's hearing.
12 We have a larger copy of that one on the wall, and then I
13 hand the examiner reduced copies of the same exhibit.

14 First of all, sir, would you simply iden-
15 tify the exhibit and explain who prepared it and how it was
16 prepared?

17 A Okay. The exhibit shows the Rio Puerco
18 Field. The wells are identified by the dots, obviously.

19 What's shown with the boundaries are
20 three things: First, the original spaced area that was tem-
21 porarily spaced in 1984 and consists of fifteen sections in
22 the central portion of the Rio Puerco area.

23 In addition to that, in the yellow spaced
24 area, the expanded area that we requested in January, 1985,
25 and then the resultant spaced, temporarily spaced area that

1 was due to the request, as well as the voluntary state rules
2 expanding the area into the purple.

3 Q Let me clarify at this point a drafting
4 error on the exhibit and have you indicate for us what is
5 intended by the red X-marked areas.

6 A Due to a drafting error, and we certainly
7 apologize for this, the boundaries, the eastern boundaries
8 were -- were inappropriate. The X's cross out the area that
9 we're requesting to be part of the spaced area and, again,
10 the pencilled in, or penned in boundaries are what we're in-
11 dicating to be the boundaries of the spacing.

12 Q Who prepared this exhibit?

13 A A combination of personnel at Gary Wil-
14 liams, including myself and John Nikonchik, as well as our
15 drafting (not clearly understood.)

16 Q Other than the inaccurate boundary of the
17 eastern boundary of the pool, which you've corrected, to the
18 best of your knowledge is the rest of the information accu-
19 rate?

20 A Yes, it is.

21 Q Orient the examiner, would you, please,
22 sir, to where the pool, this subject pool, lies in relation
23 to other Mancos pools in the area, particularly West Puerto
24 Chiquito?

25 A Okay. The Rio Puerco area is located in

1 the southeast edge of the San Juan Basin. Just to the north
2 of us about fifteen or twenty miles is the Puerto Chiquito
3 Field, the Puerto Chiquito East and the Puerto Chiquito West
4 Field. Both are on the margins of the basin and this is
5 really one of the mechanisms that cause fracturing, very
6 similar in respect to the -- the fracturing concept, being
7 on the edge of the basin and being in an area in the basin
8 where you have structural deformation to give you fracture
9 systems.

10 The Boulder Field is again located maybe
11 twenty-five miles north of our area, again on the margins of
12 the basin, again an area that's been structurally deformed
13 and giving or resulting in fracture systems.

14 Other fracture production in the basin,
15 there is the Dougherty Field (sic), which is on the other
16 end of the basin, on the northwest portions of the basin,
17 but again very similar in mechanism, fracturing being a very
18 important concept rather than the lithologic factors.

19 Q Identify for the examiner what additional
20 wells have been drilled since the January, 1985, hearing in
21 this pool.

22 A Okay. The large dots are additional
23 wells that have been drilled since the January, 1985, hear-
24 ing. The green wells are wells that were drilled and oper-
25 ated by Gary Williams. The orange wells are wells that are

1 operated by other companies.

2 Q With the additional information geologi-
3 cally that's been derived from these wells, do you still
4 have the same opinion or do you have a different opinion
5 about the geology of the formation that's being produced?

6 A The additional data that we've gotten by
7 drilling these wells really changes our interpretation not
8 at all. It, in fact, confirms our interpretation without a
9 doubt about the lithology. It helps us better define the
10 fracture systems but obviously we're still pursuing that and
11 possibly the only change really is that there is an implica-
12 tion that maybe the fracture systems are even more regional
13 than we originally thought in our original proposal.

14 Q If temporary rules that the operators in
15 this pool have been working under include 320-acre spacing,
16 do you see any geologic reason that would cause you to re-
17 commend that the spacing be other or less than 320 acres per
18 well at this time?

19 A I don't see any reason to change the 320
20 from a geologic standpoint for the following reasons:

21 Geologically the mechanisms, again, that
22 are important here are the fracture systems that are drain-
23 ing a very tight matrix. The very tight matrix in itself
24 really dictates that spacing on the order of 320 is very ap-
25 propriate. In fact the optimum spacing hasn't been deter-

1 mined yet but 320 is the best we feel as a compromise at
2 this point.

3 Q In determining whether or not the present
4 outer boundary of the pool, as depicted on Exhibit Number
5 One, is one that is reasonably oriented to the reservoir
6 being produced, can you express an opinion?

7 A For the data that we have to date, it
8 certainly covers the fracture trends the way we see them at
9 this point and most of this data is based on the well data
10 from the wells in this area.

11 The boundary does include all fo the
12 wells that we feel are in a fractured reservoirs and a
13 similar producing zone in the Mancos throughout the area.
14 The fracture trends may extend beyond this. We don't have
15 the data really to say that one way or another, and again
16 ths is defining the best we can at this point the regional
17 extent of the fractures.

18 Q Based upon your study of the geology, do
19 you have an opinion as to whether the wells that are cur-
20 rently subject to the pool rules are in the same common
21 source of supply as one reservoir?

22 A I think the data, particularly from a
23 geologic standpoint, indicate that there is no doubt that it
24 is a common pool.

25 The concepts involved here that I believe

1 to be correct, include an oil-charged Mancos section and
2 throughout the interval that we're producing, and that the
3 fracture systems are draining this oil-charged portion, and
4 the fracture systems seem to be oriented particularly to a
5 number of zones within the Mancos and all of these zones are
6 really what we've addressed throughout the pooled area.

7 Q Based upon the study of the geology do
8 you have an opinion and recommendation to the Examiner as to
9 whether or not the temporary special rules ought to be made
10 permanent at this time?

11 A I recommend without a doubt that the tem-
12 porary rules need to be permanent, primarily for the reason
13 that. I think we'll present information that will show that
14 anything less is inappropriate and again the 320 give us the
15 best compromise in respect to determining the absolute cor-
16 rect spacing and whether it should be larger or (not clearly
17 understood.)

18 MR. KELLAHIN: That concludes
19 my examination of this witness.

20 We'd move the introduction of
21 Exhibit Number One.

22 My second witness is an engin-
23 eering witness that has further information.

24 MR. CATANACH: Exhibit Number
25 One will be admitted into evidence.

CROSS EXAMINATION

BY MR. CATANACH:

Q Mr. Dlouhy, what was the purpose of Case 8448?

A I believe that case was our hearing in January, 1985, and basically that was a request to expand the spacing rules and the pool rules to include a larger area other than the 15-section pooled area shown in white, and the reason for this is at that time we had been -- we were drilling wells outside that original 15-section spaced area and we really needed those pool rules and regulations to apply to these wells.

At that time we -- we made the attempt based on our best information, the regional extent of the fracture and the common pool.

Q Has an order been entered by the Division on that case?

MR. KELLAHIN: Yes, sir. It's Order 7471-A. I have the Division's case file from that case here and this is the order that was entered.

Q In the expanded area there are currently -- there have been two wells drilled in that expanded area.

A Correct. One by Gary Williams. Actually, three wells in the expanded yellow portion, two by Gary

1 Williams and one by Hixon (sic) Oil.

2 Q Do you feel that you have enough informa-
3 tion to make a conclusion that 320-acre spacing should be
4 instituted in the expanded area as well as the original
5 area?

6 A I think that the engineering data that
7 will be presented will show you that the 320-acre spacing
8 should be expanded to the entire pooled area.

9 MR. CATANACH: I have no fur-
10 ther questions of this witness.

11

12 REDIRECT EXAMINATION

13 BY MR. KELLAHIN:

14 Q Do you see any geologic reason to treat
15 the expanded area differently than the original spaced area?

16 A No, there's no geologic reason; the
17 reason to expect anything different throughout that entire
18 spaced area, or proposed spaced area.

19

20 JOHN NIKONCHIK,

21 being called as a witness and being duly sworn upon his
22 oath, testified as follows, to-wit:

23

24

25

1
2 DIRECT EXAMINATION

3 BY MR. KELLAHIN:

4 Q All right, sir, would you please state
5 your name and occupation?6 A My name is John Nikonchik. That's N-I-K-
7 O-N-C-H-I-K, and I am employed as a petroleum engineer with
8 Gary William, Oil Producer in Denver.9 Q Mr. Nikonchik, did you testify before the
10 Division as a petroleum engineer back on January 30th, 1985,
11 in the case that was presented by Gary Williams on that
12 date?

13 A I did.

14 Q Pursuant to your employment as an engin-
15 eer, have you conducted studies and drawn additioal opinions
16 with regards to the application that is pending today to
17 make the Rio Puerco Mancos pool rules permanent?

18 A Yes, I have looked at that.

19 MR. KELLAHIN: We tender Mr.
20 Nikonchik as an expert petroleum engineer.21 MR. CATANACH: The witness is
22 considered qualified.23 Q Let me have you summarize for us, Mr.
24 Nikonchik, what the status was of the general engineering
25 opinions and conclusions that you had in January of '85 and

1 then have you describe for us what additional studies have
2 been conducted by your company and others participating with
3 your company.

4 A Okay. In January of '85 when we were
5 here petitioning for the extension of the pool we had quite
6 a lot of well data that indicated that certain wells, when
7 they encountered a high capacity fracture system were going
8 to make significant quantities of oil and drain fairly wide
9 areas.

10 At the time we also suspected that there
11 was interference among wells at the density that we've got
12 it right now and, in fact, some of the evidence we presented
13 last -- last year was that using a typical example of a well
14 that encounters no fractures upon drilling and completion,
15 that we could expect somewhere between 5 - 6,000 barrels of
16 ultimate oil. Basically you're going to be losing \$3-to-
17 \$400,000 on a venture like that.

18 On the other hand, if you can encounter a
19 substantial fracture system with the drilling of a well, we
20 had an example then, based on the best well in the field
21 that we could produce up to 175,000 barrels per well for a
22 \$2.5-million profit, and based on some basin average recov-
23 eries of 5-700 barrels per acre, which Greer has testified
24 to in his hearings, it's just kind of -- some of fractured
25 Gallup plays just seem average in there, you're looking at a

1 drainage of 250 to 350 acres for a well that's capable of
2 making that kind of oil.

3 Obviously, those are the wells we're
4 looking for, the ones that are going to make us the most
5 money.

6 At the same time we presented some inter-
7 ference data between the 11-16 Well and the 1-16 Well. As
8 far as locating those in your -- actually, if you look at
9 the Exhibit Two in the first part of the package here, it's
10 probably easiest to see.

11 Within the dotted line area there is Sec-
12 tion 1 there and then Section 11, as numbered.

13 The 11-16 well is in the southeast south-
14 east of 11 and the 1-16 is in the southeast southeast of 1.
15 Those wells are approximately 7500 feet apart.

16 Prior to the drilling of the wells be-
17 tween there, when these were practically the only two wells
18 existing in the pool, an interference test was run whereby
19 the 1-16 well had been shut in for a substantial period of
20 time. The 11-16 was also shut in, brought on production at
21 500 barrels per day, and affected the pressure in the 1-16
22 to the point where it was declining at 2/3rds of a pound per
23 day after 24 hours, and that decline continued for the next
24 five days.

25 That was part of the evidence as presen-

1 ted last year. This was on the same magnitude as the inter-
2 ference tests that Greer ran in 1965 in Puerto Chiquito,
3 where he showed interference up to I believe 9000 feet in
4 some instances. Therefore, you know, we're reaching a con-
5 clusion that our fracture system in this area is similar to
6 the same fracturing that they have in Puerto Chiquito. And
7 again, as David has testified, our lithology is the same ;
8 our depths are similar to Puerto Chiquito; porosity, matrix
9 porosities are the same; our permeabilities of the matrix
10 are the same; fluids are both almost identical 40-41 degree
11 oil. The only real difference between Puerto Chiquito and
12 ourselves is basically depth. They're probably 1000 feet
13 average deeper than we are; little higher gas saturation in
14 the oils initially.

15 Based on all that data we requested and
16 it was subsequently approved to have that 320-acre temporary
17 spacing expanded to the area, as requested, basically be-
18 cause the 320-acre spacing, if a well encounters the high
19 capacity fracture system and you get an economic producer,
20 it has the ability to produce up to that, if not more, on an
21 acreage basis.

22 We also proposed 1800-foot minimum dis-
23 tance between wells, as to try to eliminate direct competi-
24 tive offsets to the -- and the drilling of unnecessary
25 wells, producing virtually from the same fracture system,

1 and we have subsequence evidence that would indicate that
2 even at some of the distances we have, that this is happen-
3 ing.

4 With what has happened since that, over
5 the last year, we have no reason to change our posture on
6 the 320 spacing or the distance between wells. We feel that
7 is a good, workable spacing to develop this field.

8 Also during the last year we convened a
9 working interest owners committee and formed a technical
10 subcommittee to study unitization of the area for potential
11 gas injection and pressure maintenance. We started proceed-
12 ings with the BLM as far as establishing boundaries for a
13 Federal exploration unit and also the coincident secondary
14 recovery unit with that establishment, and although the cur-
15 rent oil economy slowed us down a little bit, we still in-
16 tend to move forward with that later this year.

17 Q Mr. Nikonchik, do you have the support of
18 the other operators in this pool for continuation of the
19 320-acre spacing per well and the minimum distance between
20 wells, those requirements of the special rules?

21 A We have nothing in writing but during the
22 Technical Committee meetings an interest represented there
23 approximated some 80 to 90 percent of the ownership within
24 this area for the most part.

25 Spacing and distances were discussed to

1 some degree and there was never any objection raised by any-
2 body to the contrary. Everybody is comfortable with that
3 development and thinks it is appropriate for the continued
4 development of this field.

5 Q Based upon the subsequent information
6 that you have studied and examined, do you still, as of to-
7 day have the same opinions with regards to the wells pacing
8 and minimum distance between wells?

9 A Yes, I do.

10 Q Let's turn to Exhibit Number Two then --

11 A Okay.

12 Q -- and have you bring the Examiner up to
13 date as to what has occurred since the last hearing, what
14 the situation is now, and starting with Exhibit Number Two
15 show us what's occurred.

16 A Okay. Exhibit Two is an enlargement of
17 the central area of the fracture trend. We would, I guess,
18 want to identify this more, or consider it more the sweet
19 spot. This is an area where we have been luckier and --
20 luckier, I guess, to encounter the high capacity fracture
21 system more often.

22 The only well within this area, actually
23 there was a couple of wells that -- there's three new wells
24 that were drilled since the last hearing. There was two
25 Champlin wells up to the north. I believe you'll see those

1 on your Exhibit One. They are circled in red.

2 And then down in Section 13 we drilled
3 our 13-11 Well in the middle of last summer. And to back up
4 and establish a point, when the field was first discovered,
5 or actually the first -- when the 11-16 Well was drilled, we
6 took some bottom hole samples. Now this was at a point in
7 time when very little production had occurred from the
8 field. A bottom hole sample PBT analysis indicated a bubble
9 point or a solution gas/oil ratio of 340. We had under-sat-
10 urated oil bubble point being about 1037 pounds. The pres-
11 sure at that time was 1000 or 1265 pounds.

12 With subsequent production from the frac-
13 ture trend one would expect the pressures to decline. If
14 the pressures were lowered below bubble point, you would ex-
15 pect free gas breakout and subsequently higher gas/oil
16 ratios on a producing well.

17 When the 13-11 was completed last year,
18 its shut-in bottom hole pressures were 820 pounds. Its pro-
19 ducing gas/oil ratio was about 3000-to-1.

20 From this, and yet it was still -- I
21 guess we IP'ed that for 20 barrels a day flowing. From this
22 we concluded that that particular location had been affected
23 by down dip production in the way of lowering reservoir
24 pressure to the point where it very rapidly went below bub-
25 ble point and started producing higher amounts of gas. We

1 take this as one significant point of communication over a
2 fairly large distance. In fact, from the 11-16 well we're
3 almost -- almost a mile away from that point there, which is
4 the nearest production point.

5 As you've noticed, I have circled this
6 area and have considered this a 17-well, typical area here,
7 for development. Anyway, I've run some subsequent economics
8 in there which we'll get to at the last exhibit.

9 Also, as a result of some of the work we
10 did in the Technical Committee, it was obvious to everybody
11 that if we're going to work towards installing a pressure
12 maintenance program, that conservation of reservoir energy
13 may be important and to get a better handle on that, I guess
14 in late November of '85 Gary Williams shut in all of its
15 producing wells in this area in an attempt to start that
16 proceeding.

17 As it stands now, we only have ten of our
18 wells that are now producing. The rest are shut in. Of
19 course, a lot of that is due to the current economy, too,
20 but -- but during that time we took the opportunity to run
21 some interference test-type with production rates.

22 Champlin Petroleum kept most of its wells
23 producing during that time. In particular I'd like to point
24 out the 44-2 Well, which you'll see in Section 2, being the
25 southeast southeast on your map.

1 Other wells, key wells that we're going
2 to get to are the two Section 12 wells being the 12-2 and
3 the 12-4, the 12-4 being a direct diagonal 40-acre offset or
4 a normal 80-acre offset and if you would, you could turn to
5 Exhibit Three, I'd like to explain what we have going on
6 there.

7 The lowest curve here at the bottom is
8 the daily production rates on the Champlin Federal 44-2.
9 During the months of October and November the dashed line
10 indicates the average daily production for that well and
11 I've drawn a decline through that to kind of give you the
12 idea of what the trend was at that time.

13 Prior to the end of November the well was
14 producing in the 15-to-20 barrel a day range.

15 On November 28th is when Gary Williams
16 shut in all of its producing wells. The second -- the mid-
17 dle curves are the combined 12-2 and 12-4 Wells, that run to
18 a common battery, and the upper curve is the 11-16 Well,
19 which is again our best well in the field.

20 The, like I say, all wells were shut-in.

21 Approximately seven days after that the
22 44-2 Well built from a rate of, say, 15 to 20 barrels a day,
23 up to approximately 35 barrels per day, which was an in-
24 crease of some 15 to 20 barrels or production as a result of
25 shutting in our wells.

1 Approximately two weeks after the shut-in
2 period the -- one well was brought in -- brought on produc-
3 tion in that area of ours, being the 12-4, which is the di-
4 rect 80-acre offset.

5 Seven days later the production in the
6 Champlin well dropped back to the 20-barrel a day range.

7 Coincidentally, the 12-2 was brought on
8 production at the same time. I don't believe that that was
9 a direct, immediate affect of that well. I believe it's the
10 7-day lag time, as you saw, when we shut the wells in.

11 Again, right around the 25th of December,
12 all wells were shut in again and although we've got some
13 pulse type effects in the reservoir now, the Champlin well
14 again started building production rates and it got as high
15 as 54 barrels per day there in early January while we were
16 still shut in. In a general sense it was trying to maintain
17 that 35-barrel a day rate again.

18 Come around the first or second week of
19 January, both Section 12 wells were started together. As
20 you can see, they produced 150 barrels a day the first day
21 between them, and again approximately 7 to 8 days later the
22 Champlin well again started losing production to the 20-bar-
23 rel a day range.

24 A couple of more points: The 11-16 was
25 shut in during this entire time. At approximately January

1 16th the 11-16 was brought back on production at about 80-
2 to-90 barrels per day.

3 The, a note I'd like to make is that as
4 the 11-16 was continued to be shut-in, the combined produc-
5 tion between the 12-2 and 12-4 got constantly higher. The
6 stabilized rate prior to shut-in was about 70 to 80 barrel a
7 day. It was 80 to 90 during the first production period,
8 and then when they were brought on in early January, they
9 peaked at 150.

10 When the 11-16 was brought back on, both
11 combined production from the 12 wells went back to the 40 or
12 50 barrels a day range. I take that again as a production
13 interference.

14 I believe that further the 11-16 Well may
15 have been responsible for affecting production in the Cham-
16 plin well even further, as at approximately the end of Jan-
17 uary the Champlin well dropped below 20 barrels a day, star-
18 ted making significant amounts of water along with its pro-
19 duction has been erratic ever since most of our wells have
20 been back on.

21 From this I can conclude that with the
22 density that we've got right now, we are affecting -- we can
23 affect production from well to well in that we're not losing
24 any oil production but it's just -- it may be produced
25 through wells that may or may not be unnecessary in part or

1 in whole.

2 We've got some further examples, Exhibits

3 --

4 Let me ask you one question about --

5 A Okay.

6 Q -- about Exhibit Number Three. Can you
7 conclude or reach the opinion based upon the production in-
8 terference effects that you see the effects between or among
9 wells that are at least 320 acres apart?

10 A Yes, that's very true, and in fact if the
11 -- I guess the 44-2 and the 11-16 are exactly a mile apart,
12 and they are on, you know, 320-acre plots, and also the 12-4
13 is, you know, the next adjacent 320-acre plot.

14 Q You can conclude, then, from examination
15 of the interference effects, not only do we see effects be-
16 tween wells that are 40 and 80 acres apart but we also see
17 effects between wells 160 and 320-acre spacing apart.

18 A That's correct.

19 Q All right, let's turn to Exhibit Number
20 Four and have you identify that exhibit for us.

21 A Exhibit Four is a well decline curve on
22 the Johnson 6-16 Well that we operate. That well is located
23 in the dotted 17-well area as the easternmost well over in
24 Township 20 North, 2 West. It's the southeast southeast of
25 Section 6.

1 This well was completed in late 1984 and
2 brought on production in January, 1985.

3 In preparing these exhibits I made an as-
4 sumption that a high capacity well that was significantly
5 far enough away from the other production, would probably
6 produce with a somewhat predictable decline, figuring that
7 it could not be affected by production from another source.

8 And in this case when we took a look at
9 the decline on the 6-16 Well, that was very much the case.
10 The decline has been very predictable over the first 11 to
11 12 months and except for the shut-in period in January --
12 December, '85, and January of '86, it's been almost -- well,
13 it's been very predictable and it's basically recovered some
14 of the production that it lost during the shut-in period,
15 and we feel that this extrapolation might be considered as a
16 type curve for a fractured reservoir that's unaffected by
17 other producing wells.

18 Well, to verify that, I wanted to overlay
19 this curve on some other decline curves and the next two ex-
20 hibits -- the next Exhibit Five will show you this same, ex-
21 act decline curve, the same decline parameters, initial de-
22 cline rate, hyperbolic rate, or shape factor, and -- and the
23 whole thing.

24 The top well is the 11-16 Well, which
25 again is, like I say, our best well, laid on from the point

1 where it was allowed to reach a maximum production of 320
2 barrels per day, which was a controlled allowable in September of '84. The decline has pretty much followed that same
3 trend.
4

5 Again, the 11-16 Well is in the middle of
6 this trend. It is the highest capacity well we have in the
7 field, and I believe this from the standpoint that since it
8 is the highest capacity well, other wells will have a hard
9 time affecting its decline.

10 On the other hand, the lower well is the
11 6-16 -- or 16-10 Well, which is the extreme westernmost well
12 in this dashed area. Again it is a high capacity well. It
13 is far enough away, it's actually over -- almost two miles
14 away from the 11-16 Well. It's decline should be relatively
15 unaffected by other production, and such is the case. As
16 you can see, this decline also is very predictable and again
17 I'd like to emphasize, this is the same, exact decline.

18 The next Exhibit Six indicates two of the
19 many wells that have been affected by production from other
20 wells, I believe.

21 The top well is the San Isidro 1-16.
22 This is again the same 1-16 as referred to earlier in the
23 southeast southeast of Section 1.

24 Initially, in 1984, when the well was
25 brought on production, it exhibited again for approximately

1 six to eight months the same exact decline rate.

2 About 1985, beginning in '85 is when the
3 11-16 had been producing a high rate and the 6-16 came on,
4 it's when a lot of production hit -- came on line right in
5 the early 1985; the Champlin 44-2 Well, also.

6 At that time production from the 1-16
7 dropped significantly, as you can see, and started to bas-
8 ically reach an economic limit. In December of '85 the well
9 was shut in for a period of time. It has since recovered
10 some of that production rate. I attribute that to the shut-
11 in period. As of yet it has not tended to decline again
12 from that approximately 9-to-10 barrel day rate.

13 Q Let me look at the San Isidro Well, that
14 production rate, compared to what well did you say you
15 thought had an impact upon that well's production in late
16 '85?

17 A It could have been -- specifically, it's
18 hard to say exactly which one may have done that. Obvious-
19 ly, from the early interference test data with the pressure
20 gauge in the hole the 11-16 was able, we suspect, to affect
21 pressure in the 1-16. I would therefore assume that the 1-
22 16 has been affected in some degree by the 11-16.

23 Maybe --

24 Q And those are wells that are a mile apart
25 aren't --

1 A Those are wells that are a mile apart,
2 but maybe more importantly, the Section 2 -- 2 wells also
3 came on production in late '84 or early '85, and may have
4 actually, because they're closer, been more responsible for
5 affecting the decline on the 1-16, and again, at the same
6 time, the 6-16 Well came on, the one that's a mile to the
7 east came on, also.

8 It could be one or all in combination
9 that is affected. That's very hard to identify specifically
10 which wells are affecting each other, other than the fact
11 that we have established the communication directly between
12 the 44-2 Well and the Section 2 wells.

13 Q We often --

14 A The Section 12 wells.

15 Q We often see reservoir engineers come in
16 to prove up spacing by taking volumetric calculations, de-
17 cline curves, some pressure information, and concluding that
18 wells ought to be spaced on a given pattern.

19 Within that kind of process, how would
20 you equate the process that your company went through in de-
21 termining production interference effects between wells?

22 A As far as assessing the volumetric as-
23 pects, I really seriously doubt whether there is any way to
24 calculate volumetrically how much oil is in place in a frac-
25 tured reservoir. You just don't know where it goes, how

1 high it is, how wide it is. What we do know is that when a
2 well encounters a significant fracture system, it's able to
3 make a significant quantity of oil; i.e. probably 100 bar-
4 rels a day or more. When it does not, usually the wells IP
5 for much less than 50 and decline very, very rapidly.

6 Q Are you satisfied as an engineer that the
7 utilization of the interference effects of production among
8 wells is a reliable method in which you are confident that
9 we can then space those wells?

10 A I think in combination with some econo-
11 mics that we'll present, I think, yes, very definitely.

12 Q Let's turn then to the economics if
13 you're ready to do that, and look at Exhibit Seven. Is this
14 also an exhibit that you've prepared?

15 A Yes, it is.

16 Q Would you describe for us what the econo-
17 mic study that you have done concludes for you in terms of
18 well spacing? What's your ultimate conclusion about the
19 economic effects of well spacing for this pool?

20 A Sure. I've got two points in time that
21 I've tried to evaluate some economics here. Again I'm re-
22 ferring back to the 17-well area as an example, and it ac-
23 tually is a more optimistic example.

24 Through the end of 1985 these wells have
25 cumed approximately 336,000 barrels of oil in combination.

1 After taking into account the average net royalty interest
2 and giving it \$25.00 per barrel of oil as a sales price dur-
3 ing that period of time, extracting production taxes, lease
4 operating expenses, you end up with an operating income of
5 some \$6-million. Well, those 17 wells at an average of
6 \$450,000 apiece have cost us \$7.6-million. We're still a
7 million and half dollars in the hole on these wells.

8 Now, granted we did not drill them all as
9 Gary Williams. There are five wells in there drilled by
10 Champlin Petroleum, but on an average as the operators, this
11 is what we've seen.

12 Ultimately we expect these wells to cum
13 approximately 520,000 barrels. Now some of the wells are
14 shut in and probably will not be reactivated, so this is
15 from a lesser number of wells that are going to make this
16 last bit of oil, but again adjusting for the average net
17 revenue interest, and again assuming a \$25.00 a barrel oil
18 price to be consistent in the evaluation, although we're on-
19 ly getting \$11.50 at the wellhead right now, we would end up
20 with a \$10-1/2 million sales revenues. Backing out expenses
21 and operating and taxes leaves us with \$8.2 million income.
22 Removing our \$7.6 million investment leaves us with a half a
23 million dollar profit at probably something less than a 10
24 percent rate of return. This is marginally economic at this
25 point.

1 Drilling wells on closer spacing than we
2 have, we've already seen that we can effect production on
3 the spacing that we're at. Drilling it any closer would on-
4 ly enhance that to the point where we will be drilling un-
5 necessary wells and we believe, though, that each well we
6 drill from here on teaches us more about the reservoir and
7 we're hoping that our statistics will improve in finding the
8 main fracture system with fewer wells. Right now our suc-
9 cess rate is about 6 out of 17. If we can make that 1 out
10 of 2, we think we can improve these economics.

11 We like to think that 320's give us
12 enough latitude to explore for that yet at the same time
13 minimize the drilling of unnecessary wells.

14 Q Were Exhibits Two through Seven prepared
15 or compiled under your direction and supervision?

16 A They were prepared by me.

17 MR. KELLAHIN: We move the in-
18 troduction of Exhibits Two through Seven.

19 MR. CATANACH: Exhibits Two
20 through Seven will be admitted into evidence.

21 MR. KELLAHIN: That concludes
22 our direct presentation, Mr. Examiner.

23

24

25

CROSS EXAMINATION

BY MR. CATANACH:

Q Mr. Nikonchik, who besides Gary Williams is an operator in this pool?

A Champlin Petroleum.

Q Is that the only other operator?

A Of any consequence. I believe the others -- Dave, there's nobody else producing, is there?

I think the other wells -- wells drilled by other operators, none of them are actually actively producing. I think they've been temporarily abandoned or abandoned.

Is that right?

MR. DLOUHY: Yes.

A And Champlin operates five wells. And I believe at least one of those is shut in, if not two.

Q And to your knowledge Champlin Petroleum doesn't have any objection to making these rules permanent?

A Not at all.

Q Have you by any chance talked to our District people up in Aztec about this proposal?

A What -- as far as -- I'm sorry, which proposal?

Q The proposal to make the rules permanent.

A I have not and I don't know that anybody

1 else has.

2 Q You're saying at the current rate of suc-
3 cess of these wells that it's uneconomical to have anything
4 less than 320-acre spacing, is that correct?

5 A Yeah, that's right.

6 MR. CATANACH: I have no fur-
7 ther questions of the witness.

8 Are there any other questions
9 of this witness?

10 If not, he may be excused.

11 Is there anything further in
12 Case 8030?

13 If not, it will be taken under
14 advisement.

15
16 (Hearing concluded.)
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 8030 heard by me on May 14 1986.

David R. Citarist, Examiner
Oil Conservation Division